

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

BEFORE THE  
NEW MEXICO OIL CONSERVATION COMMISSION  
Santa Fe, New Mexico  
March 17, 1976

EXAMINER HEARING

-----  
IN THE MATTER OF: )

Application of Mathis, Spencer & Hutson ) CASE  
for pool creation and special pool rules ) 5653  
Lea County, New Mexico. )  
-----

BEFORE: Daniel S. Nutter, Examiner

TRANSCRIPT OF HEARING

A P P E A R A N C E S

For the New Mexico Oil Conservation Commission: William F. Carr, Esq.  
Legal Counsel for the Commission  
State Land Office Building  
Santa Fe, New Mexico

For the Applicant: W. Thomas Kellahin, Esq.  
KELLAHIN & FOX  
Attorneys at Law  
500 Don Gaspar  
Santa Fe, New Mexico

**sid morrish reporting service**  
*General Court Reporting Service*  
825 Calle Mejia, No. 122, Santa Fe, New Mexico 87501  
Phone (505) 982-9212

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

I N D E X

	<u>Page</u>
<u>ROY C. WILLIAMSON, JR.</u>	
Direct Examination by Mr. Kellahin	3
Cross Examination by Mr. Nutter	12

EXHIBIT INDEX

	<u>Page</u>
Applicant's Exhibit No. One, Form C-123	12
Applicant's Exhibit No. Two, Area Plat	12
Applicant's Exhibit No. Three, Cross Section	12
Applicant's Exhibit No. Four, Summary	12

**sid morrish reporting service**  
*General Court Reporting Service*  
825 Calle Mejia, No. 122, Santa Fe, New Mexico 87501  
Phone (505) 982-9212

1 MR. NUTTER: We will call the next Case Number 5653.

2 MR. CARR: Case 5653, application of Mathis,  
3 Spencer and Hutson for pool creation and special pool rules,  
4 Lea County, New Mexico.

5 MR. KELLAHIN: Tom Kellahin of Kellahin and Fox  
6 appearing on behalf of the applicant and I have one witness  
7 to be sworn.

8 (THEREUPON, the witness was duly sworn.)

9  
10 ROY C. WILLIAMSON, JR.

11 called as a witness, having been first duly sworn, was  
12 examined and testified as follows:

13  
14 DIRECT EXAMINATION

15 BY MR. KELLAHIN:

16 Q. Please state your name, by whom you are employed  
17 and in what capacity?

18 A. I'm Roy C. Williamson, Jr. and I'm President of the  
19 consulting firm of Sipes, Williamson and Aycock from Midland,  
20 Texas.

21 Q. What is your working relationship with the applicant  
22 in this case?

23 A. I have been retained as a consultant for Mathis,  
24 Spencer and Hutson.

25 Q. Are you familiar with and have you made a study of

1 the facts surrounding this particular application?

2 A. Yes, I have.

3 Q. Have you previously testified before this Commission  
4 and had your qualifications as an expert witness accepted and  
5 made a matter of record?

6 A. Yes, I have.

7 MR. KELLAHIN: If the Examiner please, are the  
8 witness's qualifications acceptable?

9 MR. NUTTER: Yes, they are.

10 Q. (Mr. Kellahin continuing.) Mr. Williamson, would  
11 you please refer to what we've marked as Exhibit Number One,  
12 identify it and explain what the applicant is seeking?

13 A. Exhibit One is Form C-123, which is the request for  
14 the extension of an existing pool or the creation of a new  
15 pool. I would like to clarify what, in my opinion is an error  
16 that had been, this particular form had been filed earlier  
17 on February 6th of 1976 by a production foreman in the  
18 employment of Mathis, Spencer and Hutson. At that time they  
19 asked that the well that is the subject of this study, the  
20 Mathis, Spencer and Hutson Clayton No. 1 Well be shown as an  
21 extension to a Permo-Penn field which was originally called  
22 the Burtner Field and the Burtner Field consisted of one  
23 well, the Standard of Texas State No. 1, which was in the  
24 northeast quarter of Section 22 of 15 South, 33 East. This  
25 well produced for some period of time less than thirty days

**sid morrison reporting service**  
General Court Reporting Service  
825 Calle Mejia, No. 122, Santa Fe, New Mexico 87501  
Phone (505) 982-9212

**sid morrison reporting service**  
General Court Reporting Service  
825 Calle Mejia, No. 122, Santa Fe, New Mexico 87501  
Phone (505) 982-9212

1 and had a cumulative production of approximately eight hundred  
2 and twenty-six barrels of oil. The production foreman assumed  
3 that this would be an extension of that particular field and  
4 therefore, so noted that in his 2/6/76 filing of 123. It is  
5 my opinion that the Spencer and Hutson Clayton No. 1 Well,  
6 although it produces from a correlative interval will show with  
7 future testimony, I do not think it is an extension of that  
8 field and, therefore, we are requesting the creation of a new  
9 pool. We are asking that three names be considered, the MHS  
10 Wolfcamp, the Clayton Wolfcamp or the Daisy Wolfcamp Field.

11 MR. KELLAHIN: That State of Texas Well that you  
12 referred to, if the Examiner please, is the subject of  
13 Order No. R-2946, entered September 1st, 1966. That is  
14 designated as the Burtner, B-u-r-t-n-e-r Wolfcamp.

15 MR. NUTTER: Is that the only well that was ever  
16 drilled in that pool?

17 MR. KELLAHIN: Yes, sir.

18 THE WITNESS: And the field area was designated as  
19 the northeast quarter of Section 22, I believe.

20 MR. KELLAHIN: That's right.

21 Q (Mr. Kellahin continuing.) Please refer to Exhibit  
22 Number Two and identify it?

23 A Exhibit Number Two is an area plat showing the well  
24 in question, the Mathis Spencer Hutson Clayton No. 1, which  
25 is located in the northwest quarter of the southwest quarter

1 of Section 22, 15 South, 33 East. This well was completed  
2 and the C-104 Form filed. It potentialled for three hundred and  
3 twenty barrels of oil on January 26th, 1976, no water and  
4 three hundred MCF of gas.

5 The Exhibit Two depicts an estimated limit of  
6 production from the particular interval that this well is  
7 completed in and I will show by a later exhibit, a cross  
8 section, the relationship of this zone to the well previously  
9 mentioned, the Standard of Texas State No. 1 and the Ashman  
10 and Hilliard Clayton No. 1 Well which lies immediately south  
11 of the Mathis Spencer Hutson Well.

12 Q. What is the spacing and proration unit you would  
13 dedicate to this well?

14 A. One hundred and sixty acres and the well location  
15 is six sixty from the quarter line section which is what we  
16 would ask for in the rules.

17 Q. All right, let me ask you that again. Now, do you  
18 have a proposed recommendation as to spacing of wells within  
19 the pool?

20 A. Yes, we are asking that an acreage allocation of  
21 a hundred and sixty acres be applied and no well be allowed  
22 to be drilled closer than six hundred and sixty feet to a  
23 quarter section line.

24 Q. Do you have any proposed recommendations with  
25 regards to a special depth bracket allowable?

1 A. No, just the standard.

2 Q The existing allowable for wells of that depth is  
3 sufficient to satisfy your proposed needs?

4 A. That is correct, we are not asking for a discovery  
5 allowable per se.

6 Q Please refer to Exhibit Number Three and identify  
7 it?

8 A. Exhibit Number Three is a cross section that includes  
9 the Ashman and Hilliard Clayton No. 1 Well in the southwest  
10 quarter of the southwest quarter of Section 22 of 15, 33.

11 Q We are ready for Exhibit Number Three, it is.

12 A. Right. Exhibit Number Three is a cross section  
13 between the Ashman and Hilliard Clayton No. 1 Well and the  
14 Mathis Spencer Hutson Clayton No. 1 Well and the Standard of  
15 Texas State No. 1 Well. You will notice that the Ashman and  
16 Hilliard Clayton No. 1 Well was completed from a zone  
17 considerably below the completion interval of the Clayton No. 1.  
18 This zone was identified as the Cisco zone, the well produced  
19 nine hundred and forty-three barrels of oil before being  
20 plugged. The Mathis Spencer and Hutson No. 1 Well is producing  
21 from a porosity interval at approximately ninety-seven, seventy-  
22 two to eighty-two within the Wolfcamp zone and has accumulated  
23 to date something over five thousand barrels of oil.

24 Q With regards to the Daisy Clayton No. 1 Well, is  
25 there any potential for production from the Wolfcamp in that

**sid morrison reporting service**  
General Court Reporting Service  
825 Calle Mejia, No. 122, Santa Fe, New Mexico 87501  
Phone (505) 982-9212

1 Well?

2 A. There is not. You will notice referring back  
3 to the Ashman Hilliard Clayton No. 1, a drill stem test was  
4 taken over the interval ninety-seven ten to ninety-seven,  
5 sixty-two and recovery was ninety feet of drilling mud with a  
6 slight show of oil, the final shut-in pressure was sixty-six  
7 pounds.

8 Q. Okay.

9 A. Whereas in the Mathis Spencer Hutson Clayton No. 1  
10 the DST over the interval ninety-six, eighty to ninety-eight,  
11 oh, four flowed oil at the rate of eleven barrels per hour  
12 with a final shut-in pressure of thirty-three, ninety-two psig.

13 Q. How does this compare to the Standard Company Texas  
14 State 22 No. 1 Well?

15 A. Okay the Standard of Texas State 22 Well was  
16 completed over a very large interval from approximately ninety-  
17 seven twenty to ninety-nine ten. The DST over approximately  
18 that same interval had gas in thirteen minutes at three hundred  
19 and eighty-seven MCF, decreasing to too small to measure. It  
20 recovered sixteen hundred and seventy feet of oil, eight  
21 hundred and twenty feet of oil and gas cut mud, seven hundred  
22 and twenty-eight feet of slightly oil and gas cut mud and  
23 thirty feet of mud cut salt water. The flowing pressure was  
24 two hundred and ninety-nine pounds, increasing to six ninety-  
25 four. It had a final shut-in pressure of two thousand, three

**sid morrison reporting service**

General Court Reporting Service  
825 Calle Mejia, No. 122, Santa Fe, New Mexico 87501  
Phone (505) 982-9212

1 hundred and thirty-seven. With such a large interval  
2 perforated there is no way to know precisely where the recovery  
3 of this well occurred from. It did produce a total of eight  
4 hundred and twenty-six barrels of oil, five hundred and fifty  
5 barrels of water and eleven hundred and forty-two MCF of gas  
6 and these figures were obtained from Standard of Texas. So,  
7 it is my contention that although it is a grossly correlatable  
8 interval that the zone in which the Clayton No. 1, Spencer  
9 and Hutson Clayton No. 1 Well is producing is non-existent in  
10 the Standard of Texas State 22 No. 1 Well or in the Ashman  
11 Hilliard Daisy Clayton No. 1 Well.

12 Q Please refer to what has been marked as Exhibit  
13 Number Four and identify it?

14 A Exhibit Number Four is a summary of the available  
15 pressure history on the Mathis Spencer and Hutson Clayton No.  
16 Well showing the initial DST, final shut-in pressure of  
17 thirty-three, ninety-two, a measured flowing bottom-hole  
18 pressure was taken January 17th of '76 and was three thousand  
19 one hundred and twenty-one pounds. A shut-in bottom-hole  
20 pressure was taken on January 19th after forty-seven hours  
21 and was measured at thirty-four, seventy-three psig. Another  
22 bottom-hole pressure was measured after two hundred and eleven  
23 hours and thirty minutes shut-in of three thousand, five  
24 hundred and ten pounds. Then a draw-down flowing test was  
25 taken on January 27th, '76 and after flowing twenty-seven hours

**sid morrison reporting service**

General Court Reporting Service  
825 Calle Mejia, No. 122, Santa Fe, New Mexico 87501  
Phone (505) 982-9212

1 the bottom-hole pressure at that point measured twenty-nine  
2 hundred and forty pounds. The well then was produced for a  
3 period of time and then was shut-in again on March the 4th,  
4 1976 and after being shut-in for ninety-six hours the bottom-  
5 hole pressure was still building, the measured pressure was  
6 two thousand and sixty-one pounds and a conservative extrapola-  
7 tion indicated two thousand, four hundred and seventy-three  
8 pounds. This extrapolation is probably very inaccurate in that  
9 the pressure curve was still curving upward at the time but  
10 the operator chose not to leave the well shut in for a longer  
11 period of time. The cumulative production at that time was  
12 five thousand, three hundred barrels of oil and approximately  
13 five thousand, eight hundred and thirty MCF of gas.

14 In an attempt to define the drainage area available  
15 to this wellbore I made a volumetric estimate, utilizing a  
16 porosity value of eleven point eight percent from the logs,  
17 water saturation of eighteen percent from the logs, an  
18 estimated recovery factor of fifteen percent, a formation  
19 volume factor determined from lineature of one point seven  
20 five, a net pay thickness of ten feet, a drainage area of  
21 a hundred and sixty acres, which calculates a recoverable oil  
22 reserve of one hundred and two thousand, four hundred barrels  
23 of oil. In an attempt to verify that number, I assumed two  
24 production decline rates at the time that fifty-three hundred  
25 barrels of oil had been produced. If we assume a twenty percent

**sid morrison reporting service**

General Court Reporting Service  
825 Calle Mejia, No. 122, Santa Fe, New Mexico 87501  
Phone (505) 982-9212

1 annual decline the ultimate recovery would be two hundred and  
2 thirty-eight thousand, four hundred and eighteen barrels of  
3 oil. If we assume a forty percent decline the ultimate  
4 recovery would be a hundred and eight thousand, one hundred  
5 and eight barrels of oil.

6 Inasmuch as the well at this time is not exhibiting  
7 any decline and for the five-day period ending March the 11th,  
8 1976, the well averaged a hundred and forty-three barrels of  
9 oil per day with a gas-oil ratio between nine and eleven hundred  
10 cubic feet per barrel, so it appears rather obvious that the  
11 well is not about to begin a sharp decline and the recovery  
12 then should lie somewhere between the twenty and forty percent  
13 estimate just as a rough estimate.

14 Q If the recovery falls between those two estimates,  
15 in your opinion, will this well be able to drain an acreage  
16 area of a hundred and sixty acres?

17 A Yes, sir, it appears that it will if the reservoir  
18 does indeed cover the area that we have estimated and, of  
19 course, this is something that will have to be proven by  
20 later drilling. There is no way to know, of course, what the  
21 total area is. This is a stratigraphic trap and the size at  
22 this time of the total trap, of course, is unknown.

23 Q You would request temporary rules for a period of  
24 one year from the date of the order entered in this case?

25 A That is correct. This would allow time to evaluate

1 further development as well as the performance of the currently  
2 developed well, to more accurately define what the reservoir  
3 characteristics are.

4 Q In your opinion, Mr. Williamson, will approval of  
5 this application be in the best interests of conservation,  
6 prevention of waste and the protection of correlative rights?

7 A Yes.

8 Q And were Exhibits One through Four either prepared  
9 by you directly or compiled under your direction and supervision?

10 A Yes.

11 MR. KELLAHIN: If the Examiner please, we move the  
12 introduction of Exhibits One through Four.

13 MR. NUTTER: Applicant's Exhibits One through Four  
14 will be admitted into evidence.

15 (THEREUPON, Applicant's Exhibits One  
16 through Four were admitted into evidence.)

17 MR. KELLAHIN: That concludes our case.

18

19 CROSS EXAMINATION

20 BY MR. NUTTER:

21 Q Mr. Williamson, I think you stated that the old  
22 Standard of Texas Well over here had only produced for thirty  
23 days with a total cumulative of eight hundred and twenty-six  
24 barrels, is that it?

25 A Yes, sir, those were the figures that we were able to

sid morrison reporting service  
General Court Reporting Service  
825 Calle Mejia, No. 122, Santa Fe, New Mexico 87501  
Phone (505) 982-9212

1 derive from --

2 Q Then what happened to it?

3 A It was plugged.

4 Q Why did it quit producing, did it just water out or  
5 quit producing everything or what?

6 A It just quit producing.

7 Q How much water did it make with that eight hundred  
8 and twenty-six barrels of oil?

9 A It had made five hundred and fifty barrels of water  
10 and, of course, there was no way to determine whether that came  
11 from the lower part of the perforations or not, they had  
12 perforated over such a large interval.

13 Q Now, the interval that it was producing from does  
14 include the interval that you are producing from in this  
15 MSH Well, right?

16 A Yes, sir.

17 Q So, you don't know that they are not correlative or  
18 that they are not producing from the same zone, you just  
19 suspect that they may not be?

20 A Yes, sir, that's all, because just from my gross  
21 correlation there is no way to separate them.

22 Q On any of these three logs here are you able to  
23 pick the top of the Pennsylvanian?

24 A No, sir, we've got a top of the Wolfcamp and, of  
25 course, the correlations in here are somewhat uncertain as to

**sid morrison reporting service**

General Court Reporting Service  
825 Calle Mejia, No. 122, Santa Fe, New Mexico 87501  
Phone (505) 982-9212

1 terminology and various things but the Pennsylvanian should  
2 lie above.

3 Q Well, I think you have mentioned the word "Cisco  
4 zone" in referring to the Ashman and Hilliard Well over here.

5 A Yes, sir, that is what they call that zone, that  
6 they perforated the Cisco zone.

7 Q Is that the perforation shown on the extreme left  
8 way out here near the bottom?

9 A Yes, sir.

10 Q So, Cisco is Pennsylvanian?

11 A Right, yes, sir, it should lie somewhere in here but  
12 I notice also that the Burtner Well or the well that was called  
13 the Burtner Field, they call that Permo-Penn, so I guess that  
14 is an indication that they were uncertain as to exactly where  
15 the completion lay.

16 Q So, apparently back in 1966 they didn't know where  
17 the top of the Pennsylvanian was either?

18 A No, sir.

19 Q Now, this oval shape that you have drawn on your  
20 Exhibit Number Two, that is just a randomly drawn oval shaped  
21 thing there that doesn't bear on any geology or stratigraphy  
22 or anything does it?

23 A No. The only thing that we have and I should have  
24 mentioned this earlier, in Section 16, in the southwest quarter  
25 of the southeast quarter of 15, 33, a well was drilled there

1 by Humble and I don't see the date but it was an abandoned well  
2 and the logs indicate just a trace of this Wolfcamp zone that  
3 is completed in the Mathis Spencer Clayton No. 1, so, somewhere  
4 between the completion and that hole, of course, the Wolfcamp  
5 zone that we are completed in goes out.

6 Q. Wolfcamp or Permo-Penn?

7 A. Well, interchangeably probably, it is not certain  
8 exactly which one is what.

9 Q. Now, how about this Ashman Hilliard Well, did it  
10 actually go on production?

11 A. Yes, sir, it produced, according to the record, a  
12 total of nine hundred and forty-three barrels of oil and  
13 production ceased and it was plugged.

14 Q. Did it make water too, do you know.

15 A. I was unable to find any record of water so I don't  
16 know.

17 Q. But your well has already made fifty-three hundred  
18 barrels?

19 A. Yes, sir, and it is currently producing about an  
20 average of a hundred and forty to fifty barrels a day.

21 Q. A hundred and forty-three, I think.

22 A. With no water and the gas-oil ratio has been  
23 relatively constant throughout its life.

24 Q. Now, you had proposed hundred and sixty acre  
25 units here and you would dedicate the hundred and sixty acres,

**sid morrison reporting service**

General Court Reporting Service  
825 Calle Mejia, No. 122, Santa Fe, New Mexico 87501  
Phone (505) 982-9212

1 being the southwest quarter of Section 22 to the Clayton No. 1  
2 I guess, even though you've got a completed well or whatever  
3 it is on that one hundred and sixty.

4 A. Yes, sir, it might be that even the proration units  
5 may have to be changed to lie within this productive area  
6 after additional drilling is done.

7 Q. And as I understand your proposed rules with the  
8 one hundred and sixty acre unit you propose that the well  
9 locations be permitted no closer than six hundred and sixty  
10 feet to the quarter section line?

11 A. Yes, sir.

12 Q. And you mentioned a standard allowable, what kind  
13 of a standard allowable was it?

14 A. Just whatever the current allowable is for this  
15 depth well.

16 Q. On what spacing?

17 A. One hundred and sixty acres.

18 Q. On a hundred and sixty?

19 A. Yes, sir.

20 Q. That would be five hundred and some?

21 A. Yes, sir, which is well above the capacity of this  
22 well.

23 MR. NUTTER: Are there any further questions of  
24 the witness? He may be excused.

25 (THEREUPON, the witness was excused.)

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

MR. NUTTER: Do you have anything further, Mr. Kellahin?

MR. KELLAHIN: No, sir.

MR. NUTTER: Does anyone have anything they wish to offer in Case 5653? We will take the case under advisement?


We will recess the hearing until one fifteen.

(THEREUPON, the hearing was in recess.)


**sid morrison reporting service**  
*General Court Reporting Service*  
825 Calle Mejia, No. 122, Santa Fe, New Mexico 87501  
Phone (505) 982-9212

REPORTER'S CERTIFICATE

I, SIDNEY F. MORRISH, a Certified Shorthand Reporter,  
do hereby certify that the foregoing and attached Transcript  
of Hearing before the New Mexico Oil Conservation Commission  
was reported by me, and the same is a true and correct record  
of the said proceedings to the best of my knowledge, skill and  
ability.

  
\_\_\_\_\_  
Sidney F. Morrish, C.S.R.

I do hereby certify that the foregoing is  
a complete record of the proceedings in  
the Examiner hearing of Case No. 5653,  
heard by me on 3/17, 19 76.

  
\_\_\_\_\_, Examiner  
New Mexico Oil Conservation Commission

**sid morrish reporting service**  
General Court Reporting Service  
825 Calle Mejia, No. 122, Santa Fe, New Mexico 87501  
Phone (505) 982-9212

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25