

STATE OF NEW MEXICO
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
OIL CONSERVATION DIVISION

Case No. 6580

IN THE MATTER OF CASE NUMBER 6580)
APPLICATION OF CONOCO, INC.,)
FOR AMENDMENT OF DIVISION ORDER)
NO. R-6157.)

REPORTER'S TRANSCRIPT OF PROCEEDINGS

EXAMINER HEARING
BEFORE: JIM MORROW, HEARING EXAMINER

Thursday, April 18, 1991
10:15 a.m.
Santa Fe, New Mexico

This matter came on for hearing before
the Oil Conservation Division on April 18, 1991, at
10:15 a.m., at Morgan Hall, State Land Office
Building, 310 Old Santa Fe Trail, Santa Fe, New
Mexico, before: Gail D. Vinson, CCR, Certified
Court Reporter Number 297, for the State of New
Mexico.

FOR: OIL CONSERVATION BY: GAIL D. VINSON, CCR
DIVISION Certified Court Reporter
CCR No. 297

I N D E X

April 18, 1991

Examiner Hearing Case No. 6580 (Reopened)

PAGE

APPEARANCES

3

WITNESSES

ROBERT BEAMER

Examination by Mr. Kellahin

6

Examination by Mr. Morrow

35

Reporter's Certificate

39

E X H I B I T S

Page

Conoco Exhibits 1 through 22

34

A P P E A R A N C E S

FOR THE DIVISION: ROBERT G. STOVALL, ESQ.
General Counsel
Oil Conservation Commission
State Land Office Bldg.
310 Old Santa Fe Trail
Santa Fe, New Mexico 87501

FOR CONOCO INC: KELLAHIN, KELLAHIN &
AUBREY
Attorneys at Law
BY: W. THOMAS KELLAHIN, ESQ.
117 N. Guadalupe
Santa Fe, New Mexico 87501

Q. Do you know how you acco HUNNICUTT REPORTING
GAIL D. VINSON, CCR

1 MR. STOVALL: Application of Conoco,
2 Inc., for amendment of Division Order No. R-6157 and
3 Division Administrative Order PMX-153, Maljamar
4 Carbon Dioxide Injection Project, Lea County, New
5 Mexico.

6 EXAMINER MORROW: Appearances?

7 MR. KELLAHIN: Mr. Examiner, I'm Tom
8 Kellahin of the Santa Fe law firm of Kellahin,
9 Kellahin and Aubrey, appearing on behalf of Conoco,
10 Inc. And I have one witness to be sworn.

11 EXAMINER MORROW: Okay. Will the witness
12 please stand and be sworn.

13
14 ROBERT BEAMER,
15 was called as a witness and, having been first duly
16 sworn, was examined and testified as follows:

17
18 EXAMINER MORROW: Go ahead, Tom.

19 MR. KELLAHIN: Thank you,
20 Mr. Examiner.

21 Mr. Examiner, Conoco seeks an amendment
22 to Order Number R-6157 and the accompanying
23 administrative order dealing with the carbon dioxide
24 project in the Maljamar MCACO2 unit. I've provided
25 you with a copy of Order Number R-6157.

1 What we're seeking to do is to make
2 specifically clear in this proposed order the
3 operational practice that Conoco has used with
4 regards to the carbon dioxide project.

5 This project has got a considerable life
6 to it. It started off in a primary producing
7 status as a consolidated effort of various leases.
8 It's gone through waterflood operation and
9 ultimately tertiary CO2 project.

10 The original concept for the carbon
11 dioxide project contemplated the reinjection of
12 produced hydrocarbon gases and natural gas liquids
13 back into the reservoir. That plan of operation
14 has been previously approved by the Division and the
15 Commissioner of Public Lands, and is one that
16 continues to be justified in the opinion of
17 Conoco.

18 However, in reviewing Order R-6157, we
19 became concerned that Ordering Paragraph Number 1,
20 found on Page Number 2, speaks only to the injection
21 of carbon dioxide in water. And while we had the
22 understanding that we could reinject the produced
23 hydrocarbons that were a nonsaleable product and at
24 the point in time that they became economic, in
25 fact, could recover those hydrocarbons and

1 ultimately sell them.

2 We are seeking before you today
3 clarification of that, reconfirmation that it's an
4 appropriate thing to do, that it is in the best
5 interests of conservation. It ultimately causes no
6 waste and there's no impairment of correlative
7 right

subject of a

9 prior case before the Oil Conservation Division for
10 Phillips Petroleum Company. They have a similar
11 tertiary CO2 project in their Vacuum Grayburg-San
12 Andres Pool in that unit. And by Order Number
13 R-6856-A, issued in September of last year, the
14 Division then accomplished the same thing for
15 Phillips Petroleum Company.

16 We have outlined in our application the
17 chronology of events with regards to Conoco's
18 case. I have as my principal witness today Mr. Bob
19 Beamer. Mr. Beamer is a petroleum engineer whose
20 primary responsibility is this carbon dioxide
21 project in the Maljamar.

22 And he's here to discuss with you in
23 detail the operational aspects of the project and
24 his engineering conclusions that the reinjection of
25 this produced hydrocarbon gases and the liquids is

HUNNICUTT REPORTING
GAIL D. VINSON, CCR

1 in the best interest of everyone's correlative
2 rights and ultimately will not cause waste of the
3 valuable resource, and can be produced at such time
4 as it's economic to do so.

5 So with those introductory remarks, I'd
6 like to call Mr. Beamer and have him present his --
7 and display some exhibits.

8

9 EXAMINATION

10 BY MR. KELLAHIN:

11 Q. Mr. Beamer, for the record would you
12 please state your name and occupation?

13 A. My full name is Robert E. Beamer. I'm
14 senior staff engineer for Conoco in the Midland,
15 Texas, division office.

16 Q. Mr. Beamer, on prior occasions have you
17 testified before the division as a petroleum
18 engineer?

19 A. No.

20 Q. Summarize for us your education.

21 A. Received a BS and MS degrees in
22 petroleum natural gas engineering from Penn State
23 University in 1958 and 1960.

24 Q. Subsequent to graduation would you
25 summarize your employment experience as a petroleum

1 engineer?

2 A. I've been employed by Conoco since
3 graduating from Penn State, beginning employment in
4 March of 1960. I've worked various staff and
5 supervisory engineering positions, various locations
6 throughout the United States, and some
7 international. Presently working the Maljamar CO2
8 project since August of 1989.

9 Q. Summarize for us your specific
10 responsibilities with regards to the Maljamar
11 project?

12 A. My specific responsibility is to analyze
13 the reservoir behavior and monitor the performance,
14 serve as the reservoir management coordinator on our
15 project team.

16 Q. Have you studied the Maljamar project in
17 order to reach conclusions with regards to the
18 application before this Division?

19 | A. Yes, I have.

20 Q. And pursuant to that study have you

22 A. Yes. I've prepared -- been associated
23 with preparation of the exhibits that we'll discuss
24 today.

25 MR. KELLAHIN: Mr. Examiner, I tender

HUNNICUTT REPORTING
GAIL D. VINSON, CCR

1 Mr. Beamer as an expert petroleum engineer.

2 EXAMINER MORROW: We accept Mr. Beamer's
3 expert qualifications.

4 Q. Let me ask you, Mr. Beamer, to unfold
5 what is Exhibit Number 1. Locate where we are.

6 A. The MCA Unit is located in the Maljamar
7 field in Lea County, southeastern New Mexico. This
8 map outlines the MCA Unit with the bold black
9 outline. Covers some 8,040 acres. Within that
10 unit area we have designated our active CO2 project
11 areas. The blue outlined area is our stage one
12 area which contains some fifteen CO2 injection
13 wells.

14 Q. What does stage one mean?

15 A. Well, that was the initial stage of
16 operation for our expanded CO2 project. We
17 subsequently expanded that with stage two
18 development to include nine additional CO2 injection
19 wells beginning in January of 1990.

20 Our CO2 injection wells are designated on
21 this map by the open hexagons. The open triangles
22 that you see are the continued waterflood injection
23 wells. The legend at the bottom right corner of
24 the exhibit designates the other facility locations,
25 etc., the red dots refer to our production header

1 locations throughout the field. The green squares
2 are our tank battery locations.

3 And the blue diamond is the site of the
4 Maljamar gas processing plant which is operated by
5 our Natural Gas Department. The red diamond in the
6 south of Section 21 there is the site of our recycle
7 dehydration and compression facility.

8 Q. When we look at the display you've got
9 certain areas identified as expansion. What does
10 that mean?

11 A. Those are areas where we see the
12 potential for future CO2 injection, all contingent
13 upon the results of our stage one and stage two
14 activities.

15 Q. Mr. Beamer, have you prepared a summary
16 for the Examiner of the various orders and approvals
17 associated with your project that you have received
18 from the Oil Conservation Division?

19 A. Yes, Exhibit 2 is a summary of past
20 orders.

21 Q. Let's turn to the book, the red book of
22 displays. Let me have you turn to what is marked
23 as Exhibit Number 2.

24 Lead us through, without describing each
25 and every one of the orders -- leads us through a

1 summary of the key orders and es.

8 This same topic was the 3 A.
4 issued in November of 1942, Order Number 485, and it
5 approved the Maljamar Cooperative Repressuring
6 Agreement, known as the MCRA, which essentially
7 authorized a pressure maintenance program by
8 rejection of the produced gas from the reservoir
9 underlying the cooperative participating area.

10 From that date through late 1962, there
11 were a series of five supplements to that order,
12 essentially designating operatorship of the area.
13 And also you'll note in mid-1950 two orders
14 authorizing a pilot waterflood program followed by
15 an expansion of that project, culminating in late
16 1962 with Supplement 5, which essentially unitized
17 the interest in the Grayburg-San Andres reservoir
18 underlying the current MCA unit outline.

19 And then Order R-2403 in December of 1962
20 approved that Supplement 5, and the initial plan of
21 operation which covered the waterflood operation.

22 Q. When we get to October of 1979, that's
23 the Division Order Number R-6157 that approved the
24 CO2 pilot program?

25 A. That's correct. And that pilot project

1 then was operational during the early 1980s with
2 actual CO2 injection occurring during the period of
3 -- I believe it was May 1983 through December of
4 1983. That pilot project was analyzed within the
5 company and consequently a plan of operation was
6 developed, designated here as revised plan of
7 operation of November 20th, 1987.

8 That's of particular concern to our
9 meeting here, because in our opinion that details
10 very specifically what our plans were for the
11 development of the project including the reinjection
12 of the produced gases from the project area.

13 Q. Let's turn now to Exhibit Number 3,
14 Mr. Beamer. Would you identify and describe that
15 exhibit?

16 A. Exhibit 3 is a copy of the plan of
17 operation that I just referred to. This is a copy
18 of a letter to the BLM and to the Commissioner of
19 Public Lands in 1987. And as I said before, it
20 details very specifically what Conoco's plans were
21 for the development of the expanded CO2 project.

22 Q. Is there any portion of that Exhibit
23 Number 3 that specifically addresses the reinjection
24 of produced hydrocarbon gases?

25 A. There is.

1 Q. Where do we find that?

2 A. On Page 2, at the bottom of that Page 2,
3 the final paragraph which I believe is highlighted
4 on your exhibit. If I could just quote those few
5 sentences: "We stated in our plan of development
6 and as the CO2 flood progresses significant
7 quantities of CO2 appear in the produced gas. CO2
8 recycle facilities will gather the high CO2 content,
9 produce gas from the pro
21 prepared certain exhibits and displays?ehydrate the gas f
11 the reservoir. "

12 And then following to the next page, "the
13 design of the CO2 recycle facility is based on
14 complete recycle of all produced gas from the CO2
15 flood areas".

16 Q. Has Conoco implemented that plan of
17 operation with regards to the reinjection of
18 produced hydrocarbon gas?

19 A. They have.

20 Q. Summarize for us that operational aspect
21 of the project. When did it commence and why was
22 it done?

23 A. We'll get into that in some more detail
24 as we go through the exhibits. But, essentially,
25 Conoco was aware from the very beginning that

1 reinjection of the produced gases would be required
2 as a matter of course, fairly early in the project
3 life. And they developed their recycle facility,
4 dehydration and compression facilities, beginning
5 just very quickly once our stage one operation began
6 in January of 1989.

7 That recycle facility was completed and
8 operational then in March of 1990, at which time we
9 did begin the reinjection of the produced gases from
10 our stage one and stage two project areas.

11 Q. What was the basis for Conoco's
12 recognition that you would have to reinject the
13 produced gas?

14 A. Primarily it was a consequence of the
15 Maljamar gas plants, acid gas sweetening capacity.
16 Going into the project, our project development team
17 was aware that that gas plant could handle an
18 incremental rate from our project of only 500 MCF
19 per day of CO₂. Our modeling work indicated to us
20 that we would exceed that relatively low limit of
21 CO₂ production from the project area within a short
22 period of time, within six months to a year. And
23 in fact, that did occur.

24 Q. Have you provided verification to the
25 Examiner about the other regulatory agencies

1 approving your revised plan of operation. Is that
2 shown in the display book?

3 A. Yes. Exhibits 4, 5 and 6 -- I'll
4 speak to number 4 first, is a copy of the approval
5 received from the Commissioner of Public Lands,
6 November 6, 1987, to our revised plan of operation
7 which did, as we discussed just a minute ago,
8 discuss the detailed plan of development for the CO2
9 project.

10 Exhibit Number 5 is the received approval
11 from the BLM. And then Figure 6 -- Exhibit 6, is a
12 copy of the approval of the plan of development from
13 the Hobbs local NMOCD office received November 16,
14 1987.

15 Q. I made mention to the Examiner of
16 Phillips' recycling project of CO2 in their vacuum
17 CO2 project. Are you familiar with that project,
18 Mr. Beamer?

19 A. I've reviewed their case of -- I believe
20 it was Augusvents in the life of
21 the project?

ur recycling operation employed

22 by Conoco similar another dissimilar to the Phillips
23 situation?

24 A. In my opinion, it's very similar. As I
25 recall the Phillips case, their need for recycling

GAIL D. VINSON, CCR

1 was caused by limiting gas processing capacity at
2 their gas plant. And when they exceeded a certain
3 percentage of CO2 in their produced gas stream, they
4 were forced to go to a reinjection program versus
5 the option of shutting in their operation.

6 Q. And is that similar to your situation?

7 A. Yes.

8 Q. Let's turn now to Exhibit Number 7, if
9 you will, and identify and describe that display?

10 A. Exhibit 7 is a table that summarizes the
11 status of our unit operation in February of 1991.
12 It breaks down the unit operation as to area under
13 active waterflood operation, continued active
14 waterflood operation, and that area which comprises
15 our stage one and stage two active CO2 project
16 areas.

17 Q. Review for us, using this as a display,
18 the status of the CO2 project operation as shown on
19 the table?

20 A. Currently our stage one and stage two
21 areas, as I mentioned earlier, have a total of 24
22 CO2 injection wells. Our CO2 pattern is an
23 inverted nine-spot pattern, 80-acre pattern areas,
24 so that this active CO2 project then comprises about
25 1920 acres total. Roughly 24 percent of the total

1 unit area. Within that project area we have --
2 during the month of February we had 97 active
3 producing wells and 20 active CO2 injection wells.
4 Our allocation --

5 EXAMINER MORROW: Did you say 24
6 earlier, or --

7 A. We have a total of 24 injection wells,
8 but during the month of February, 20 of those wells
9 were actively injecting CO2.

10 Q. What portion of the reinjected gas is
11 CO2? Is there a percentage, or what volume of
12 reinjection is -- represents the CO2 gas?

13 A. Well, we'll see that a little bit
14 later. But during the month of February, for
15 instance, the produced gas rate from our CO2 area
16 was approximately 2.1 million cubic feet per day.
17 This rate, as you'll note down under the injection
18 portion of the table, was the rate that was
19 reinjected into our CO2 project.

20 Of the total production rate of 2.1
21 million per day, in February that was composed of
22 about 62 percent of CO2.

23 I might just summarize briefly the
24 injection rate in the unit during February. Of
25 course, our water injection continues at about

duction batteries, and

10 compress and ding a rate of
2 20.6 million cubic feet of pure CO2 from a Cortez
3 pipeline system, combining our produced gas rate of
4 2.1 million cubic feet per day, average, during the
5 month, for a total CO2 injection rate of
6 22.7 million cubic feet per day.

7 Q. Let's turn now to Exhibit Number 8.
8 Would you identify and describe that display?

9 A. This is a summary of our projected
10 recoveries from the unit. Primary waterflood
11 recoveries noted are very well established from past
12 performance. We feel very comfortable with those
13 projections.

14 And we see ultimate recoveries from
15 primary operations of about 18.2 percent of the
16 original oil in place. Waterflood recovery should
17 approach 23.8 percent of the original in place for a
18 total recovery of -- something like 41 percent of
19 the original oil in place.

20 The CO2 estimated or projected recoveries
21 are shown for the stage one and two areas. And just
22 for added input, we've noted the potential recovery
23 from the expansion area. We have no firm plans at
24 this time to go to that expansion area, so I'd just
25 prefer to speak to the active area at this time.

GAIL D. VINSON, CCR

1 Projected slightly greater than 21.5
2 million barrels of oil to be recovered from our CO2
3 operation. These estimates are based on modeling
4 work that was done after calibrating a model based
5 on our pilot operation that was run back in the
6 early 1980s.

7 Q. Let me have you turn to Exhibit
8 Number 9. Would you identify that, please?

9 A. Exhibit 9 is simply a plot of the
10 historic production and injection performance of the
11 NCA units since 1963.

12 Q. Would you take a moment and look at the
13 oil production curve and show us significant changes
14 in unit operations?

15 A. The oil production curve is designated
16 by the black solid boxes. Note that peak oil
17 production rate from the unit occurred in 1972 at
18 about 17,000 barrels per day. That was the result
19 of an in-flow drilling program that began in the
20 early 19 -- or the late 1960s, rather, whereby they
21 in-fill drilled to develop the field from 40 acre
22 spacing to 20 acre spacing. And also it's the
23 result of the expanded waterflood program. A
24 fairly classic response to the waterflood operation
25 and also a very pronounced decline -- established

1 decline, following the peak rate.

2 You'll notice, beginning in the 1986,
3 1987 period, a flattening of that decline. That
4 was caused by some new well drilling, but primarily
5 the result of some concentrated well work activity
6 that was done in preparing for our CO2 project.
7 Quite a concentration on remedial work activity.

8 You'll notice of 1990, yes.

21 Q. How is your projection of the normal
10 waterflood operation decline in the unit. And that
11 corresponds to the established decline seen prior to
12 the 1986 flattening. And we've defined this -- it
13 so happens that that's approximately 8 percent per
14 year decline rate.

15 And we've defined that decline then as
16 waterflood recovery. Anything greater than that
17 decline resulting from our EOR operation will be
18 considered EOR reserves or recovery.

19 Q. Have you attempted to project the
20 potential incremental oil that you can attribute to
21 the CO2 project?

22 A. Yes.

23 Q. Is that shown in the form of display?

24 A. The next exhibit, Number 8, shows that.

25 Q. I think so we're up to 10.

1 A. We are, 10?

2 Q. Yes, sir.

3 A. I'm sorry. This plot does show our
4 projections of future recovery from the unit. As I
5 mentioned in Exhibit 9, the dashed black line is the
6 projected recovery from an ongoing waterflood
7 operation. That is declining at an average rate of
8 8 percent per year.

9 The upper curve, the blue with the
10 crosses, represents the total expected production
11 from the unit, which will include the waterflood
12 recovery, plus the incremental oil to be recovered
13 from our stage one and stage two operation.

14 Q. This is a projection for only the stage
15 one and stage two areas?

16 A. Projection for only stage one and stage
17 two.

18 Q. What have you estimated in terms of
19 additional barrels of oil to be directly
20 attributable to the CO2 injection for the project in
21 stages one and two? Do you have a projection for
22 that --

23 A. Total recovery is expected to be about
24 21.6 million barrels of oil. The plot indicates
25 that we've projected a significant response to our

1 operation beginning in late this year, expecting
2 that oil production then to peak at about 4700
3 barrels per day. Currently our unit production is
4 averaging 2600 barrels per day.

5 Q. Can you summarize for me the data that's
6 used for the simulation?

7 A. Well, simulation was based on response
8 seen in the pilot project that was run essentially
9 during 1982-83 and 84. That data served to
10 calibrate a TDC Model, the modeling work was done in
11 our modeling group in Houston. And they took the
12 results of that -- it was -- the simulation work
13 was done on a pattern type balance -- or pattern
14 type analysis. And then a program was written to
15 composite that to estimate recoveries for the
16 project areas.

17 EXAMINER MORROW: Let me interrupt you
18 with a question before you go any further. When
19 did you start
20 17,000 barrels per day. We're purchasing Stage one was begun
21 January of 1989.

22 EXAMINER MORROW: Okay. So most of what
23 you -- you haven't experienced really any recovery
24 that you attribute to your CO2 project.

25 THE WITNESS: Nothing significant. You

1 can see on Exhibit 10 here, we do show the actual
2 unit production for 1989 and 1990. That's shown
3 with the black star. It's just barely above the
4 normal waterflood decline rate.

5 EXAMINER MORROW: Okay, good.

6 Q. (By Mr. Kellahin) maybe now,
7 Mr. Beamer, is a good time to go to Exhibit
8 Number 11 and have you show the history of your CO2
9 injection?

10 A. Exhibit 11 does show the history of the
11 CO2 injection beginning in January of 1989. With
12 the injection into 15 wells, fairly stable injection
13 rates through 1989. The increased rate beginning
14 in January of 1990 then was the result of expanding
15 the project to include stage two, with an additional
16 nine injection wells.

17 The red curve represents our recycle
18 operation in terms of percentage of the total
19 injection rate. So that in March of 1990, for
20 instance, when we began the reinjection operation
21 recycle, we were cycling roughly 4.2 percent of the
22 total CO2 injection rate. This is increased, and
23 during February we were recycling approximately
24 10 percent of the total injection rate.

25 Q. What percentage of the total injection

1 volumes does the recycled gas represent? Is that
2 the 20 percent?

3 A. 10 percent.

4 Q. Ten percent, I see, okay.

5 A. That's 10 percent.

6 Q. So that's how to read this. Is that --
7 the total gas reinjected then, that portion of that
8 gas is 10 percent in February of 1991?

9 A. That's right. The black curve is in
10 units of millions of standard cubic feet per day,
11 which in February was about 22.5 million cubic feet
12 per day. The recycle rate was 10 percent of that.

13 Q. What factors determine the necessity of
14 recycling the total produced gas stream from the CO2
15 injection area?

16 A. Well, as I mentioned earlier, the gas
17 plant was capable of handling approximately 500 MCF
18 a day of additional CO2 production from our project
19 area, with their existing sweetening capacity. We
20 exceeded that rate sometime in mid-1989 and were
21 forced to divert the production from four of our
22 wells out of the gas plain inlet at that time
23 because of high CO2 concentration and relatively
24 high gas rates.

25 In the interim then, between August of

the dashed black line from

9 1990 onwa

1 1989 and March of '90, we built the recycle
2 facility. And once it was operational then we were
3 able to divert all of the produced gases from our
4 project area through that recycle facility for
5 reinjection combined with the purchased CO2, back
6 into the Grayburg-San Andres reservoir.

7 Q. By August of '89 then, you have reached
8 the capacity of the plant to handle the CO2, and you
9 began to recycle the gas?

10 A. We did not begin the recycle operations
11 until the plant was operational in 1990. In the
12 interim period, we had to divert the gas production
13 from those -- there were four wells involved. We
14 diverted that gas and, in fact, that gas had to be
15 burned up the gas plant's flare stag, to preserve
16 roughly 50 barrels-a-day production.

17 Q. Okay.

18 A. So we were forced to burn that gas until
19 we were able to recycle it.

20 Q. Let's turn now to Exhibit Number 12,
21 Mr. Beamer and have you identify and describe that
22 exhibit?

23 A. Exhibit 12, and the following Exhibit
24 Number 13, are schematic diagrams of the field
25 facilities used in the processing of the produced

HUNNICUTT REPORTING
GAIL D. VINSON, CCR

1 gas stream. The red circles designate our field
2 header facilities where groups of individual wells
3 are combined for testing purposes and distribution
4 to the tank battery areas where the liquids and
5 gases are separated.

6 From the tank batteries gases are taken
7 off from the various operation vessels, including
8 vapor recovery units, metered and sent to the gas
9 plant for processing and sales.

10 Exhibit 12 is the schematic of the
11 pre-recycle operation.

12 Exhibit 13 then -- it is the schematic
13 representation of the facilities following the
14 start-up of the recycle operation, the primary
15 difference being in that the production from our CO2
16 areas now flow directly to a new battery set up at
17 our Battery 2, which we designate as CO2 battery.
18 So that four header systems now flow to the CO2
19 battery, all produce gases from the CO2 project
20 area, then are separated at that facility, taken
21 through a low pressure system to the recycle plant
22 where those gases are dehydrated and compressed to
23 roughly 2200 pounds, to be combined with the
24 purchased CO2 stream for reinjection.

25 Q. Turn now to Exhibit Number 14, please,

1 and identify that for us?

2 A. Exhibit 14 is a plot of our recycle
3 history beginning in March of 1990. The red curve
4 is the recycled gas rate in millions of standard
5 cubic feet per day. The black curve, the upper
6 curve, is the CO2 content of that recycled gas.
7 Beginning in March of 1990, our initial recycle rate
8 was about one in a quarter milliostage one.

20 THE WITNESS: eased to the presented level of
10 about 2.1 million cubic feet per day.

11 CO2 content in that recycled stream has
12 increased from roughly -- looks like 45 percent to
13 the current 62 percent of that total recycle stream.

14 Q. Do you have an explanation as an
15 engineer as to why we're seeing the percentage of
16 the gas stream up to 62-plus percent CO2, while we
17 have yet to see significant response in the project
18 area to the CO2 injection?

19 A. The majority of our CO2 production is
20 associated with a minimum number of wells.
21 Actually, we can identify six wells. And if you
22 would turn to Exhibit 15, I've shown the location of
23 those six relatively high gas producing wells.
24 They're somewhat randomly located across the unit
25 area. The red circles designate those as producing

1 in excess of 50 MCF per day per well.

2 Actually in February the total rate --
3 the total produced rate from those six wells totaled
4 1.4 cubic feet per day at an average CO2 content of
5 89 percent. Ninety-one of the 97 wells in this CO2
6 project area, are producing at rates less than an
7 average of 8 MCF per day per well and are producing
8 essentially zero CO2 content.

9 So this high CO2 content, from a
10 relatively high rate, affects the overall average
11 quite significantly.

12 Q. Can you avoid the necessity of
13 reinjecting the hydrocarbon gases that have the CO2
14 in them by simply shutting in these six wells that
15 produce substantial quantities of carbon dioxide?

16 A. Could we?

17 Q. Yes.

18 A. Well, we could at the expense of
19 shutting in the oil production.

20 Q. You don't see any operational necessity
21 to do that then, do you?

22 A. No.

23 Q. Do you see in pattern developed with the
24 high CO2 producing wells to cause you to be
25 concerned that you have an ineffective CO2 flood in

1 stages one or two?

2 A. Not really. It's evident that we have
3 some problem wells. And the main benefit from this
4 is that we see the majority of our gas is still
5 remaining in the reservoir. The bulk -- the vast
6 majority of our producing wells, roughly 93 percent
7 of the unit are producing with no CO2, after two
8 years of operation. We think that is very
9 significant in that the CO2 displacement process
10 must be working as we projected it to be.

11 Q. Let me direct your attention to Exhibit
12 Number 16. Would you identify and describe that
13 display?

14 A. Exhibit 16 is our projected CO2 and
15 recycle requirements. Again, based on the modeling
16 work that was done for this project. The purchased
17 CO2 requirement is shown in the solid black boxes,

25

19 red. All of these are in terms of millions of
20 standard cubic feet per day injection rate.

21 The total then of the recycle plus the
22 purchase is shown in the blue star plot, which is
23 the upper plot. We've projected that we will have
24 to purchase CO2 through the year 2,002, it looks
25 like. At which time our recycle rated should be

1 sufficient to carry the process.

2 I've also shown on this plot the actual
3 rates observed during 1989 and 1990. The actual
4 total injection rate is shown with the black star,
5 and you can see that it pretty much overlays the
6 projection. The actual recycle rate is slightly
7 above our projection, but not significantly so, so
8 that we have a fairly high comfort factor here that
9 our process is proceeding about as expected.

10 Q. Turn to Exhibit 17, and identify and
11 describe that display?

12 A. Exhibit 17 is the summary of the gas
13 analysis of the various extremes that we're
14 injecting into our project. The left column, of
15 course, is the component within these given
16 streams. The Cortez pipeline percentage is the
17 analysis of the pure CO₂ that we purchase, greater
18 than 98 percent pure CO₂, with minor contaminants.
19 The recycle stream analysis taken at our recycle
20 facility in early February showed an analysis of
21 approximately 70 percent on that day of CO₂ with
22 methane being the next highest percent.

23 We've calculated then, based on the
24 average February rates shown at the bottom of this
25 table -- we've calculated the combined gas analysis

1 stream that we were injecting during the month of
2 February. And we know that the CO2 content in that
3 combined stream is -- or for February, at least,
4 was greater than 95 percent. And we feel that this
5 is representative of our current operation.

6 Q. Let's turn to Exhibit Number 18. Would
7 you identify that display and describe its contents?

8 A. This is a table that shows the
9 relationship of minimum miscibility pressure of our
10 reservoir system versus CO2 impurities, if you
11 will. It's important that the MMP of this combined
12 CO2 reservoir oil system be less than the reservoir
13 pressure, so that admissible development processes
14 will develop as the CO2 moves through the reservoir.
15 This table shows that the MCA reservoir accrued
16 pressure in the order of 1140 pounds, which was
17 determined from lab work done in our research lab.

18 This is comparable to the Phillips MMP
19 that was reported in their hearing last year. We
20 feel that the two reservoirs are very analogous,
21 both of them being in the Grayburg-San Andres system
22 and in the same geographic province, really.

23 Going down the column of CO2
n cubic feet per

9 day. That has incr
25 percent CO2, for instance, with a 10 percent methane

HUNNICUTT REPORTING
GAIL D. VINSON, CCR

1 concentration.

2 We estimate the MMP for that particular
3 system from some published correlations out of the
4 referenced paper to be on the order of 1440
5 pounds. Again, this is consistent with the
6 increases in MMP that the Phillips vacuum system
7 recognizes for that type of contaminated CO2
8 stream.

9 The significance of this is that this is
10 quite a bit lower than the MCA average reservoir
11 pressure. We're seeing average pressures out there
12 now on the order of 2500 pounds. Of course, our
13 pressures in the injection well bore regions are
14 even higher than that. So that we feel very
15 comfortable with this relationship that we should
16 not see any breakdown at all in our admissible
17 displacement processes as we come down the CO2
18 purity, down to as low as 90 percent CO2 content.

19 And based on our laboratory work and
20 projections, we do not see our combined stream
21 analysis dropping below a 90 percent CO2 content.

22 Q. What is your opinion as a petroleum
23 engineer concerning potential loss of recoverable
24 hydrocarbons by the reinjection of the hydrocarbon
25 gases back into the reservoir with this recycling

1 process?

2 A. Well, based on the effects, the
3 relationships that we see here on MMP versus
4 contaminated CO2 streams, there should be no loss at
5 all. The reinjection of the produced hydrocarbon
6 gases will not affect the existing displacement at
7 all and it should not affect the recovery from this
8 project at all.

9 Q. Will the reinjection of the hydrocarbon
10 gases also provide or add to the miscibility
11 process?

12 A. Yes. Essentially they are miscible
13 with the reservoir crew.

14 Q. Has Conoco examined the economic
15 feasibility of building or installing the necessary
16 facilities so that you can market the hydrocarbon
17 liquids and gases that are being produced and
18 recycled now?

19 A. We have looked at it, not in any great
20 detail as yet. Our Natural Gas Department has
21 tentatively begun such a plan for 1992. The
22 detailed economics of that plan have not been
23 analyzed.

24 We have a similar CO2 project ongoing in
25 western Texas, where they are planning a natural gas

1 liquids recovery plant later this year. And they
2 want to look at the results of that before they
3 commit to the investment required to build such a
4 plant here at Maljamar.

5 18 if you will. The recycle requirement is sh
6 the economics of a liquids recovery plant require
7 significant gas throughput. We don't have that
8 yet. We are considering it. The recycle facility
9 has been designed to accommodate a liquids recovery
10 plant in the future, if that looks like it's going
11 to be economical.

12
13 Q. Has the past operation of reinjecting
14 the produced hydrocarbons caused waste, in your
15 opinion?

16 A. No, it has not.

17 Q. And has it impaired the correlative
18 rights of any owners to the minerals?

19 A. No.

20 Q. Will the continuation of that process
21 constitute waste in your opinion?

22 A. No, it will not.

23 Q. And will it potentially impair or
24 violate the correlative rights of any of the owners?

25 A. No.

1 Q. When we turn to Exhibits 19, 20 and 21,
2 what are we looking at in the exhibit book,
3 Mr. Beamer?

4 A. Exhibit 19 is a copy of the letter of
5 notification of this hearing to the attached mailing
6 list, which is essentially all interested operators
7 within one mile of our project area.

8 In addition to this list -- oh, and as
9 well, the copy of the letter was sent to all working
10 interest owners in the unit.

11 In addition, I understand that a copy was
12 sent to the BLM and to the Commissioner of Public
13 Lands.

14 MR. KELLAHIN: Mr. Examiner, Exhibit
15 Number 22 is the supplemental certificate showing
16 notices to the Land Office and the BLM.

17 That concludes my examination of
18 Mr. Beamer, Mr. Examiner. We would move the
19 admission of Conoco Exhibits 1 through 22.

20 EXAMINER MORROW: Exhibits 1 through 22
21 are admitted.

22 (Conoco Exhibits 1 through 22
23 admitted into evidence.)
24
25

EXAMINATION

1
2 BY MR. MORROW:

3 Q. Mr. Beamer, do you expect that the
4 reinjected hydrocarbon gas will eventually be
5 recovered, or will it be lost in the reservoir?

6 A. I would say a portion of it will be
7 recovered. I can't tell you what percentage of
8 that. As this process continues, of course, we
9 will be recycling continuously and a good portion of
10 recycle stream, or the fluid stream will
11 continuously recycle through the reservoir. A
12 portion of it at the very end of the unit, very
13 likely will remain in the reservoir. But I don't
14 know what percentage of that.

15 Q. How much oil do the six CO2 producers
16 produce combined total production, do you have that
17 approximate number?

18 A. We're talking in terms -- I don't have
19 off at the 240,000 barrels a day, I think it would be a preference of 90
20 mail that to you or call it to you.

21 Q. Okay. When it was necessary to burn
22 the gas from the four wells that you talked about,
23 was that coordinated with the Hobbs office; do you
24 know?
25

1 A. Well that was coordinated through the
2 gas plant and with --

3 Q. Excuse me just a minute. The Hobbs
4 office of OCD is what --

5 A. I personally can't answer that, because
6 I don't know. I would say that it conformed to the
7 permits of the gas plant.

8 Q. Do you know how you account for the
9 reinjected gas, the percent of CO2 on your
10 production report, your monthly production report?

11 A. In terms of reporting to the state
12 or --

13 Q. Yes, sir, both the injected volume and
14 the amount of it that is hydrocarbon gas and the
15 amount that is --

16 A. I don't know that breakdown is reported.
17 We report total gas injected into each individual
18 well. But I don't believe we report the percentage
19 recycled.

20 Q. The gas produced from the waterflood
21 area, that --

22 A. That continues.

23 Q. Does that continue to go through the
24 Maljamar plant?

25 A. It does, yes.

1 Q. Twin injection wells on the Exhibits
2 one, what -- tell me about those, if you would?

3 A. Specifically, sir?

4 Q. 33, 55 and 45. I wondered why you had
5 two of them in one place?

6 A. 33 55 and 45 -- oh, that's in the
7 waterflood injection area. I really can't answer
8 that. I would suspect that one was a relatively
9 recent -- well I know from the number that 33 55
10 was a relatively recent completion, as opposed to
11 45. I would suspect that it replaced that
12 particular well. Although 45 shows it to be
13 active, I can't --


14 EXAMINER MORROW: All right. I believe
15 that's all the questions I had. Mr. Beamer, you
16 may be excused.

17 THE WITNESS: Okay. Thank you.

18 MR. KELLAHIN: That's all we have.

19 EXAMINER MORROW: Case 6580 will be
20 taken under advisement.

21

22 I do hereby certify that the foregoing is
23 a complete and true report of the testimony in
24 the Examination of Case No. 6580
25 heard by me on April 18, 1991.

Gail D. Vinson, CCR
Oil Conservation Division

1 STATE OF NEW MEXICO)
2) ss.
3 COUNTY OF SANTA FE)
4
5

6 REPORTER'S CERTIFICATE


7 I, GAIL D. VINSON, CCR, a Certified Court
8 Reporter and Notary Public, DO HEREBY CERTIFY that I
Our current gas production is relatively

ore

10 the Oil Conservation Division; that the foregoing is
11 a true, complete and accurate transcript of the
12 proceedings of said hearing so taken and transcribed
13 under my personal supervision.

14 I FURTHER CERTIFY that I am not related to
15 nor employed by any of the parties hereto, and have
16 no interest in the outcome hereof.

17 DATED at Santa Fe this 20th day of May,
18 1991.

19
20 
21 GAIL D. VINSON, CCR
22 Certified Court Reporter
23 CCR 297, Notary Public
24
25

