

STATE OF NEW MEXICO  
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT  
OIL CONSERVATION DIVISION  
CASE 10340

EXAMINER HEARING

IN THE MATTER OF:

Application of Meridian Oil, Inc., for a  
High Angle/Horizontal Directional Drilling  
Pilot Project, Special Operating Rules, a  
Non-Standard Oil Proration Unit, an  
Unorthodox Gas Well Location, and an  
Exception to Division Order No. R-5459,  
as Amended, San Juan County, New Mexico

TRANSCRIPT OF PROCEEDINGS

BEFORE: MICHAEL E. STOGNER, EXAMINER

STATE LAND OFFICE BUILDING

SANTA FE, NEW MEXICO

June 27, 1991

**ORIGINAL**

## A P P E A R A N C E S

FOR THE DIVISION: ROBERT G. STOVALL, ESQ.  
Counsel for the Division  
Post Office Box 2088  
State Land Office Building  
Santa Fe, N.M. 87504-2088

FOR THE APPLICANT: W. THOMAS KELLAHIN, ESQ.  
Kellahin, Kellahin & Aubrey  
Post Office Box 2265  
Santa Fe, N.M. 87504-2265

FOR AMOCO PRODUCTION  
COMPANY: WILLIAM F. CARR, ESQ.  
Campbell & Black, P.A.  
Post Office Box 2208  
Santa Fe, N.M. 87504-2208

1	I N D E X	
2		Page Number
3	Appearances	2
4	GREGORY L. JENNINGS	
5	Examination by Mr. Kellahin	5
6	Examination by Hearing Examiner	42
7	ERIC R. BAUER	
8	Examination by Mr. Kellahin	21
9	JOHN CLAYTON	
10	Examination by Mr. Kellahin	29
11	Examination by Hearing Examiner	34, 46
12	WALTER B. "SKIP" FRAKER	
13	Examination by Mr. Kellahin	37
14	Statement of William Hawkins	47
15	Certificate of Reporter	49
16	E X H I B I T S	
17	APPLICANT'S EXHIBITS:	
18	Exhibit 1	
19	Exhibit 2	6
20	Exhibit 3	15
21	Exhibit 4	7
22	Exhibit 5	21
23	Exhibit 6	35
24	Exhibit 7	39
25	Exhibit 8	47

1 EXAMINER STOGNER: Call the next case No.  
2 10340.

3 MR. STOVALL: Application of Meridian Oil,  
4 Inc., for a high angle/horizontal directional drilling  
5 pilot project, special operating rules therefore, and  
6 a nonstandard oil proration unit, an unorthodox gas  
7 well location, and an exception to Division Order No.  
8 R-5459, as amended, San Juan County, New Mexico.

9 EXAMINER STOGNER: I'll call for  
10 appearances.

11 MR. KELLAHIN: Mr. Examiner, I'm Tom  
12 Kellahin of the Santa Fe law firm of Kellahin,  
13 Kellahin and Aubrey, appearing on behalf of the  
14 Applicant. I have four witnesses to be sworn.

15 EXAMINER STOGNER: Are there any other  
16 appearances?

17 MR. CARR: If it please the Examiner, my  
18 name is William F. Carr with the law firm Campbell &  
19 Black, P.A., of Santa Fe. I represent Amoco  
20 Production Company.

21 I do not intend to call a witness. Mr.  
22 Bill Hawkins will have a statement at the conclusion  
23 of Meridian's presentation.

24 EXAMINER STOGNER: Are there any other  
25 appearances? Will the witnesses please stand to be

1 sworn.

2 [Thereupon, the witnesses were sworn.]

3 EXAMINER STOGNER: Mr. Kellahin?

4 MR. KELLAHIN: Thank you, Mr. Examiner. I  
5 would like to call Mr. Greg Jennings as our first  
6 witness. Mr. Jennings is a petroleum geologist.

7 GREGORY L. JENNINGS

8 the witness herein, after having been first duly sworn  
9 upon his oath, was examined and testified as follows:

10 EXAMINATION

11 BY MR. KELLAHIN:

12 Q. Mr. Jennings, would you please state your  
13 name and occupation?

14 A. My name is Gregory Louis Jennings. I'm a  
15 senior geologist for Meridian Oil, located in  
16 Farmington, New Mexico.

17 Q. Mr. Jennings, on prior occasions have you  
18 testified before the Division?

19 A. Yes, I have.

20 Q. You participated in the hearings before the  
21 Commission as a petroleum geologist when we discussed  
22 two other horizontal wells in the basin, did you not?

23 A. Yes, I did.

24 Q. And that was the Howell and the Riddle  
25 wells?

1           A.     Correct.

2           Q.     Pursuant to your employment as a geologist,  
3 have you made a geologic study with regards to this  
4 application?

5           A.     Yes.

6           Q.     Based upon that study, have you reached  
7 certain geologic conclusions?

8           A.     Yes.

9                   MR. KELLAHIN: We tender Mr. Jennings as an  
10 expert petroleum geologist.

11                   EXAMINER STOGNER: Mr. Jennings is so  
12 qualified.

13           Q.     Mr. Jennings, before we go to each of your  
14 displays, perhaps we could take one of the orientation  
15 maps and talk in general terms about your project.

16                   To do that, let's go to Exhibit Tab No. 2,  
17 and there's an area locator map. Describe for the  
18 Examiner the general concept of this particular pilot  
19 project and what, in your mind, Meridian is attempting  
20 to accomplish with this type of activity.

21           A.     Well, if you look at the locator map,  
22 you'll see that the project well, the Howell L #5 is  
23 located roughly in the center of the basin, in Section  
24 34 of 30 North, 8 West. Essentially, what we're  
25 trying to do is establish or extend the production

1 from the Chacra interval of the Navajo City Pool.

2 The current production is from one well,  
3 the Lively #7 Y, as completed in the mid-70s in the  
4 Navajo City-Chacra interval. That well, that zone, is  
5 essentially producing from fractured porosity and  
6 permeability. We're trying to extend that pool into  
7 our 320-acre tract.

8 The problem is, as with most fractured  
9 reservoirs, that the probability of success in a  
10 vertical well is very low, and we feel that the only  
11 way we have an economic shot at production is to drill  
12 horizontally in the zone.

13 Q. Let's get more site-specific with the  
14 information to be furnished the Examiner, and let me  
15 ask you, sir, to turn to Exhibit Tab 4. If you'll go  
16 past the vertical profile display and look at the next  
17 display, it's the plan view. You also have a large  
18 copy of that on the wall to the right of the Hearing  
19 Examiner.

20 Let's give him some of the basic  
21 information about this particular prospect and its  
22 relationship to the Lively well. Let's start, first  
23 of all, in looking at the adjoining section to the  
24 east of the subject section, and spot for us the  
25 Lively Chacra producer.

1           A.       You could probably see it quite well from  
2       your seat, but the Lively #7 Y is located in the  
3       northwest of 35, 30 North, 8 West. It's highlighted  
4       in green, and it's essentially twinned by a Mesaverde  
5       producer, the Howell L #3A.

6           Q.       While you're at it, Mr. Jennings, identify  
7       for us in Section 35 the other Mesaverde wells in that  
8       section.

9           A.       There are three other Mesaverde wells in  
10      addition to the Howell L #3A. Essentially, the  
11      section is fully developed. There's the 3 and the 3A  
12      in the west half, and the 39 and the 39A in the east  
13      half. Our subject east half of Section 34 is our  
14      target. It's located about half a mile west of the  
15      Lively #7 Y.

16          Q.       When we look at the Navajo City-Chacra  
17      Pool, what is your recollection about the acreage  
18      dedication pursuant to those pool rules for the  
19      Lively #7 Y well?

20          A.       Well, the Lively #7 Y is producing from the  
21      Navajo City-Chacra interval, which has been deemed a  
22      separate reservoir and not in communication with the  
23      Mesaverde, and has been removed from the Mesaverde  
24      pool.

25          Q.       What acreage, then, is dedicated to that



1 well for spacing unit purposes?

2 A. I believe it's 160 acres in the northwest  
3 quarter.

4 Q. When we look over into the east half of  
5 Section 34, into your proposed spacing unit, you're  
6 requesting the opportunity to put two 160-acre spacing  
7 units together as a single, nonstandard proration  
8 unit?

9 A. Correct.

10 Q. What's the basis for that request?

11 A. Well essentially there are two main  
12 objectives in drilling a horizontal well, and one is  
13 to intercept the fractures at the proper orientation,  
14 and the other is to have some degree of lateral extent  
15 to your horizontal wellbore.

16 You really need the full use of the  
17 320-acre tract to have any lateral extent, significant  
18 lateral extent in your horizontal wellbore.

19 Q. In terms of a drilling window within the  
20 Chacra formation, what do you propose to the Examiner  
21 in terms of a site boundary setback to the east half  
22 of Section 34?

23 A. We're just proposing to stick with the  
24 standard 790 setbacks, essentially create a window 790  
25 feet from the boundaries of the east half of Section

1 34.

2 Q. Those standard setbacks would be applicable  
3 to the Mesaverde rules, would they not, for a typical  
4 320-spaced unit for that reservoir?

5 A. Correct.

6 Q. And that setback would be more restrictive  
7 or conservative than the setbacks under the Chacra 160  
8 rules which would be a 660 setback?

9 A. Correct.

10 Q. All right. Describe for us the other wells  
11 that you're going to have in Section 34 that are the  
12 typical Mesaverde pool completions. Where are they  
13 and how are they identified?

14 A. Meridian originally had the standard two  
15 wells in the east half of 34, the old #4 in the  
16 northeast quarter which was an old open-hole  
17 completion drilled in the 50s.

18 The infill well, the #4A in the southeast  
19 quarter, and then, about a year and a half ago,  
20 Meridian drilled the #4R, a redrill for the #4 which  
21 was in bad mechanical shape and not deemed to have a  
22 very good chance of ultimately recovering the reserves  
23 from the Mesaverde in that 160-acre tract.

24 Q. What do you attempt to achieve as a  
25 geologist with the horizontal well that you have not

1     been able to achieve with the vertical wells that have  
2     been drilled in this section?

3           A.       Essentially, we're trying to get a wellbore  
4     to intercept the fractures that we believe exist in  
5     the Chacra interval in our 320. I guess we just  
6     weren't as lucky as Lively, and our three wells did  
7     not penetrate a fractured location in the Chacra.

8           All three wells that penetrated the  
9     Mesaverde in our 320-acre tract are nonproductive, not  
10    capable of production in the Chacra interval. We  
11    feel, however, that there's a good chance that the  
12    fractures that the Lively produces from extend into  
13    our 320. Very possibly we've even been drained by  
14    that Lively well to this point, but we're simply  
15    seeking, if those fractures do extend into our 320,  
16    we're seeking to produce from them.

17          Q.       Let's go to your cross-section now, Mr.  
18    Jennings, which is on the opposite wall.

19               MR. KELLAHIN: That should be in the  
20    exhibit book as Exhibit No. 3, Mr. Examiner.

21          Q.       Before you describe in detail your  
22    conclusions about cross-section Exhibit No. 3, let's  
23    go first to the type log which, I think, is going to  
24    be behind the locator map, which is the first page  
25    after Exhibit No. 2. Let's start with the type log

1 first. Identify that for us.

2 A. What I have on the wall is a blow-up of the  
3 type log that's in your exhibit book. In fact, I've  
4 even added the Pictured Cliffs and Fruitland  
5 formations so you can get a perspective of where this  
6 Chacra zone sits relative to the underlying and  
7 overlying formations.

8 The Navajo City-Chacra is located--let me  
9 back up. This log is actually a composite log from  
10 Sections 34 and 35 in the Navajo City area. Most of  
11 the log from about 3,150 down is from the Lively well,  
12 and then I've added a section from the adjacent well  
13 in Section 34, that log that had an induction log over  
14 the Pictured Cliffs and the Fruitland.

15 The Navajo City-Chacra interval is at about  
16 3,700 feet, immediately below the Huerfanito  
17 Bentonite. It's approximately 600 feet below the base  
18 of the Pictured Cliffs formation, and about a thousand  
19 feet above the Massive Cliff House formation, which is  
20 the first main producing interval in the Mesaverde.

21 Q. When we look at the pool rules for the  
22 Blanco-Mesaverde, in this particular area where would  
23 be the top of the Mesaverde pool on this type log?

24 A. The Huerfanito Bentonite is in this area,  
25 is essentially the top of the Mesaverde. This well is

1 located north of the Chacra line and north of the  
2 Chacra line the definition of the Mesaverde is from  
3 the top of the Huerfanito Bentonite to a point 500  
4 feet below the top of the Point Lookout formation.

5 Q. In this immediate vicinity, with the  
6 exception of the Lively #7 Y well, are there any other  
7 wells in the immediate vicinity that produce from the  
8 Navajo City-Chacra zone?

9 A. No. In fact, we have direct measurements  
10 in our section that shows it's not capable of  
11 production. When we get into the cross-section I'll  
12 give you some details. There's even a well in Section  
13 35 where someone--Tenneco attempted to offset the  
14 Navajo City-Chacra production, and they failed. They  
15 perforated and frac'd the zone and had to squeeze it.  
16 This is the only producer in this zone, in this area.

17 Q. Within this area, when we look at the  
18 Mesaverde production, is it confined to the Massive  
19 Cliff House member of the pool?

20 A. No, the production essentially starts in  
21 the Cliff House formation and continues on down  
22 through the Menefee and the Point Lookout. I've just  
23 chosen to show the top of the Mesaverde, to give you  
24 some reference.

25 Q. What's the vertical distance between the

1 base of the Navajo City pool and the top producing  
2 interval in the Cliff House member of the Mesaverde?

3 A. Well, the base of the Navajo City formation  
4 to the top of the Massive Cliff House is approximately  
5 900 feet.

6 Q. That 900 feet consists of what?

7 A. Let me just back up one step. The Chacra  
8 zone itself is in this area, and in fact in the main  
9 Chacra trend to the southwest, is interpreted to have  
10 been deposited in an offshore shelf environment,  
11 essentially by storm action. The lithology consists  
12 of very fine-grained silt stones and shales  
13 interbedded, a very low porosity in the neighborhood  
14 of two to four percent in this area, and very low  
15 permeability. Essentially it has no reservoir  
16 characteristics. The production is from, in this  
17 well, is from natural fracturing.

18 The lithology separating the Chacra from  
19 the Mesaverde, the 900 to 1,000 feet, is essentially  
20 tight shale deposited in an offshore marine  
21 environment, with an occasional sand or silt  
22 stringer. Basically no reservoir characteristics  
23 whatsoever.

24 Q. Geologically, do you see any faulting or  
25 other means by which the Navajo City-Chacra is going

1 to be in communication or connection with the  
2 producing zones in the Mesaverde in this vicinity?

3 A. No, I don't. In fact, we have really, to a  
4 large extent as a result of our horizontal drilling,  
5 pursued and studied natural fracturing in this basin,  
6 as well as others, and from cores and fracture  
7 identification logs, the average height of a vertical  
8 fracture in these lithologies tends to be in the  
9 neighborhood from a few inches to perhaps a maximum of  
10 10 feet. It's inconceivable in my mind that you could  
11 have natural fracturing, a natural fracture to cover a  
12 thousand-foot interval and connect these two horizons.

13 Q. Let's turn now to the cross-section, which  
14 is behind Exhibit Tab No. 3, and have you identify and  
15 describe that display for us, Mr. Jennings.

16 A. This cross-section really will show most of  
17 the geologic issues that I would like to talk about.  
18 It's essentially a six-well cross-section which runs  
19 through our east half of Section 34, through all three  
20 Mesaverde wells that penetrated these formations, over  
21 to the Lively #7 Y well, the producing well in the  
22 Chacra formation, and to the immediate twin which is  
23 producing from the Mesaverde formation below, and then  
24 over to the Tenneco Florence #39A, where they  
25 attempted to extend the Navajo City-Chacra pool and

1 failed.

2 Basically, this cross-section shows a few  
3 major points. One is the continuity of the  
4 reservoir. This zone is essentially identical in our  
5 320-acre tract with the Lively #7 Y well over to the  
6 Florence #39A, and in fact in this area it essentially  
7 is a very continuous formation, low porosity, low  
8 permeability.

9 I have included a porosity log in our  
10 Howell L #4R just to show you the porosity.  
11 Essentially, this is on a 0 to 10 percent scale, with  
12 a density porosity in the Chacra interval ranges from  
13 2 to 4 percent maximum, and is quite shaley, if you  
14 look at the gamma ray, just confirming the lack of  
15 just natural reservoir characteristics.

16 In addition, this cross-section is intended  
17 to show where the typical perforations are in the  
18 Mesaverde, and as you can see, with the exception of  
19 an occasional little sand zone above the Massive Cliff  
20 House, the main producing interval is in the  
21 neighborhood of 900 to 1,000 feet below the Navajo  
22 City-Chacra.

23 If you look at the Lively #7 Y, you can  
24 probably see the perforated interval. Just real  
25 briefly, the history on the Lively #7 Y, it was a



1 planned Dakota well. They drilled through the Navajo  
2 City-Chacra interval and had a natural gauge of 5.5  
3 million a day from natural fracturing.

4 They continued on down, drilled to the  
5 Dakota, ran a liner, cemented it all the way back  
6 above the Chacra, completed in the Dakota, came back  
7 in probably a year later, a short time later, and  
8 perforated and frac'd the Navajo City-Chacra interval  
9 and were able to bring it back to an initial rate of a  
10 little over three million a day, and have been  
11 producing from that zone since then.

12 Proof that just how lucky they were and how  
13 hard it is to get this zone, immediately adjacent to  
14 their well, about 300 feet away, is the Howell L #3A  
15 which was drilled a couple years after the Lively #7  
16 Y, and they encountered nothing in the Navajo  
17 City-Chacra.

18 Our Howell L #4R in the northeast quarter,  
19 we took a gauge after we drilled through the interval  
20 with gas, and we had essentially no gas or too small  
21 to measure.

22 And then the Tenneco Florence #39A, in the  
23 southeast of Section 35, actually they had a planned  
24 attempt to complete in this zone to try to extend the  
25 excellent production from the Lively #7 Y, so they

1 drilled to the Mesaverde, ran a line or cemented it up  
2 over the Chacra interval, and perforated and frac'd  
3 with 30,000 gallons of emulsion at 50,000 pounds of  
4 sand, and got nothing from the Chacra. Squeezed it  
5 and went on down and produced the Mesaverde interval  
6 below; just proof that if you're not fortunate enough  
7 to encounter the fractures, your chances of frac'ing  
8 into it are slim to none.

9 Q. When you examine the geology available to  
10 you in this area, do you see any orientation to give  
11 you an opportunity to maximize the chance of  
12 encountering these fractures? Is there any  
13 orientation that you can find?

14 A. Yes. We're pretty fortunate that in this  
15 local area, the fracture direction is northeasterly.  
16 This is based on a variety of data. A couple of the  
17 sources are surface fracture patterns. These fracture  
18 orientation logs that I mentioned that we've run and  
19 other companies have run, showing northeasterly  
20 orientations, and that, essentially, is the basis for  
21 our planned azimuth on our wellbore. We plan to drill  
22 in a southeasterly direction to get maximum  
23 interception of that interpreted fracture direction.

24 Q. The plan, then, is to stay confined to the  
25 Navajo City-Chacra Pool limits with the entire lateral

1 section of the wellbore?

2 A. Correct.

3 Q. Within this drilling window?

4 A. Yes. Shall we--

5 Q. Sure. Let's take a quick look at the  
6 vertical section or the vertical profile, and  
7 summarize for us what we're trying to achieve with the  
8 lateral portion of the well?

9 A. The drilling engineer, John Clayton, will  
10 give you some more details on the particular aspects  
11 of the drilling, but in a nutshell, from my  
12 perspective, what we're planning on doing is drilling  
13 a horizontal well in this Navajo City-Chacra interval,  
14 which is in the neighborhood of 60-feet thick.

15 Like I said, we believe the fracture  
16 direction is approximately northeast. We plan to  
17 drill from northwest to southeast, which should  
18 intersect this fracture in a roughly perpendicular  
19 orientation. However, to ensure that we have the  
20 proper azimuth, what we plan to do is drill down, with  
21 mud, to a certain point, and run a fracture  
22 orientation log and get--more or less fine-tune the  
23 actual fracture orientation that exists in this area.

24 From that point, continue on with drilling  
25 and perhaps fine-tune our azimuth of our wellbore to

1 better intercept the azimuth that we see on this  
2 fracture orientation log. That's why what we've shown  
3 you on our plan view is a planned window for the  
4 wellbore, not an actual path. We believe that the  
5 fractures are approximately northeast, and our planned  
6 well path right now is south 45 degrees east. That  
7 will give us the 1,600-foot lateral section in the  
8 Navajo City-Chacra. We may adjust that, of course, if  
9 the fracture orientations come in any different than  
10 my current interpretation.

11 MR. KELLAHIN: Thank you. Why don't you  
12 have a seat.

13 That concludes, Mr. Examiner, my  
14 examination of Mr. Jennings. We would move the  
15 introduction at this time of Exhibits 2, 3 and 4.

16 EXAMINER STOGNER: Exhibits 2, 3 and 4 will  
17 be admitted into evidence at this time. I'm going to  
18 reserve my questions of this witness at this time, and  
19 see what else you've got to offer.

20 Any questions of this witness?

21 MR. KELLAHIN: I would like to call Mr.  
22 Eric Bauer. Mr. Bauer is a reservoir engineer.

23 ERIC R. BAUER

24 the witness herein, after having been first duly sworn  
25 upon his oath, was examined and testified as follows:

## EXAMINATION

BY MR. KELLAHIN:

Q. Mr. Bauer, for the record, would you please state your name and occupation?

A. Eric Bauer. I'm a reservoir engineer for Meridian Oil.

Q. Mr. Bauer, on prior occasions, have you testified as a reservoir engineer before the Division?

A. Yes, I have.

Q. Pursuant to your employment as a reservoir engineer, have you made a study of some of the engineering aspects of this particular request of your company for a horizontal well in the Chacra Pool?

A. Yes, I have.

MR. KELLAHIN: We would tender Mr. Bauer as an expert reservoir engineer.

EXAMINER STOGNER: Mr. Bauer is so qualified.

Q. Mr. Bauer, let me ask you to turn in the exhibit book to the information contained behind Exhibit Tab No. 5.

A. Yes.

Q. Have you researched, analyzed and reviewed the available production and pressure information from the Lively #7 Y Chacra producer in the adjoining

1 section to your Section 34?

2 A. Yes, I have.

3 Q. Have you compared the performance of that  
4 well in terms of its pressure and production to the  
5 Mesaverde wells in close proximity to the Lively #7 Y  
6 well?

7 A. Yes, I have.

8 Q. Based upon your studies, do you have an  
9 engineering opinion or conclusion about whether or not  
10 the Chacra zone in the #7 Y well is in a separate  
11 reservoir from the Mesaverde-producing zones?

12 A. Yes, I do.

13 Q. What is that opinion?

14 A. That opinion is that the Chacra interval,  
15 the Navajo City-Chacra interval, is not in  
16 communication with the Cliff House interval of the  
17 Mesaverde and down.

18 Q. Do you see any information from the Chacra  
19 producer, in the Chacra zone, to give you any belief  
20 that they're in pressure communication with the  
21 Mesaverde being produced in any of the wells  
22 offsetting?

23 A. No, I do not.

24 Q. When you plot the information available  
25 from the #7 Y well, and compare that to the other

1 Mesaverde wells within its spacing unit, have you  
2 reduced that information to a display?

3 A. Yes, I have, and it appears immediately  
4 after Exhibit 5.

5 Q. Let me have you identify for us the three  
6 wells you've plotted data for. Which ones are they?

7 A. Okay. They would be the Howell L #3, which  
8 is in the southwest quarter of Section 35, the Howell  
9 L #3A, which is in the northwest quarter, and the  
10 Lively #7 Y, which is approximately 300 feet to the  
11 west of the Howell L #3A.

12 Q. When we look on your data sheet, identify  
13 for us how you have coded the information for each of  
14 those three wells.

15 A. Okay. First of all, I've plotted shut-in  
16 wellhead pressure versus date, and at the bottom  
17 you'll notice a legend and it has specific symbols for  
18 specific wells. And then immediately following the  
19 well name is the completion date.

20 Q. Give us a summary, starting with the Howell  
21 L #3 well, which is the first well on which you've  
22 plotted the pressure data, track the pressure  
23 performance of that well and then tell us what happens  
24 when the next well, the Lively well, begins to record  
25 surface shut-in pressures.

1           A.       Okay. First, the Howell L #3 was completed  
2 in January of 1951, with an initial shut-in pressure  
3 of approximately 1,100 pounds. This plot only shows  
4 from 1970 forward, and it is declining and holding  
5 steady from 1978 on, at approximately 400 pounds.

6           The next well is the Lively #7 Y which was  
7 completed in June of 1974, and it came on at an  
8 initial shut-in pressure of 775 PSI, and its last data  
9 point is 1984.

10          Q.       When we look at the Lively shut-in initial  
11 pressure, the 775--

12          A.       Yes.

13          Q.       --and look down the display in 1974, and  
14 find the surface shut-in pressure for the Howell  
15 well--

16          A.       Yes.

17          Q.       --just short of 500 pounds?

18          A.       Correct.

19          Q.       Can you draw any engineering conclusions  
20 about the surface pressure differential between those  
21 two wells at that point in time?

22          A.       Yes. That the Mesaverde interval had less  
23 pressure at that time due to production.

24          Q.       If the Lively well in the Chacra had been  
25 in pressure communication with the Mesaverde, being



1 produced by the Howell L #3 well, would you have  
2 anticipated the surface shut-in pressure of the Lively  
3 well to be that high?

4 A. Not that high. I would anticipate maybe a  
5 little bit higher than the Howell L #3.

6 Q. Over time, then, you continue along and you  
7 pick up, then, the Howell L #3A well?

8 A. Correct, in 1976.

9 Q. By 1977, what has happened to the pressure  
10 performance data for the Howell L #3A well when you  
11 compare it to the Howell L #3 well?

12 A. They have met, and they track almost on top  
13 of each other from 1977 through 1989, which is our  
14 last data point.

15 Q. What's your engineering conclusion about  
16 those two wells?

17 A. They are in contact with the same  
18 reservoir.

19 Q. How does that compare to or contrast with  
20 the Lively #7 Y well?

21 A. The Lively #7 Y began an initial pressure  
22 of 775 PSI, which is considerably higher, and it has  
23 not dropped off, where the Howell L #3A dropped off  
24 quite rapidly to meet the Mesaverde pressure line.

25 Q. Does the pressure profile for the

1 Lively #7 Y well establish a certain rate of pressure  
2 decline for you as a reservoir engineer?

3 A. Yes, it does.

4 Q. How does that pressure decline plot compare  
5 to the decline profile of pressure for the two  
6 Mesaverde wells?

7 A. It is much steeper, as illustrated by the  
8 graph.

9 Q. What is your ultimate conclusion, then,  
10 about whether or not the Lively is producing from a  
11 separate source of supply than the Mesaverde wells in  
12 the immediate vicinity?

13 A. That they are not in pressure  
14 communication.

15 Q. Have you looked at the production and fluid  
16 rates being produced by the Mesaverde and the Chacra  
17 well?

18 A. Yes, I have.

19 Q. What does that tell you?

20 A. If we turn to the next page in Exhibit 5,  
21 this shows a production plot of the Lively #7 Y. The  
22 access on the Y is in per-month figures. For  
23 instance, the gas is in Mcf per month.

24 It shows that the Lively #7 Y started off  
25 in 6 of 1974, and then in June of 1976, the

1 Howell L #3A came on and was first delivered, and  
2 there's no evidence in the Lively #7 Y as far as  
3 change in any sort of production figures. I want to  
4 again emphasize that the Howell L #3A is 300 feet  
5 away.

6 Q. If they were in communication, would you,  
7 as a reservoir engineer, expect that the rates of  
8 production would have fluctuated in the #7 Y well?

9 A. Yes, I would. I would have expected that  
10 the #7 Y's production would have dropped off due to  
11 drainage.

12 Q. What about the characteristics of the  
13 hydrocarbons and fluids being produced by either well?

14 A. If you turn your attention to the next  
15 graph, which shows the Howell L #3A, you'll notice  
16 that the Howell L #3A has liquids associated with it,  
17 which are apparent in most Mesaverde wells that we've  
18 drilled in this basin. The Lively #7 Y, in contrast,  
19 does not have any liquids associated with it.

20 Q. What is your conclusion about that  
21 comparison?

22 A. Based on the fact that the Howell L #3A had  
23 no evidence of production impact on the Lively #7 Y's  
24 production plot, and that the Lively #7 Y does not  
25 produce any liquids, again my judgment is that they

1 are not in communication, they are separate  
2 reservoirs.

3 Q. When we look at the reservoir engineering,  
4 what are you attempting to accomplish, as a reservoir  
5 engineer, with the high angle/horizontal well in the  
6 Chacra zone when we move into the east half of Section  
7 34?

8 A. In the east half of Section 34, we're  
9 drilling a horizontal well to encounter natural  
10 fractures in the Navajo City-Chacra.

11 Q. From what information you have available to  
12 you, that appears to be about the only way to have a  
13 realistic opportunity for production out of the Chacra  
14 is to maximize the chance to intercept these  
15 fractures?

16 A. Correct. Based on what the geologist  
17 showed in the logs, there does not seem to be a good  
18 porosity in that interval. In fact, a number of our  
19 wells are Mesaverde wells; the Howell L #3A, and the  
20 #4A, have not intercepted any fractures vertically.  
21 Therefore, we are attempting a horizontal well.

22 MR. KELLAHIN: That conclusion my  
23 examination of Mr. Bauer, Mr. Stogner. We would move  
24 the introduction of Exhibit No. 3.

25 MR. KELLAHIN: Exhibit No. 3 will be

1 admitted into evidence. Again, I'm going to hold my  
2 examination possibly until later.

3 Any questions of this witness? Anybody  
4 else?

5 There being none; Mr. Kellahin?

6 MR. KELLAHIN: Call Mr. John Clayton.

7 JOHN CLAYTON

8 the witness herein, after having been first duly sworn  
9 upon his oath, was examined and testified as follows:

10 EXAMINATION

11 BY MR. KELLAHIN:

12 Q. Mr. Clayton, would you please state your  
13 name and occupation.

14 A. My name is John Clayton. I'm a drilling  
15 engineer for Meridian Oil, and I reside in Farmington,  
16 New Mexico.

17 Q. Mr. Clayton, on prior occasions, have you  
18 testified as a drilling engineer?

19 A. No, sir, I haven't.

20 Q. Summarize for us your education.

21 A. I obtained a Bachelor of Science degree in  
22 petroleum engineering from Louisiana State University  
23 in the spring of 1986, and I worked for Meridian Oil  
24 in Billings, Montana, Denver, Colorado, and now  
25 Farmington, New Mexico, for five years.

1           Q.       Summarize your experience as a drilling  
2 engineer.

3           A.       Most of my experience as a drilling  
4 engineer for the past three years has been engineering  
5 and designing horizontal wells in the Williston Basin  
6 in North Dakota.

7           Q.       Have you participated in the drilling and  
8 completion program for this horizontal well in the  
9 Chacra pool?

10          A.       Yes, sir.

11                 MR. KELLAHIN: We tender Mr. Clayton as an  
12 expert drilling engineer.

13                 EXAMINER STOGNER: Mr. Clayton is so  
14 qualified.

15          Q.       Mr. Clayton, let me have you turn to a copy  
16 of the vertical profile. You'll find that as the  
17 first display following Exhibit No. 4. It's also  
18 reproduced in a larger size on the hearing room wall.

19                 Let's have you take us from the surface,  
20 and give us a summary of your drilling program,  
21 starting with your surface procedures and how you  
22 propose to drill and complete this well.

23          A.       The vertical portion of the hole, as you  
24 can tell from the nine-section plat there's several  
25 offsets, and we don't anticipate any problems. We'll

1 set 13-3/8 casing at about 300 feet, basically use it  
2 for the diversion system where we can nipple up our  
3 blow-out preventors. Underneath our 13-3/8 we'll  
4 drill 12-1/4" hole to an estimated kick-off point of  
5 3,150 feet.

6 At that point we'll continue drilling  
7 12-1/4" hole along the desired azimuth. Right now  
8 we're looking at South, 45 degrees East. We'll build  
9 at 12-1/2 degrees per hundred with a fixed-build  
10 motor. We'll build to the top of the Huerfanito  
11 Bentonite. At that depth we should be in the range of  
12 65 degrees inclination.

13 From that point we're looking at running  
14 some fracture identification logs to confirm our  
15 northeast fracture trend in this portion of the  
16 basin. If that's the case, we'll continue building to  
17 90 degrees. At that point we should be located at  
18 3,650 foot true vertical depth and nine degrees.

19 From there we'll continue to drill to 790  
20 feet from the section boundary, if so given to us. At  
21 that point, if the well is deemed uncommercial, the  
22 well will be plugged and abandoned. There will be no  
23 stimulation or completion techniques on this well.  
24 We're looking for natural fractures. If the well is  
25 deemed commercial, we'll run a 5-1/2" liner to bottom.

1 We will overlap the 9-5/8 five casing about 150 feet  
2 up to about 45 degrees inclination.

3 Q. Describe for us the cementing program for  
4 the well.

5 A. 13-3/8 casing will be cemented to surface.  
6 We'll only be bringing cement 300 feet. We don't  
7 anticipate any problems.

8 Q. Has that, in your experience, been found to  
9 be sufficient depth in which to isolate out any  
10 potential fresh water sands?

11 A. Yes, sir. The Ojo-Alamo in the area is a  
12 fresh water sand, and it is well below us.

13 Q. So it will be isolated?

14 A. The surface casing will not isolate the  
15 sand at this point.

16 Q. How will you isolate the wellbore from any  
17 fresh water sand?

18 A. We'll drill our 12-1/4" hole to 66 degrees.  
19 At 66 degrees we'll run 9-5/8" casing. I might have  
20 missed that on the previous discussion. We'll run  
21 9-5/8 casing at the top of the Huerfanito Bentonite.  
22 At that point, we will cement our 9-5/8 casing from  
23 there to surface, and that will isolate the fresh  
24 water, Ojo-Alamo.

25 Q. What is the drilling fluids or mediums that



1 you'll use at the various stages for drilling the  
2 well?

3 A. We'll just use fresh water spud mud for our  
4 surface casing and dispose of that after we've run  
5 pipe and cemented. We'll drill out with fresh water  
6 underneath that, and prior to entering the Fruitland  
7 Coal in this area, which we anticipate to be normal to  
8 over-pressured, we will most likely mud up with a  
9 calcium carbonate mud. That will give us two design  
10 criteria. The calcium carbonate will act as a wading  
11 material that could hold back any potential gas from  
12 the Fruitland Coal, and it will also, when we're  
13 drilling through the Lewis and building angle, inhibit  
14 the shelves from swelling.

15 Q. How is this different from any of the other  
16 recent horizontal attempts that your company is trying  
17 in the basin?

18 A. Relatively, as far as the drilling  
19 operations, they're pretty much the same. We'll be  
20 setting casing at 66 degrees, our previous well, the  
21 Riddle #1R, they set casing up in vertical. We did  
22 experience some hole trouble from kick-off point to  
23 about 45 degrees. This will eliminate that, and get  
24 it so-called behind pipe prior to going into our  
25 90-degree portion of the well.

1           The main difference in this well is the  
2 completion technique. Basically, if we do not have a  
3 well when we reach total depth, we feel that  
4 horizontal drilling is a completion technique, and you  
5 horizontal drill so you don't have to fracture  
6 stimulate. This well will probably be deemed a  
7 failure, if we don't test commercial quantities of gas  
8 at total depth, and it will be plugged.

9           Q.     Do you have an estimate of the time to  
10 start and finish the well?

11          A.     We budgeted 30 days from spud to rig  
12 release on the drilling portion. The completion  
13 portion should probably take about three days.

14               MR. KELLAHIN: That concludes my  
15 examination of Mr. Clayton. We would move the  
16 introduction--no, we've already had Exhibit 4 in, and  
17 he only talked about Exhibit 4, so he has no exhibits  
18 to introduce.

19                               EXAMINATION

20 BY EXAMINER STOGNER:

21          Q.     Mr. Clayton, just to verify or clarify  
22 something for me, you'll be setting the 9-5/8  
23 intermediate at 66 degrees inclination?

24          A.     Yes, sir.

25          Q.     But you will continue your angle build

1 until 90 degrees is obtained, plus or minus?

2 A. Yes. Of course our hole size will change  
3 and our mud motors will change too, only in size but  
4 not in design. We'll continue building at about  
5 12-1/2 degrees. It's just a smaller motor. The  
6 housing on the 12-1/4" hole motor will be eight-inch,  
7 and this will be 6-3/4.

8 Q. And you're going to do that to TD?

9 A. Yes, sir.

10 Q. And if it's deemed commercial, then a  
11 5-1/2" liner will be set?

12 A. Yes, sir, preperforated.

13 Q. Preperforated?

14 A. Similar to the plugs that we use in the  
15 Fruitland Coal.

16 Q. Meaning that it will be cemented back into  
17 the 9-5/8?

18 A. Are you looking at Exhibit 6? I guess  
19 that's where you're taking that from?

20 Q. Yes, I am.

21 A. I included this in here because, if you'll  
22 notice, our surface location is outside the 790  
23 setback. We anticipate setting 9-5/8 casing in the  
24 legal window. If the build rates don't give us what  
25 we anticipate at 9-5/8 as set outside the legal

1 window, I included this to show you how we could  
2 cement a portion of the 5-1/2" liner, if they were  
3 outside the legal window.

4 Q. If necessary?

5 A. Yeah.

6 Q. And if not, it will just be on liner?

7 A. Yes, sir.

8 Q. Let me go ahead and get this out of the  
9 way. I guess you're the person to ask. On the  
10 plugging and abandonment of this well, if it is deemed  
11 commercial and then later on down the road, would the  
12 5-1/2" liner be pulled if you didn't have to put the  
13 external cement?

14 A. The 5-1/2 liner wouldn't be run.

15 Q. Would not be run?

16 A. No, sir.

17 MR. STOVALL: I think you misunderstood the  
18 question. If it's productive.

19 A. Oh, if it is productive?

20 Q. If it is productive and then, down the  
21 line, when it is time to abandon this well, way down  
22 the line, way far down the line--

23 A. I won't be here. If the well is productive  
24 in the future, we have to plug this well, an attempt  
25 to retrieve that liner would probably not be

1 commercial. The condition of the liner after 20 years  
2 and the inspection cost and the rebuilding of any  
3 damage to it, we would probably go ahead and plug it  
4 with the liner in the hole.

5 Q. Placing a cement plug at the top of the  
6 5-1/2" liner?

7 A. Yes, sir.

8 EXAMINER STOGNER: Essentially isolating  
9 it. Okay. That's all the questions I have of Mr.  
10 Clayton at this time. I may have some later, Mr.  
11 Kellahin.

12 MR. KELLAHIN: I would like to move the  
13 introduction of Exhibit No. 6, which I've overlooked.

14 EXAMINER STOGNER: Exhibit No. 6 will be  
15 admit into evidence.

16 MR. KELLAHIN: I would like to call Mr.  
17 Fraker at this time. Mr. Fraker is a landman with  
18 Meridian Oil Company.

19 WALTER B. "SKIP" FRAKER

20 the witness herein, after having been first duly sworn  
21 upon his oath, was examined and testified as follows:

22 EXAMINATION

23 BY MR. KELLAHIN:

24 Q. Mr. Fraker, would you please state your  
25 name and occupation.

1           A.     My name is Skip Fraker. I'm employed by  
2 Meridian Oil as a petroleum landman.

3           Q.     Spell your last name.

4           A.     F-R-A-K-E-R.

5           Q.     Mr. Fraker, on prior occasions have you  
6 testified before the Division?

7           A.     No, I haven't.

8           Q.     Summarize for us your educational and  
9 employment experience with regard to petroleum land  
10 management questions.

11          A.     I was trained as an apprentice specifically  
12 in oil and gas title law and examination by Richard  
13 Tully, an oil and gas attorney in Farmington for about  
14 three years. The rest of the time as independent and  
15 staff landman for the last 10 years.

16          Q.     As part of your duties for Meridian, are  
17 you familiar with how to locate and find the ownership  
18 within a spacing unit and determine the offset  
19 operators to that spacing unit?

20          A.     Yes, I am.

21          Q.     That's something you routinely do in the  
22 course of discharging your duties?

23          A.     Yes, I do.

24          Q.     Have you done that in this case?

25          A.     Yes, I have.

1 MR. KELLAHIN: We tender Mr. Fraker as an  
2 expert petroleum landman.

3 EXAMINER STOGNER: Mr. Fraker is so  
4 qualified.

5 Q. Mr. Fraker, let's go back to Exhibit No. 1,  
6 and look behind the application. Well, I misspoke. I  
7 thought we had an exhibit on the application that  
8 identified the lands.

9 EXAMINER STOGNER: Are you referring to  
10 Exhibit 7?

11 MR. KELLAHIN: Yes, sir, we're going to 7.

12 EXAMINER STOGNER: It was behind Exhibit 1.

13 MR. KELLAHIN: Way behind it.

14 EXAMINER STOGNER: Way down the line.

15 Q. The second display after 7 is an offset  
16 operator plat. You have that?

17 A. Yes, I do.

18 Q. Based upon your search of available  
19 records, can you identify for us the offsetting  
20 operators to the east half of Section 34?

21 A. Yes. We are surrounded on three sides by  
22 Amoco Production, from the north and east, the  
23 northeast and the west side, and the southwest side by  
24 Amoco Production, and the south half is owned by  
25 Meridian Oil. The east half of that, Mesaverde is

1 owned by Amoco Production, and the Chacra by Lively  
2 Exploration Company.

3 Q. Meridian Oil, Inc., handles the  
4 administrative duties for Southland Royalty Company in  
5 terms of notifications?

6 A. Yes.

7 Q. So the parties to be notified would be  
8 Amoco and Lively?

9 A. That's correct.

10 Q. Within the east half of Section 34, when we  
11 look at that total interval from the top of the  
12 Huerfanito Bentonite marker, which would include the  
13 Chacra in this area, all the way down to the base of  
14 the Mesaverde pool, are we dealing in the east half of  
15 Section 34 with the same ownership?

16 A. Yes, we are. This is owned 100 percent by  
17 Meridian Oil.

18 Q. When we look at the royalties or overriding  
19 royalty owners, they would be common within that  
20 vertical portion of this section?

21 A. That's correct.

22 MR. KELLAHIN: That concludes my  
23 examination of Mr. Fraker, Mr. Examiner. We would  
24 move the introduction of Exhibit 7.

25 EXAMINER STOGNER: Exhibit No. 7 will be



1 admitted into evidence.

2 MR. KELLAHIN: In addition, Mr. Examiner,  
3 Exhibit No. 8 is the certificate I have made to which  
4 we've appended the return receipt green cards, showing  
5 delivery of notification to this hearing to the two  
6 companies, Amoco and Lively.

7 We would move that that be introduced at  
8 this time.

9 EXAMINER STOGNER: Exhibit No. 8 will be  
10 admitted into evidence, also.

11 MR. KELLAHIN: That concludes our  
12 presentation.

13 EXAMINER STOGNER: I have no questions of  
14 Mr. Fraker at this time. I do have some questions,  
15 though.

16 Before I go any further, the advertisement,  
17 the call to the case, mentioned a nonstandard oil  
18 proration unit, but the body of the application  
19 corrected it to gas. My typo. That shouldn't be any  
20 problem.

21 I have some general questions about the  
22 Navajo City-Chacra Pool, and it sounded like  
23 Mr. Jennings was the person to ask on that.

24 Let's have Mr. Jennings step up to the  
25 stand again.

GREGORY L. JENNINGS

the witness herein, after having been previously duly sworn upon his oath, was examined and testified further as follows:

EXAMINATION

BY EXAMINER STOGNER:

Q. Are you familiar with the boundaries of the Navajo City-Chacra pool?

A. Yes.

Q. What are they?

A. To my knowledge, the northwest quarter of Section 35.

Q. Do you know what the vertical limits are?

A. I believe it's described as a 100-foot interval. I want to say approximately 3,600 to 3,700 feet in the Lively #7 Y. I've actually got that in my briefcase. And Tom, if I could have it, we could doublecheck that.

Q. What you have in your briefcase, would that refer to the Division's nomenclatures?

A. Yes. Let me see the depth on that. I'm pretty sure it's 3,600 to 3,700 feet.

Q. And you're referring to the type log, are you not?

A. Yes. The definition of the Navajo

1 City-Chacra formation is described in footages in the  
2 Lively #7 Y. I believe it might be a 200-foot  
3 interval.

4 Q. Regardless, we can find that in our  
5 Division nomenclature rules or orders?

6 A. Yes. It's a footage description of the  
7 Lively #7 Y Navajo City-Chacra interval, which  
8 encompasses the zone that I am also describing as the  
9 Navajo City-Chacra. It might be a 200-foot gross  
10 interval that covers that zone.

11 EXAMINER STOGNER: I'll take administrative  
12 notice of any nomenclature orders that we've had  
13 previous in this area pertaining to the Navajo  
14 Chacra. I haven't done that in a long time.

15 Q. And we referred to order R-5459, which I  
16 believe is essentially another nomenclature order, is  
17 it not? Are you familiar with that order, Mr.  
18 Jennings? That was the one setting the vertical  
19 limitations of the Mesaverde pool, talking about a  
20 line and on one side it was--in fact, you mentioned it  
21 earlier, the Huerfanito Bentonite?

22 A. Yes, I am. I'm familiar with the  
23 definition of it and the history behind it.

24 Q. Do you know why that line was formed?

25 A. Yes. The Chacra formation to the

1 southwest, the Otero Pool, Bloomfield, et cetera,  
2 produced solely from the Chacra zones. Now, they're  
3 actually lower in the section, closer to the Mesaverde  
4 than this particular zone, and they have some matrix  
5 porosity and permeability. It's a fairly  
6 noncommercial trend, but nonetheless it was developed  
7 originally in the 50s and then again in the 70s, as a  
8 Chacra--a few separate Chacra pools, and developed on  
9 160-acre spacing.

10 The definition of the Mesaverde was, I  
11 believe, a footage definition that started it. It had  
12 a typed well location and it was something like--it  
13 was a footage description that was very close to the  
14 Cliff House formation and down through the Point  
15 Lookout in that type location. It was a fairly  
16 ambiguous description, and probably in some need of  
17 refinement.

18 But I think what triggered the redefinition  
19 was this case, and perhaps one or two other wells that  
20 encountered some fractured production from intervals  
21 that were previously included in the Chacra  
22 formation. And the state, in trying to accommodate  
23 the fact that these occurrences are very rare, and the  
24 fact that the production to the southwest is already  
25 established, drew a line separating the area to the

1 north from the area to the south, and redefined the  
2 Mesaverde interval to the north to include those--that  
3 interval that we're calling the Chacra.

4 What the Commission said was that there are  
5 a few wells which produce from fractures in this  
6 interval, that may or may not be in communication  
7 within the Mesaverde, and those operators have a right  
8 to come back at a later date and show evidence that  
9 this zone is not in communication with the Mesaverde  
10 and essentially could be removed from it.

11 The Lively subsequently came back and  
12 showed evidence that the Navajo City-Chacra had high  
13 reservoir pressures, and was a separate reservoir, and  
14 was so deemed a separate Navajo City-Chacra Pool.

15 In fact, there's one other well in the  
16 basin which also has--produces from there. There are  
17 two wells in the basin which produce from this  
18 interval, and that well has also been deemed a  
19 separate reservoir.

20 Q. Do you know the name of it?

21 A. That's the Mesa Primo #1A.

22 Q. How about the name of the pool?

23 A. Animas-Chacra.

24 Q. And the other well being?

25 A. The Navajo City Chacra.

1 Q. How far away is that Animas-Chacra Pool?

2 A. It's in 31 North, 10 West, Section 6, the  
3 northwest quarter. The thing that they have in common  
4 is that they're both 1,000 feet above the Mesaverde  
5 formation.

6 EXAMINER STOGNER: Okay. Thank you, Mr.  
7 Jennings.

8 Mr. Clayton, I have a couple of questions  
9 on well costs.

10 JOHN CLAYTON

11 the witness herein, after having been previously duly  
12 sworn upon his oath, was examined and testified  
13 further as follows:

14 EXAMINATION

15 BY EXAMINER STOGNER:

16 Q. What would a vertical well to the Navajo  
17 City-Chacra cost, and what's your estimated cost on  
18 the proposed horizontal well?

19 A. The estimated cost on the Navajo City,  
20 assuming we would deem it commercial to drill, which I  
21 feel we wouldn't, it's in the neighborhood of  
22 \$450,000.

23 Q. And how about a vertical well?

24 A. That would be a vertical well.

25 Q. How about this particular well?

1           A.       This well was estimated at a little bit  
2 under a million dollars. Nine hundred and--a million  
3 dollars.

4           Q.       And that's with the 5-1/2 liner?

5           A.       Yes, sir. That's completed cost. Is there  
6 any water associated production with the Chacra?

7           A.       No, sir. We're not looking for any water  
8 or any condensated solution. No liquids in the well.

9                   EXAMINER STOGNER: That's all the questions  
10 I have.

11                   Are there any questions of any of the  
12 witnesses? If not, they may be excused.

13                   Mr. Carr?

14                   MR. CARR: Mr. Stogner, with your  
15 permission, Mr. Hawkins would like to make a brief  
16 statement on behalf of Conoco.

17                   EXAMINER STOGNER: Thank you, Mr. Carr.  
18 Mr. Hawkins, why don't you step forward.

19                   MR. HAWKINS: My name is Bill Hawkins with  
20 Amoco Production Company. Amoco, as pointed out, has  
21 offset working interests on three sides of the spacing  
22 unit that Meridian has requested the horizontal well  
23 in.

24                   We have no objection to Meridian's  
25 application for this horizontal well. The well is

1 proposed as an isolated Chacra test and will not  
2 penetrate the Mesaverde sands, and the Chacra interval  
3 in this area, although normally considered part of the  
4 Mesaverde, has been shown to be capable of producing  
5 in sufficient quantities to be independently  
6 developed, and this is in the Lively #7A well.

7 In circumstances such as this, the Division  
8 has separated the Chacra as an independent pool. If  
9 Meridian's horizontal well is successful, then Amoco  
10 has notice objection to separating the Chacra interval  
11 from the Mesaverde.

12 At a minimum, we believe Meridian should be  
13 allowed to drill their well and produce it  
14 unrestricted for a period of at least one year, in  
15 order to determine if they have a successful project  
16 or not.

17 EXAMINER STOGNER: Thank you, Mr. Hawkins.

18 Does anybody else have anything further in  
19 Case 10340?

20 If not, then this case will be taken under  
21 advisement.



CERTIFICATE OF REPORTER

STATE OF NEW MEXICO    )  
                                  ) ss.  
COUNTY OF SANTA FE    )

I, Carla Diane Rodriguez, Certified  
Shorthand Reporter and Notary Public, HEREBY CERTIFY  
that the foregoing transcript of proceedings before  
the Oil Conservation Division was reported by me; that  
I caused my notes to be transcribed under my personal  
supervision; and that the foregoing is a true and  
accurate record of the proceedings.

I FURTHER CERTIFY that I am not a relative  
or employee of any of the parties or attorneys  
involved in this matter and that I have no personal  
interest in the final disposition of this matter.

WITNESS MY HAND AND SEAL July 2, 1991.

*Carla Diane Rodriguez*  
CARLA DIANE RODRIGUEZ  
CSR No. 91

My commission expires: May 25, 1995

I do hereby declare that the foregoing is  
a complete record of the proceedings in  
the Examiner hearing of Case No. 10346  
heard by me on 27 June 1991.

*Michael C. Stogner*  
\_\_\_\_\_, Examiner  
Oil Conservation Division