

1 NEW MEXICO OIL CONSERVATION DIVISION

2 STATE LAND OFFICE BUILDING

3 STATE OF NEW MEXICO

4 CASE NO. 10428

5  
6 IN THE MATTER OF:

7  
8 The Application of Enron Oil & Gas  
9 Company for Designation of a Tight  
10 Formation, Lea County, New Mexico.

11  
12  
13  
14  
15 BEFORE:

16 DAVID R. CATANACH

17 Hearing Examiner

18 State Land Office Building

19 January 9, 1992

20  
21  
22 REPORTED BY:

23 CARLA DIANE RODRIGUEZ  
24 Certified Shorthand Reporter  
25 for the State of New Mexico

**ORIGINAL**

## A P P E A R A N C E S

FOR THE NEW MEXICO OIL CONSERVATION DIVISION:

ROBERT G. STOVALL, ESQ.

General Counsel  
State Land Office Building  
Santa Fe, New Mexico 87504

FOR THE APPLICANT:

CAMPBELL, CARR, BERGE & SHERIDAN, P.A.

Post Office Box 2208

Santa Fe, New Mexico 87504-2208

BY: WILLIAM F. CARR, ESQ.

1           EXAMINER CATANACH: Call this hearing  
2 to order this morning for Docket No. 1-92. First  
3 thing we'll do is call the continuances and  
4 dismissals.

5           [And there were proceedings had off the  
6 record.]

7           EXAMINER CATANACH: Call Case No.  
8 10428.

9           MR. STOVALL: Application of Enron Oil  
10 & Gas Company for designation of a tight  
11 formation, Lea County, New Mexico.

12           EXAMINER CATANACH: Any appearances in  
13 this case?

14           MR. CARR: May it please the Examiner,  
15 my name is William F. Carr with the law firm  
16 Campbell, Carr, Berge & Sheridan of Santa Fe. We  
17 represent Enron Oil & Gas Company in this case.

18           This case was heard before Examiner  
19 Stogner on December 20th at the BLM in  
20 Albuquerque. There was an error in the legal  
21 advertisement. The township was incorrectly  
22 carried in the legal advertisement. Accordingly,  
23 when it was discovered, the case was readvertised  
24 and continued to this date.

25           The record is complete, and we would

1 request the case be taken under advertisement.

2 EXAMINER CATANACH: Are there any other  
3 appearances or statements in this case at this  
4 time?

5 There being none, Case 10428 will be  
6 taken under advertisement.

7 (And the proceedings concluded.)  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20

21 I do hereby certify that the foregoing is  
22 a complete record of the proceedings in  
23 the Examiner hearing of Case No. 10428,  
24 heard by me on January 9, 1998.  
25 David R. Catanach, Examiner  
Oil Conservation Division

## CERTIFICATE OF REPORTER

STATE OF NEW MEXICO     )  
                                  ) ss.  
COUNTY OF SANTA FE     )

I, Carla Diane Rodriguez, Certified  
Shorthand Reporter and Notary Public, HEREBY  
CERTIFY that the foregoing transcript of  
proceedings before the Oil Conservation Division  
was reported by me; that I caused my notes to be  
transcribed under my personal supervision; and  
that the foregoing is a true and accurate record  
of the proceedings.

I FURTHER CERTIFY that I am not a  
relative or employee of any of the parties or  
attorneys involved in this matter and that I have  
no personal interest in the final disposition of  
this matter.

WITNESS MY HAND AND SEAL January 20,  
1992.

  
CARLA DIANE RODRIGUEZ, RPR  
CSR No. 4

## 1 NEW MEXICO OIL CONSERVATION DIVISION

2 STATE OF NEW MEXICO

3 CASE NO. 10428

4  
5 IN THE MATTER OF:6  
7 The Application of ENRON Oil  
8 & Gas Company for designation  
9 of a tight formation, Lea County,  
10 New Mexico.11  
12 BEFORE:13  
14 MICHAEL E. STOGNER

15 Hearing Examiner

16  
17 Bureau of Land Management Building  
18 435 Montano Road, Northeast  
19 Albuquerque, New Mexico  
20 December 20, 199121  
22 REPORTED BY:23 DEBBIE VESTAL  
24 Certified Shorthand Reporter25  
**ORIGINAL**

## A P P E A R A N C E S

FOR THE NEW MEXICO OIL CONSERVATION DIVISION:

ROBERT G. STOVALL, ESQ.

General Counsel  
State Land Office Building  
Santa Fe, New Mexico 87504

UNITED STATES DEPARTMENT OF INTERIOR  
BUREAU OF LAND MANAGEMENT  
ALBUQUERQUE DISTRICT OFFICE:

ALLEN F. BUCKINGHAM, MINERALS DIVISION  
ROBERT KENT, PETROLEUM ENGINEER  
JANE CLANCY, GEOLOGIST

FOR THE APPLICANT:

CAMPBELL, CARR, BERGE & SHERIDAN, P.A.  
Post Office Box 2208  
Santa Fe, New Mexico 87504-2208  
BY: WILLIAM F. CARR, ESQ.

## I N D E X

	Page Number
Appearances	2
WITNESSES FOR THE APPLICANT:	
1. PATRICK J. TOWER	
Examination by Mr. Carr	5
Examination by Examiner Stogner	13
2. BARRY ZINZ	
Examination by Mr. Carr	17
3. RANDY CATE	
Examination by Mr. Carr	32
Examination by Examiner Stogner	54, 58
Examination by Ms. Clancy	57
Certificate of Reporter	69



## E X H I B I T S

Page Marked

Exhibit No. 1	8
Exhibit No. 2	11
Exhibit No. 3	12
Exhibit No. 4	23
Exhibit No. 5	26
Exhibit No. 6	26
Exhibit No. 7	34

1 EXAMINER STOGNER: The hearing will  
2 come to order. Call the next case, No. 10428.

3 MR. STOVALL: Application of ENRON Oil  
4 & Gas Company for designation of a tight  
5 formation, Eddy County, New Mexico.

6 EXAMINER STOGNER: Call for  
7 appearances.

8 MR. CARR: May it please the Examiner,  
9 my name is William F. Carr with the law firm of  
10 Campbell, Carr, Berge & Sheridan of Santa Fe. We  
11 represent ENRON Oil & Gas Company, and I have  
12 three witnesses.

13 EXAMINER STOGNER: Are there any other  
14 appearances in this matter?

15 Will the witnesses, please, stand and  
16 be sworn.

17 (The witnesses were duly sworn.)

18 MR. CARR: At this time we call Mr.  
19 Tower, the landman for ENRON.

20 PATRICK J. TOWER

21 Having been duly sworn upon his oath, was  
22 examined and testified as follows:

23 EXAMINATION

24 BY MR. CARR:

25 Q. Will you state your full name for the

1 record, please.

2 A. Patrick J. Tower.

3 Q. Where do you reside?

4 A. Midland, Texas.

5 Q. By whom are you employed and in what  
6 capacity?

7 A. By ENRON Oil & Gas Company as a project  
8 landman.

9 Q. Could you briefly summarize your  
10 educational background and then review your work  
11 experience.

12 A. Yes. I graduated with a bachelor's in  
13 business administration degree in petroleum land  
14 management from the University of Oklahoma in  
15 1979. Proceeded to work for Gulf Oil Corporation  
16 in Houston, working the Gulf Coast, East Texas  
17 and state offshore waters until 1981, at which  
18 time I was employed by Santa Fe Energy Company in  
19 Tulsa working mid-continent in Arkansas. And  
20 subsequently transferred to Amarillo and Midland  
21 with Santa Fe Energy Company till April of 1990,  
22 working the Permian Basin.

23 From April of 1990 I have been employed  
24 by ENRON Oil & Gas Company working the Permian  
25 Basin.

1 Q. Are you familiar with the application  
2 filed in this case on behalf of ENRON?

3 A. Yes, I am.

4 Q. Are you familiar with land matters as  
5 they relate to the application area?

6 A. Yes, I am.

7 MR. CARR: Are the witness'  
8 qualifications acceptable?

9 EXAMINER STOGNER: Are there any  
10 objections?

11 Mr. Tower is so qualified.

12 Q. (BY MR. CARR) Would you briefly state  
13 what ENRON seeks with this application.

14 A. Yes. ENRON Oil & Gas Company seeks  
15 approval through Section 107 of the Natural Gas  
16 Policy Act of a tight gas formation designation  
17 for the Morrow formation in the area that we've  
18 described.

19 Q. And you've prepared exhibits for  
20 presentation here today?

21 A. Yes, I have.

22 Q. Have your exhibits previously been  
23 submitted to the Oil Conservation Division and to  
24 the Bureau of Land Management with the statement  
25 setting forth the meaning and purpose of each as

1 required by the rules of these agencies?

2 A. Yes, I have.

3 Q. Let's go to what has been marked as  
4 ENRON Exhibit No. 1, and I would ask you to  
5 identify that and then review it.

6 A. Okay. Exhibit No. 1 is a land map on  
7 the scale of 1 to 2,000 feet. The area in dark  
8 stipple in Township 25 South, Range 33 East and  
9 25 South, 34 East, in Lea County, identifies the  
10 area of the application.

11 Also, the map in the shaded area to the  
12 north represents an area that has previously been  
13 designated as a tight formation for the Morrow.  
14 In addition, the acreage in yellow represents  
15 ENRON's acreage position within the area with the  
16 solid yellow representing ENRON's full interest  
17 lease hole, the partial outline representing our  
18 partial interest.

19 In addition, there is some smaller  
20 stipples which you will know designate the Vaca  
21 Draw Morrow Gas Field, the Red Hills Morrow Gas  
22 Field, and the Pitchfork Morrow Gas Pool, which  
23 are affected by this application.

24 In some additional stipples -- and all  
25 these are noted in the index on the bottom of the

1 map -- in Township 25 South, 33 East, we have  
2 also outlined a couple windows in this  
3 application. There are two wells that are  
4 anomalous to the application, and the  
5 justification for these wells will be supported  
6 later in engineering testimony.

7 In addition, on the eastern edge of the  
8 application, specifically in the south half of  
9 Section 6 of Township 25 South, 34 East, we have  
10 changed the border to exclude 320 acres there,  
11 which is where ENRON's Half 6 well is located.

12 Initially, we just -- we included that  
13 320 acres in the application; however, there was  
14 some concerns by the BLM that this well had some  
15 high production rates and permeability yet still  
16 within the guidelines, however, not to endanger  
17 the application.

18 ENRON was agreeable to excluding this.  
19 However, I will point out if it is included --  
20 and again the data will be supported later -- it  
21 does not affect the average permeability of the  
22 application. If we did include it, it still  
23 meets under the NGPA guidelines.

24 Therefore, our plans are to leave it to  
25 the discretion of the BLM, OCD, FERC as to

1 whether we include that 320 acres or exclude it.

2 EXAMINER STOGNER: What's that 320  
3 acres again?

4 THE WITNESS: It is the south half of  
5 Section 6, Township 25 South, Range 34 East, and  
6 it's the northeastern edge of our boundary. We  
7 have simply just changed the boundary on that  
8 quadrant.

9 Q. (BY MR. CARR) Mr. Tower, subsequent  
10 calculations being presented by the engineering  
11 witness --

12 A. Yes.

13 Q. -- will be submitted in the alternative  
14 showing that the stabilized flow rate and also  
15 permeabilities remain below the required levels  
16 with this in as well --

17 A. That is correct.

18 Q. -- if it's excluded?

19 A. And this individual well, I believe,  
20 meets the criteria; however, it is somewhat  
21 higher than the other wells within the  
22 application area.

23 Q. How many acres are included in the  
24 proposed tight formation application?

25 A. I will refer you at this time to

1 Exhibit No. 7.

2 MR. CARR: Exhibit No. 7, Mr. Stogner,  
3 is the stapled packet of material. And as you  
4 will note, there are tabs on this indicating the  
5 various subparts. We'll be going to that, which  
6 is Exhibit No. 7, in the material behind the tab  
7 marked "Land Exhibits."

8 A. That first yellow tab on the exhibit, I  
9 have a breakdown that somewhat summarizes the  
10 land on the land plat that we presented a minute  
11 ago. But roughly there are 28,800 acres within  
12 the area of application if the south half of  
13 Section 6 is excluded.

14 Of this area approximately 81 percent  
15 represents federal acreage; 16 percent, state of  
16 New Mexico acreage; and 3 percent represents fee  
17 acreage.

18 Q. Have the other operators in the area  
19 that you're seeking designated as the tight gas  
20 formation been notified of this application?

21 A. Yes, they have.

22 Q. And is Exhibit No. 2 a copy of a letter  
23 provided to each of these other operators giving  
24 them notice of the application in the hearing?

25 A. Yes.



1 Q. Has ENRON caused notice of this  
2 application to be published in a newspaper of  
3 general circulation in Lea County, New Mexico?

4 A. Yes, we have. It was a publication in  
5 the Hobbs Daily News Sun.

6 Q. And is Exhibit No. 3 an affidavit of  
7 publication from that newspaper confirming that  
8 notice was published on, I believe, the 4th of  
9 December of this year?

10 A. This is correct.

11 Q. Have you reviewed the notice provided  
12 of this hearing by the Oil Conservation Division?

13 A. Yes, I have.

14 Q. And did that notice inaccurately  
15 indicate the township involved?

16 A. Yes, it did.

17 Q. Has a revised notice been provided by  
18 the Oil Conservation Division indicating that the  
19 case will be continued to January 9, 1992?

20 A. Yes, it has.

21 Q. Mr. Tower, were Exhibits 1 through 3  
22 either prepared by you or compiled under your  
23 direction and supervision?

24 A. Yes, they were.

25 Q. And did you prepare the portion of

1 Exhibit No. 7 behind the tab, "Land Exhibits"?

2 A. Yes, I did.

3 MR. CARR: At this time, Mr. Stogner,  
4 we move the admission of ENRON Exhibits 1 through  
5 3. And that concludes my direct examination of  
6 Mr. Tower.

7 EXAMINER STOGNER: Exhibits 1 through 3  
8 will be admitted into evidence at this time.

9 Now, this legal publication was in  
10 addition to the one --

11 MR. CARR: Yes, sir.

12 EXAMINER STOGNER: -- that the Oil  
13 Conservation Division issues in its procedures;  
14 is that correct?

15 MR. CARR: Yes, sir.

16 EXAMINATION

17 BY EXAMINER STOGNER:

18 Q. Okay. Mr. Tower, have you had any  
19 correspondence with any of the operators out here  
20 either in support or any objections or otherwise?

21 A. There was, I believe, one  
22 conversation. UNOCAL had contacted our attorney  
23 just concerning the time of the hearing.  
24 However, no indication either way of their  
25 thoughts on it. No other company has contacted

1 us in support or in objection.

2 Q. Okay. When I look at your Exhibit No.  
3 1, the plat, the south half of 6 and 25-34 is  
4 excluded, is that correct, from your original  
5 application?

6 A. Yes. And we supplemented this and  
7 sent -- the actual application as it went out  
8 from the OCD, I believe, left this out. The  
9 preliminary material we submitted included it.  
10 And again, ENRON is receptive to either including  
11 it or excluding it depending on the discretion of  
12 the agencies.

13 And again, there will be data submitted  
14 in the engineering text to support this a little  
15 clearer.

16 MR. STOGNER: Mr. Carr, it appears I  
17 might have goofed on my legal ad. I showed  
18 Township 24 South, Ranges 33 and 34 East,  
19 containing 17,280 acres, more or less. That's  
20 not true; is that correct?

21 MR. CARR: That's not true, Mr.  
22 Stogner. We caught the township portion of this  
23 error in the ad and advised the Division, and  
24 they included it in the legal advertisement for  
25 the January 9th hearing.

1 EXAMINER STOGNER: Okay.

2 MR. CARR: We did not catch the  
3 discrepancy in the number of acres involved.  
4 That would appear to me to be not a significant  
5 error because this is only designed to provide  
6 notice that the application is pending. It does  
7 correctly set forth the townships and ranges.

8 And anyone who is interested in that  
9 area in this particular formation would have been  
10 advised that an application was pending and they  
11 would have received all notice. I don't think  
12 just an error in the number of acres is  
13 significant.

14 EXAMINER STOGNER: And inasmuch as  
15 ENRON has put a publication, I believe, you  
16 advertised in the Hobbs paper?

17 MR. CARR: Yes, sir, we did. We  
18 advised -- that notice is modeled after other  
19 NGPA notices that we've published. And as you  
20 will note, it did provide that any interested  
21 party had 15 days to contact the supervisor at  
22 the BLM concerning this matter.

23 That notice does not address a  
24 particular hearing date, and for that reason we  
25 will at the end request that the case be

1 continued to the 9th so that we have that portion  
2 of the notice requirements covered.

3 EXAMINER STOGNER: I apologize about  
4 our error.

5 Q. (BY EXAMINER STOGNER) Back to Exhibit  
6 No. 1 again, just for clarification. I look over  
7 on section -- Township 25-33, the east half of  
8 15, that's excluded from your request; is that  
9 correct?

10 A. That is correct.

11 Q. And the south half of 21 in 25-33,  
12 that's excluded; correct?

13 A. That is correct.

14 Q. You show a tight formation designation  
15 in the bluish tint just north of your area.  
16 What's that designation; do you know the New  
17 Mexico?

18 A. For the OCD it was OCD Case No. 7750,  
19 Order No. R-7589, issued in 1982. And for the  
20 submission to FERC, it was NM-27.

21 MR. STOGNER: 27. Okay. I have no  
22 further questions of Mr. Tower.

23 Are there any other questions of this  
24 witness?

25 You may be excused.

1 Mr. Carr.

2 MR. CARR: At this time we call Mr.  
3 Zinz.

4 BARRY ZINZ

5 Having been duly sworn upon his oath, was  
6 examined and testified as follows:

7 EXAMINATION

8 BY MR. CARR:

9 Q. Will you state your name for the  
10 record, please.

11 A. Barry Lynne Zinz.

12 Q. How do you spell your last name?

13 A. Z-i-n-z.

14 Q. Where do you reside?

15 A. 4510 Cimarron in Midland, Texas.

16 Q. Mr. Zinz, by whom are you employed?

17 A. Employed with ENRON Oil & Gas Company.

18 Q. And in what capacity?

19 A. Geologist.

20 Q. Could you briefly summarize your  
21 educational background.

22 A. Yes. I have a master's degree -- a BS,  
23 bachelor's degree, and a master's degree from  
24 Texas Tech University.

25 Q. When did you receive your master's?

1           A.       In 71.

2           Q.       Following graduation for whom have you  
3 worked?

4           A.       I worked for about four-and-a-half  
5 years with Union of California in Midland and  
6 then I went to work for at that time it was  
7 Northern Natural Gas, but there have been several  
8 mergers and changes. And it is now ENRON Oil &  
9 Gas.

10          Q.       And at all times have you been employed  
11 as a petroleum geologist?

12          A.       Yes, that's correct.

13          Q.       Are you familiar with the application  
14 filed in this case on behalf of ENRON?

15          A.       I am.

16          Q.       Have you made a geologic study of the  
17 area for which you we are seeking designation of  
18 a tight formation?

19          A.       I have.

20                 MR. CARR: We would tender Mr. Zinz as  
21 an expert witness in petroleum geology.

22                 EXAMINER STOGNER: Are there any  
23 objections or questions?

24                 Mr. Zinz is so qualified.

25                 Mr. Carr.

1           Q.       (BY MR. CARR) Mr. Zinz, as part of  
2 your study you've prepared exhibits for  
3 presentation?

4           A.       Yes, I have.

5           Q.       Before we get into that, I think it  
6 would be helpful to provide some general  
7 orientation. Could you just explain where this  
8 application area is located.

9           A.       Yes. The area is located about 45  
10 miles southwest of Hobbs in Lea County, New  
11 Mexico.

12          Q.       I think initially we should go to the  
13 material behind the tab in Exhibit 7, which is  
14 designated "Geologic Exhibits." And the second  
15 page behind that is a geologic province map.  
16 Could you go to that and review that for the  
17 Examiner, please.

18          A.       Yes, I will. This is a regional  
19 geographic and geologic province map. There's a  
20 bar scale down there for distance. The area of  
21 application is outlined. It's the dashed outline  
22 in the southwest corner of Lea County, New  
23 Mexico, adjacent to the Pitchfork Ranch field,  
24 which is an Atoka Morrow gas field.

25                   Superimposed on the geographic map are



1 these regionally recognized geologic features,  
2 being the Northwest Shelf, Central Basin  
3 Platform, and the Delaware Basin in which the  
4 area of application is located.

5 Q. Let's move to the next page in Exhibit  
6 No. 7. Would you identify that?

7 A. Yes. This is a log, a well log, that  
8 we're submitting as a type log. It's a neutron  
9 density log off of the BTA Rojo 7811 JV-P No. 1  
10 well, which is located in Section 27 of 25 South,  
11 33 East.

12 Q. Why was this well selected?

13 A. Well, it was selected basically because  
14 it is one of only three wells inside the area of  
15 application that actually penetrated the entire  
16 Morrow section. And there is also included on  
17 one of our exhibits the cross-section designated  
18 B-to-B prime.

19 Q. Is the reason so many wells don't  
20 penetrate the entire section because the primary  
21 producing zones are in the upper and middle  
22 Morrow?

23 A. That's correct.

24 Q. This also shows the relationship of the  
25 Morrow to the formations above and below it, does

1     it not?

2           A.     That's correct.  If you'll look, the  
3     Morrow formation is lower Pennsylvanian in age,  
4     and it lies above the Mississippian Shelf in this  
5     area and below the Atoka, the Pennsylvanian Atoka  
6     formation.

7           Q.     Could you generally describe the  
8     characteristics of the Morrow in this area?

9           A.     Yes.  There's three regionally  
10    recognizable correlative units, being the Lower,  
11    Middle, and Upper, and they're designated on the  
12    log.

13                   And go a little bit further to kind of  
14    summarize the depositional environments of these  
15    specific intervals, the Lower Morrow is --  
16    consists of basinal shells.  The Middle Morrow,  
17    you start having an influx of clastic material  
18    during that time.

19                   And we have -- the clastic material is  
20    being sourced from the Central Basin Platform,  
21    which gives you these packages, sand packages, of  
22    lenticular clastics mixed in with the shells,  
23    basinal shells.

24                   And then going on up to the Upper  
25    Morrow, we have a considerable increase in

1     limestones which alternate with shells as well as  
2     sands. And this is probably indicative of a  
3     regressive Morrow sea and a lot shallower water.

4           Q.     Let's go to the next page in Exhibit  
5     No. 7. Would you identify that?

6           A.     Yes. This is also a type log that  
7     we're submitting from the Superior No. 1 Ochoa  
8     Federal well, which is located in Section 15 of  
9     25 South, 33 East.

10                  Now, this log is being presented as a  
11     type log because it is common to both of our  
12     cross-sections that we are submitting, and it is  
13     also located near the center of our area of  
14     application.

15                  And like you mentioned earlier, like  
16     the majority of the wells within the area of  
17     application, you can see that this well only went  
18     into the very uppermost part of the lower  
19     formation.

20                  And we have the Lower, Middle, Upper  
21     designations on the log as well as additional  
22     designations within the Middle and Upper Morrow.  
23     These clastics have been broken out, and the  
24     nomenclature that you see on the log is taken  
25     from the Pitchfork Ranch field, which is located

1 adjacent to our area.

2 Q. You have prepared a structure map of  
3 the area?

4 A. Yes, I have.

5 Q. Would you take that out now -- that's  
6 marked ENRON Exhibit No. 4 -- and review that.  
7 In preparing this structure map, what sort of  
8 information did you utilize? Did you have well  
9 control data?

10 A. Yes. Used the well control that is on  
11 the map. One thing that is on the map are the  
12 Morrow penetrations, which are designated by a  
13 circle around the well symbol on the map.

14 Q. Did you also integrate seismic and  
15 production data into this interpretation?

16 A. Yes, we did.

17 Q. Okay. Would you go to this exhibit and  
18 review it for Mr. Stogner.

19 A. Okay. This is a structure map on the  
20 top of the Morrow sea sand. And this map shows  
21 some of the similar features that Pat pointed out  
22 on his land plat. The hachured area, our outline  
23 area of the application area is on the map.

24 The two windows that we mentioned are  
25 also on the map. The line of cross-sections that

1 I have up on the wall are also indicated on the  
2 map.

3 And there the trace for cross-section  
4 A-to-A prime is an east-west cross-section. The  
5 more or less north-south, actually  
6 northeast-to-southwest trace is also on there.  
7 And the well numbers correspond to the  
8 cross-sections. They're on top of the logs up  
9 there, and they're also by the wells on the map.

10 Also, the shaded area up here is the  
11 same as what Pat pointed out being the previously  
12 designated area. Our acreage is in yellow, that  
13 is, ENRON's acreage.

14 This, the contour interval here is 50  
15 feet. And the dip of the Morrow in this area is  
16 south-southwest.

17 Let's see, also located on the map are  
18 the two type logs that we've just discussed. And  
19 like I mentioned just a while ago, the windows,  
20 these are, if you will, sweet spots. And they  
21 represent locally high-permeable Morrow  
22 reservoirs that have very limited areal extent.

23 Q. And the engineering testimony will  
24 present some volumetric information to confirm  
25 that?

1           A.       Yes, they will back up that.

2           Q.       Now, you have two cross-sections, an  
3 east-west and one that runs northeast-southwest?

4           A.       That's correct.

5           Q.       We put them up on the wall. I think it  
6 might be useful to review them both at the same  
7 time. I'd ask you to go up there and then just  
8 simply work through them.

9           A.       Okay. These are both stratigraphic  
10 cross-sections and the datum that the  
11 cross-sections are hung on is this dashed line,  
12 if you can see it. It is the top of the, what  
13 has been designated the Morrow clastics. And  
14 this is a good correlative point common to all  
15 the wells in the area.

16                   This correlation point across both  
17 cross-sections represents the top of the Morrow  
18 formation.

19          Q.       That's indicated on --

20          A.       Beg your pardon?

21          Q.       It's indicated on the -- designated on  
22 the exhibit by top of the Morrow?

23          A.       Yes, that's correct.

24          Q.       And shaded blue?

25          A.       That's right.

1           EXAMINER STOGNER: Before we go any  
2 further, do you want to refer so it will be clear  
3 on the transcript which exhibit is which?

4           THE WITNESS: Okay. This exhibit here  
5 is Exhibit 5, and it is the A-to-A prime  
6 cross-section, which is the east-west  
7 cross-section. This bedsheet is the  
8 northeast-to-southwest cross-section designated  
9 B-to-B prime.

10          EXAMINER STOGNER: Both exhibits have  
11 the top of the Morrow as you indicated on the  
12 dashed line; is that correct?

13          THE WITNESS: Yes. Every correlation,  
14 every line are the same as far as those  
15 particular tops. They're correlative with all  
16 the logs, yes, sir.

17          EXAMINER STOGNER: Thank you.

18          THE WITNESS: Okay. The scale for the  
19 cross-sections, we have a horizontal scale of 1  
20 inch equal 2,000 feet. Vertical scale is 1 inch  
21 equals 40 feet.

22               Okay. As we have pointed out earlier,  
23 you can see that most all these logs or wells --  
24 and by the way, most all of the wells in the area  
25 of application with the exception of a couple are

1 located on these cross-sections.

2 But you can see that not many of the  
3 wells penetrated below the base of the Middle  
4 Morrow sands or Middle Morrow interval. And the  
5 Lower Morrow interval is represented in gray  
6 towards the bottom of each cross-section.

7 Okay. If you look at the  
8 cross-section, and again I don't know how much of  
9 this you can see from back there, but within the  
10 wellbore, center wellbore portion of each log,  
11 you see a lot of colored areas. These represent  
12 perforations, attempts at completing the various  
13 intervals within the Middle and Upper Morrow.

14 And as you can tell, that many of these  
15 sands have been attempted in these wells. And to  
16 clarify these perforated areas, the production  
17 information is included at the bottom of each log  
18 that corresponds to these particular intervals.

19 I guess that's really about it.

20 Q. (BY MR. CARR) Working from these, I  
21 would like you to generally review the nature of  
22 the Morrow formation and pay particular note of  
23 the average depth to the top of the Morrow and  
24 the average gross thickness of this.

25 A. Okay. You would like just to summarize



1 what we've found?

2 Q. Yes.

3 A. Okay. I'll just sit down for that.

4 Okay. What we have, the clastic  
5 sediments within the Upper and Middle Morrow are  
6 the dominant reservoir rocks within Pitchfork  
7 Ranch field and within the area of application.  
8 What we see here is the average depth to the  
9 Morrow in the area is 14,700 feet.

10 And as I said earlier, there's only  
11 three wells within that whole area that actually  
12 penetrated the entire Morrow section. And these  
13 wells verify that there the gross Morrow section  
14 is between 1800 and 1900 feet.

15 And the type log, the BTA type log, to  
16 be specific, the Morrow is actually 1872 feet  
17 thick in that particular well.

18 Q. Two Morrow zones that you have mapped,  
19 the Upper and the Middle, they're continuous  
20 across the entire area which is the subject of  
21 this application?

22 A. That's correct. The cross-sections  
23 illustrate that the Morrow is continuous  
24 throughout the area that we're applying for.

25 Q. Let's go to Exhibit No. 7. In Exhibit

1 No. 7 there is a tab in the geological section?

2 A. I hadn't exactly finish this first.

3 Q. All right.

4 A. Let me add a few things.

5 What I want to point out and stress is  
6 the fact that as you get away from the Pitchfork  
7 Ranch field, your clastics become poorly  
8 developed. And that direction would be southwest  
9 across the area of application. The sands are  
10 more limey, they're less homogeneous, and they  
11 have a greater amount of calcareous and siliceous  
12 cement in their makeup.

13 And it is these lithologic type changes  
14 that have resulted in a tighter rock, which is  
15 supported by our production data, the log  
16 calculations, and the permeability calculations  
17 that Randy Cate will cover.

18 Q. Are you ready to go to the material in  
19 the next exhibit?

20 A. Yes.

21 Q. Will you identify that for the  
22 Examiner, please?

23 A. Okay, what this is really is individual  
24 well data from the wells within our application  
25 area. And this is data that is presented

1 according to the guidelines of the BLM and OCD.

2 And what we have here are all the wells  
3 that are within the area. They're alphabetical.  
4 We have the operator designated, the depth to the  
5 top of the Morrow, spud date, completion dates,  
6 all of the Morrow perforations which correspond  
7 to what I pointed out on the cross-sections, and  
8 pay thicknesses, porosities.

9 Water saturations are calculated using  
10 certain figures off of logs. Indicated the  
11 producing status or nonproducing status of the  
12 wells and then the accumulation production, cum'd  
13 production of these intervals.

14 And really I'd just like to say that  
15 all that is taken from this data really is the  
16 pay thickness and the porosities which were used  
17 in the calculations for permeabilities.

18 Q. Do you have anything further to add to  
19 your geologic presentation?

20 A. I think that's it.

21 Q. Were Exhibits 4 through 6 prepared by  
22 you?

23 A. Yes, sir.

24 Q. Did you also prepare the portion of  
25 Exhibit 7 that covers the geological part of this

1 case?

2 A. I did.

3 MR. CARR: At this time, Mr. Stogner,  
4 we would move the admission of ENRON Exhibits 4  
5 through 6.

6 EXAMINER STOGNER: Are there any  
7 objections? Exhibits 4 through 6 will be  
8 admitted into evidence at this time.

9 MR. CARR: That concludes my direct  
10 examination of Mr. Zinz.

11 EXAMINER STOGNER: Ms. Clancy, do you  
12 have any questions of this witness at this time?

13 MS. CLANCY: No, I don't.

14 EXAMINER STOGNER: Mr. Kent.

15 MR. KENT: No, I don't.

16 EXAMINER STOGNER: Mr. Buckingham.

17 MR. BUCKINGHAM: No, I do not.

18 EXAMINER STOGNER: Well, I don't  
19 either.

20 Any redirect, Mr. Carr?

21 MR. CARR: If I'm limited only to  
22 cross, I think not.

23 MR. STOVALL: You don't have to be  
24 cross, Mr. Carr. It's close to Christmas.

25 EXAMINER STOGNER: How long is your

1 next witness?

2 MR. CARR: I think the direct  
3 presentation is 20, 25 minutes.

4 (A discussion was held off the record.)

5 EXAMINER STOGNER: Let's go back on the  
6 record and continue, Mr. Carr.

7 MR. CARR: At this time we call Randy  
8 Cate, C-a-t-e.

9 RANDY CATE

10 Having been duly sworn upon his oath, was  
11 examined and testified as follows:

12 EXAMINATION

13 BY MR. CARR:

14 Q. Will you state your name for the  
15 record, please.

16 A. Yes. My name is Randall Stewart Cate.

17 Q. And where do you reside?

18 A. I live in Midland, Texas.

19 Q. By whom are you employed and in what  
20 capacity?

21 A. I'm employed by ENRON Oil & Gas as a  
22 Project Reservoir Engineer.

23 Q. Could you briefly summarize your  
24 educational background and then review your work  
25 experience?

1           A.       Okay. I received a BS, a bachelor of  
2 science in mechanical engineering from the  
3 University of Texas in Austin in 1979. Went to  
4 work for Gulf Oil immediately out of school as a  
5 petroleum engineer, worked for them for two years  
6 in Odessa. Changed over to TXO Production Corp.,  
7 worked there for almost ten years. And then I've  
8 been with ENRON Oil & Gas for almost one year.

9                   About eight years of my experience has  
10 been strictly reservoir engineering, and the  
11 other four is a mixture of production and/or  
12 drilling operations.

13          Q.       Are you familiar with the application  
14 filed in this case on behalf of ENRON?

15          A.       Yes, I am.

16          Q.       And have you made a study of the area  
17 that is the subject of this case?

18          A.       Yes, I have .

19                   MR. CARR: Are the witness'  
20 qualifications acceptable?

21                   EXAMINER STOGNER: Are there any  
22 objections or questions?

23                   Mr. Cate is so qualified.

24                   Mr. Carr.

25          Q.       (BY MR. CARR) Have you prepared

1 certain exhibits for introduction in this case?

2 A. Yes, I have.

3 Q. And in preparing these exhibits, has  
4 this been in conjunction with your study of the  
5 area to determine the average permeability and  
6 stabilized flow rates for the wells in the  
7 application area?

8 A. That's correct.

9 Q. Could you refer to the material behind  
10 the tab in Exhibit No. 7, refer to it -- or  
11 identified as "Engineering Exhibits." And go to  
12 the first tab behind that, identify and review  
13 that for Mr. Stogner.

14 A. All right. The tab is -- the first  
15 section behind the tab that says "Engineering  
16 Exhibits" is a summary of the well completion  
17 data and the bottomhole pressures.

18 For the wells inside the application  
19 area, we collected data from each completion  
20 attempt within the Morrow, whether productive or  
21 not. And what I used was drilling reports, state  
22 sundry notices, and back-pressure tests, any of  
23 the filings that the state had received, also  
24 scout tickets.

25 We were fortunate that most of the

1 wells in the application area at one time or  
2 another ENRON has owned an interest in or still  
3 does, and therefore we had very good data out of  
4 our files.

5 The important part on this summary of  
6 the well completion data, number one, it defines  
7 what is pre-stimulation test, also which that is  
8 what the criteria for the stabilized flow rate is  
9 and for the permeability calculations.

10 The breakdown upon completion is at a  
11 spot acid or is at a stimulation. And the  
12 breakdown will normally refer to an acid or a  
13 fluid that is solely used to open the  
14 perforations and is not considered a  
15 stimulation.

16 Then I go to the stimulation fluid and  
17 amounts used, and the important thing here is  
18 that the amounts of acid over the breakdown are  
19 greatly increased. And the intent of this job is  
20 to stimulate the formation.

21 I show the maximum injection pressures,  
22 the average rates, and the pre-stimulation -- or  
23 the post-stimulation, excuse me, flow test after  
24 that stimulation job had been completed.

25 Also in what we need to calculate a



1 permeability is the bottomhole pressure of the  
2 reservoir that you start with and the flowing  
3 bottomhole pressure.

4           So this page here gives us three of the  
5 items that we need in our equation to calculate  
6 permeability. You have to have a flow rate of  
7 gas, plus an original bottomhole pressure, and  
8 then the existing bottomhole pressure at which  
9 you get this flow rate. And that's taken from  
10 this page.

11           This is all summarized -- like I said,  
12 this summarizes all the drilling reports, sundry  
13 notices, et cetera, that we gleaned the data  
14 from. And both the OCD and BLM have received  
15 copies of the back-up data, but for ease in this  
16 application, they're not all shown as exhibits.

17       Q.     Mr. Cate, there were a couple of wells  
18 that you indicate you did not have information  
19 on. Could you explain that?

20       A.     Okay. On the second page of the  
21 summary of well completions, at the very top, the  
22 Flagler Fed. No. 1 and the Gilla 4 Deep Com. No.  
23 1, we had information from scout tickets and the  
24 NMOCD and state files.

25           But all that was on the reports was

1     that they swabbed water and no flow rates of gas,  
2     and therefore there's not enough data to make a  
3     permeability determination from that. And so you  
4     will not see a permeability determination for  
5     those wells.

6           Q.     Let's go now to the permeability and  
7     stabilized flow rate information behind the next  
8     tab. Could you review that, please?

9           A.     Yes. The next tab summarizes -- or the  
10    next section summarizes the permeability and  
11    stabilized flow rates for the wells within the  
12    application area. Of the eleven out of fifteen  
13    wells that penetrated the Morrow formation within  
14    the application area, eleven of them are shown  
15    here.

16                   Now, there are two pages that are  
17    identical, this first and second page, except for  
18    the Half 6 Federal No. 1, which Pat Tower had  
19    previously mentioned. And I'll make the point  
20    there that at the very bottom of the page, we  
21    summarized the average permeability that was  
22    derived and the average stabilized flow rate at  
23    one atmosphere of pressure that was derived.

24                   The first page, which includes the Half  
25    6 Federal No. 1, has an average permeability

1 calculated at .07587 millidarcies, an average  
2 stabilized flow rate of 1,339 Mcf per day, which  
3 is 1,000 cubic feet per day.

4 On page 2, with the exact same data,  
5 except that the Half Federal 6 is left out, the  
6 average permeability is then calculated at .0499  
7 millidarcies, and the average stabilized flow  
8 rate for these wells is 1,236 Mcf per day.

9 Q. What is the flow rate you need to stay  
10 below?

11 A. The maximum stabilized flow rate is  
12 2,557 Mcf per day. And, of course, the maximum  
13 average permeability for the area would be .1  
14 millidarcy. So in either case, the calculations  
15 are well within the guidelines.

16 And as Pat Tower previously mentioned,  
17 ENRON supports either way that the agencies  
18 decide is best for the application.

19 Q. Okay. Let's walk through the  
20 information on this exhibit.

21 A. Okay. The wells, again by perforated  
22 interval, and typically the completion within the  
23 Morrow would isolate a sand or set of sands, do a  
24 breakdown acid job on them, get a flow test, then  
25 come back and do a stimulation acid job on them.

1           And because our data was very good in  
2     the drilling reports, I was able to calculate  
3     pre-stimulation permeabilities and  
4     post-stimulation permeabilities.

5           And then I will show in the third  
6     column which permeability I used in deriving the  
7     average. And then the fourth column shows the  
8     calculated stabilized flow rate.

9           I would point out that within the  
10    permeability calculation columns if you see a D,  
11    that denotes the Dst. If you see a BU, that  
12    denotes bottomhole pressure buildup data was  
13    used.

14           In the cases where we had a bottomhole  
15    pressure buildup, they were all post-stimulation  
16    data, but besides core analysis, it is the best  
17    way to measure permeability that industry has  
18    right now as far as well testing goes.

19           So even if it's a post-stimulation  
20    number, I went ahead and used the derived  
21    permeability from the bottomhole pressure  
22    buildup.

23           The other method that I used to  
24    calculate permeability, if you see no other  
25    donations, is a Holditch & Lee method, which has

1    been used in previous tight gas formation  
2    applications.

3            It uses a flow rate and a flowing  
4    bottomhole pressure, the hours that this flow  
5    rate was tested at. And they calculate a radius  
6    for transient flow, and it's an iterative  
7    process. Then it comes back with that radius and  
8    goes into the transient flow equation that  
9    derives permeability.

10           And you converge it -- it converges.  
11    The permeability that you assumed will converge  
12    finally on itself to the permeability that's  
13    derived and then you know that you have the  
14    proper answer.

15           Also in the Holditch & Lee method, they  
16    use the number of acres. And the stabilized flow  
17    rate is then defined from the time it takes to  
18    reach the pseudo-steady state, which is assumed  
19    to be at the radius of 320 acres, that is when  
20    you would by definition reach stabilized flow  
21    rate.

22           And so that time is calculated at which  
23    to reach pseudo-steady state, and then the  
24    equation will tell you what your stabilized flow  
25    rate will be.

1 I will show a comparison of the  
2 Holditch & Lee method to the bottomhole pressure  
3 buildups that we have, and also the paper on the  
4 Holditch & Lee equations and method is presented  
5 here also.

6 Q. Okay. That's behind the next tab in  
7 this exhibit book?

8 A. That's correct.

9 Q. Are you ready to go to that now?

10 A. Yes.

11 Q. Let's go there now and turn to the  
12 second page behind that tab and review that.

13 MR. STOVALL: Mr. Carr, would you just  
14 state which tab it is.

15 MR. CARR: It's the tab that's  
16 indicated "Comparison of Holditch & Lee Method to  
17 Bottomhole Pressure Buildup Analysis."

18 THE WITNESS: Okay. What I did was  
19 compare the calculated permeabilities in the  
20 area, because primarily I used the Holditch & Lee  
21 method, but I wanted to see the validity of the  
22 method versus the bottomhole buildup pressure  
23 data, because as I mentioned before, that is  
24 probably the top or the most accurate method that  
25 the industry has to calculate or measure

1 permeability from oil tests.

2           And I had three wells that had  
3 bottomhole pressure buildups. The first column  
4 shows the resulting permeability from the buildup  
5 analysis and the resulting skin factor.

6           Now, the second -- I'll go ahead and  
7 show here -- a positive skin factor means that  
8 the well is damaged or that there is some kind of  
9 a restriction that could be removed by acid or  
10 stimulation. It possibly can be removed.  
11 There's a lot of things that can affect skin.  
12 But that's what a positive skin indicates.

13           The ones with negative skin indicate a  
14 stimulated formation. All bottomhole pressure  
15 buildups that we have are post-stimulation  
16 buildups. So even Andrikopoulos is  
17 post-stimulation, but it still showed that  
18 perhaps that stimulation was just not effective.  
19 That's why it's still showing a positive skin  
20 factor.

21           Now, the third column there, the H & L,  
22 Holditch & Lee method, skin equals zero is what  
23 they have to assume because you have no way to  
24 calculate skin unless you have buildup. So you  
25 you must assume skin equals zero.

1           That's a fair assumption after an acid  
2 breakdown. The general magnitude we've seen in  
3 the area is probably 500 gallons. The acid is  
4 set in the casing. Perforations were made  
5 through it. The acid is displaced near wellbore,  
6 and then it's allowed to flow out. So that  
7 should arrive in an approximate zero skin.

8           I went ahead and have put the Holditch  
9 & Lee equations into a computer spreadsheet, a  
10 Lotus spreadsheet, where it would calculate that  
11 for me. And I modified their equation to include  
12 the skin factor.

13           So as we go down these wells, we can  
14 see the agreement. If I use the Holditch & Lee  
15 calculations with a skin of zero, the  
16 Andrikopoulos is very close, .09 to .1081  
17 actual. But anywhere that I have -- the rest of  
18 the three wells where I have a negative skin  
19 factor, then my calculated permeability using  
20 Holditch & Lee is much higher, sometimes a factor  
21 of 2.

22           So I have put in a skin factor which  
23 approximates that of the bottomhole pressure  
24 buildup. And you can see that the permeability  
25 then calculated by the Holditch & Lee comes much



1 closer to that of the buildup.

2 Now, in the previous exhibit, I'm still  
3 using an assumed skin of zero, and so therefore  
4 most of the time I'm probably going to end up  
5 with too high of a permeability. So that's the  
6 point that these numbers are probably  
7 conservative numbers that you've been seeing when  
8 I use a post-stimulation permeability.

9 Q. And this basically shows the validity  
10 of the bottomhole pressure buildup?

11 A. Right. This shows that there is very  
12 good comparison between the calculated method and  
13 the bottomhole pressure buildups.

14 Q. What is the information behind this  
15 page?

16 A. The information behind this page is the  
17 paper that Holditch & Lee published. It derives  
18 their methods and equations, which their  
19 equations are standard engineering equations used  
20 by the industry, such as transient radial flow  
21 equations, the diffusivity equations, the  
22 equations that calculate the time to  
23 pseudo-steady state.

24 We can go into these if you wish, but  
25 their findings and how they derive their final

1 equations are all submitted in the next  
2 approximately 20 pages. I would say that if you  
3 can turn to, let's see, it would be the fourth  
4 page, they use an example. There is an example.

5 Q. The top of that page starts with the  
6 word "permeability"?

7 A. That's correct.

8 Q. "Permeability can be estimated."  
9 Okay.

10 A. Okay. And then in the middle of the  
11 page there, it shows an example. Primarily what  
12 I want to touch on here is the data that is  
13 required, the input data that is required for the  
14 calculations. And I'll discuss where the data  
15 came from so you can find it in the rest of the  
16 exhibits.

17 Again, in the middle of the page the  
18 left-hand column there, gas gravity, we got that  
19 from gas analyses, back-pressure tests of that  
20 nature. That's fairly easy to determine.

21 The temperature is logged. Bottomhole  
22 temperature is on logs. "Pi" is the pressure of  
23 the reservoir, initial. We had measured  
24 bottomhole pressure, bottomhole pressures. And  
25 if not, then most of the time I would have a

1 shut-in surface pressure, and I can use a  
2 Cullander & Smith equation and correlation which  
3 will then give me the bottomhole pressure.

4 The porosities is the "phi-g" there.  
5 Barry Zinz, our geologist, determined those off  
6 of his log calculations. The "rw" is the radius  
7 of the wellbore. The "H" is the net pay height.  
8 Again Barry Zinz in his log analysis had  
9 determined that, and that's presented on a  
10 previous exhibit.

11 "Z," the gas compressibility factor,  
12 is gotten by several correlations, and we have  
13 computer programs for that. "Cgi" is gas  
14 compressibility, another gas compressibility  
15 factor. I'll show how I derived those. There is  
16 a page, an example I show.

17 "Mu-gi" is the viscosity of the gas.  
18 It will be at the original bottomhole pressure.  
19 And one of my examples shows where we arrive at  
20 that. The spacing for the Morrow out here is 320  
21 acres. And the "B-gi" is a formation volume  
22 factor. I'll show in a second how we arrived at  
23 those.

24 Otherwise, the Holditch & Lee method,  
25 like I mentioned before, uses normally used

1     engineering calculations and equations.

2             If you go to the back of this section,  
3     approximately -- well, a fourth page from the  
4     back of this section is where I show an example  
5     of how the gas compressibility was evaluated at  
6     the initial reservoir pressure, and also the gas  
7     formation volume factors, how they are determined  
8     and calculated.

9             The next page shows the charts,  
10    correlation charts, that were used to determine  
11    the gas compressibility, which is referred to on  
12    this previous page. And the last two pages show  
13    where the "Z" factor and the gas viscosity, they  
14    are derived from a computer program that has the  
15    correlation charts were programmed within it.

16            And the last page shows a program that  
17    converts flowing rates and flowing surface  
18    pressures and/or shut-in pressures to bottomhole  
19    pressures. Again, all that data was required in  
20    the calculations, and that's where it all comes  
21    from.

22            Q.     Mr. Cate, in this application area we  
23    have a couple of windows because of wells that  
24    demonstrate anomalous characteristics for the  
25    reservoir. Would you go to the material behind

1 the tab at which reads, "Support for 320-Acre  
2 Windows," identify that, and review it for the  
3 Examiner.

4 A. Okay. Yes, that's the next section.  
5 It is support for 320-acre windows on the  
6 Brinninstool 21 Fed. Com., Federal No. 1, and the  
7 Ochoa Federal No. 1. I'll summarize the  
8 permeabilities that were calculated and the  
9 calculated stabilized flow rates.

10 For the Brinninstool 21 No. 1, it had a  
11 calculated permeability of .4540 millidarcies and  
12 a corresponding calculated stabilized flow rate  
13 of 9,021 Mcf per day. Also the Ochoa Federal No.  
14 1 has a calculated permeability of .4874  
15 millidarcies and a corresponding stabilized flow  
16 rate of 8,662 Mcf per day.

17 These wells are not representative of  
18 what I found in going through the calculations  
19 for the area, and so I did a volumetric drainage,  
20 drainage area calculation, to determine the  
21 extent of these reservoirs. And that is  
22 summarized on the next page.

23 And what I found was that indeed they  
24 are small reservoirs that again are anomalous and  
25 do not fit the average that we had calculated for

1 the rest of the area.

2 As you can see, the Brinninstool  
3 calculates 169 acres. And the Ochoa Fed. only --  
4 well, less than two acres, 1.7 to be exact. The  
5 171 acres that these wells' sands represent is  
6 approximately six-tenths of 1 percent of the  
7 total application area.

8 Q. Are there any freshwater wells in the  
9 area of this application?

10 A. They're -- I'm not aware of any  
11 freshwater wells in the area of that application.

12 Q. Are you aware of any freshwater?

13 A. I'm not aware of any freshwater.

14 Q. Could you just explain what the  
15 materials with the tab on them, "Freshwater  
16 Protection," is designed to show.

17 A. Okay. The next section is the casing  
18 program that is used in the Pitchfork Ranch and  
19 the Vaca Draw area. It is required by the  
20 NMOCD. And it involves setting a surface casing  
21 at 650 feet, which is enough to cover any  
22 freshwater zone, if there was a zone present.  
23 Cement is then circulated to the surface so that  
24 there is a continuous string of cement from the  
25 bottom to the top.

1                   Additionally, a string of  
2   ten-and-three-quarter-inch casing would be set at  
3   5200 feet, also cement-circulated to the top or  
4   to the surface, because there is a salt section  
5   that is drilled below the surface.

6                   Therefore, the area above 650 feet will  
7   have two strings of casing and two strings of  
8   cement circulated to the surface. And that will  
9   adequately protect any freshwater aquifer.

10          Q.       If there is any.

11          A.       If there is any.

12          Q.       Let's go to the tab that is styled,  
13   "Liquid Hydrocarbon Recoveries of Morrow Wells,"  
14   and I'd ask you to review that.

15          A.       All right. That would be the next  
16   section. One of the requirements of the  
17   application for TG -- or tight gas formation is  
18   that no well produce more than five barrels per  
19   day of crude oil without stimulation.

20                 And what I've shown here is a  
21   representative -- I picked three wells that were  
22   representative. Several of the wells in the area  
23   don't even test liquid hydrocarbons. I picked  
24   these just, like I say, at random and just to  
25   show that the gas is dry gas, that very little

1 liquids are recovered.

2 And you see the Half 6 Federal No. 1,  
3 it did recover one barrel of liquid on it's  
4 back-pressure test. The gravity of the liquid is  
5 51 degrees, which corresponds to condensate,  
6 which drops out of the gas. Crude oil is liquid  
7 that is present in its form in the reservoir.  
8 Condensate is something that drops out of the gas  
9 itself due to the drop in pressure and  
10 temperature as the gas is produced.

11 I also show the yield, barrels of  
12 condensate per million cubic feet of gas. They  
13 are very low, and they are well below what is  
14 considered a statutory gas well. So the exhibit  
15 is used here to prove and to support that none of  
16 the wells in the application area are expected to  
17 produce five barrels or more of crude oil.

18 Q. Are you ready to go to the material  
19 behind the last tab in this exhibit?

20 A. Yes, I am.

21 Q. Could you identify that material.

22 A. All right. This next section is a  
23 compilation of the data sheets that I generated  
24 with the Holditch & Lee computer program. And in  
25 them, you will find the input flow rates, the



1 hours at which the flow rate was tested, the  
2 flowing bottomhole pressure, which is calculated  
3 as shown previously, the set of input data which  
4 we discussed previously in the Holditch & Lee  
5 paper, the spacing radius, and then at the bottom  
6 is the assumed permeability and the calculated  
7 permeabilities.

8           There were several iterations that I  
9 had to make to get to this point. For example, I  
10 might have started at a .1 millidarcy on this  
11 Andrikopoulos in the assumed "K," and I would  
12 have had to maybe try two or three more  
13 iterations in order to get these two as a match.  
14 But I'm only showing the final product here,  
15 which is the matching assumed to the calculated  
16 permeability.

17           Also the stabilized flow rate at the  
18 very bottom of the page, which is the AOF,  
19 signifies the absolute open-flow stabilized flow  
20 rate, has also been summarized in the previous  
21 exhibits and is calculated here for each of the  
22 wells. So this is the back-up data that you have  
23 seen summarized in the previous exhibits.

24           Q.     Mr. Cate, as a result of your  
25 engineering study, have you been able to

1 determine that the average in situ permeability  
2 in the area that is the subject of this  
3 application is less than .1 millidarcy?

4 A. Yes, that is my conclusion.

5 Q. Is the pre-stimulation stabilized  
6 production rate at atmospheric pressure or  
7 calculated against atmospheric pressure from the  
8 wells completed in this formation in the subject  
9 area less than 2,557 Mcf per day?

10 A. That's correct.

11 Q. That is the permitted rate for wells at  
12 this depth?

13 A. That's correct.

14 Q. Do you expect any well in the area that  
15 is the subject of this application prior to  
16 stimulation to produce in excess of five barrels  
17 of crude oil per day?

18 A. No, I do not.

19 Q. In your opinion based on your  
20 engineering study, does the area covered by this  
21 application meet the criteria for qualifications  
22 of tight gas formation under Section 107 of the  
23 Natural Gas Policy Act?

24 A. Yes, it does.

25 Q. Was the engineering portion of Exhibit

1 No. 7 prepared by you?

2 A. Yes, it was.

3 Q. In your opinion would the granting of  
4 this application result in the recovery of gas  
5 that otherwise would not be produced?

6 A. That's correct.

7 Q. And in your opinion is the approval of  
8 this application in the best interests of  
9 conservation, the prevention of waste, and the  
10 protection of correlative rights?

11 A. Yes, it is.

12 MR. CARR: At this time we move the  
13 admission of ENRON Exhibit 7.

14 EXAMINER STOGNER: Exhibit No. 7 will  
15 be admitted into evidence at this time.

16 MR. CARR: That concludes my direct  
17 examination of Mr. Cate.

18 EXAMINATION

19 BY EXAMINER STOGNER:

20 Q. Mr. Cate, since we're back here on the  
21 data sheets, you used your spacing in acres at  
22 320, but there's a few in here that you deviated  
23 from that, and how would that affect the  
24 permeability calculations? And refer in  
25 particular to Bell Lake 2 State No. 1 well -- oh,

1 I guess it's about --

2 A. About five -- well, it starts right  
3 after the Andrikopoulos. It would be about six  
4 pages back.

5 Q. About eleven.

6 A. About eleven. I went ahead and tested  
7 the program for sensitivity to the spacing  
8 radius. And they are shown here that there is  
9 virtually no effect on the calculated  
10 permeability for this example to change the  
11 spacing from 320 acres to 160 acres or even to 80  
12 acres.

13 The permeability still calculated the  
14 same. And that was just my testing of the  
15 sensitivity to verify and check the validity of  
16 the program.

17 Q. So it appears that particular number  
18 really has not that great of effect to your  
19 calculations; is that correct?

20 A. That's correct. Again, it was  
21 something I was doing just as a validity and a  
22 sensitivity check. Now, it does affect the  
23 stabilized flow rate minutely. And let me just  
24 get that on the record here.

25 The 320-acre stabilized flow rate is

1 1618 Mcf per day on the example for 320 acres.  
2 The same set of data on an 80-acre spacing would  
3 result in 1766 Mcf per day. It's not appreciably  
4 different.

5 Q. Okay. In looking at some of your  
6 calculations here, in particular the liquid  
7 hydrocarbon recoveries of Morrow wells, you  
8 included the Half 6 Federal Well No. 1. But that  
9 well has actually been pulled out of your  
10 request; is that correct?

11 A. Well, it's included at the discretion  
12 of the agency. Like we've stated, ENRON will --  
13 I guess, we would prefer that it remains in the  
14 area, but we don't oppose it being withdrawn  
15 either.

16 But it was the only well I could find  
17 within the area that we originally worked that  
18 had a recovered appreciable quantity of liquid  
19 that had a gravity determination on it. That's  
20 why I included it.

21 Q. So you wanted to get one of the  
22 worst-case scenarios or --

23 MR. STOVALL: Or best-case.

24 Q. (BY EXAMINER STOGNER) -- or a well  
25 that had some liquids?

1           A.       Yes.

2                   EXAMINER STOGNER:   And that being the  
3   worst-case scenario.

4                   MR. STOVALL:   Isn't it amazing when  
5   your best well is a worst-case scenario?

6                   EXAMINER STOGNER:   It depends on how  
7   you look at it.

8                   Mr. Kent, do you have any questions of  
9   this witness?

10                  MR. KENT:   No, I don't.

11                  MS. CLANCY:   One quick question.

12                               EXAMINATION

13   BY MS. CLANCY:

14           Q.       You said that there were two wells that  
15   you did not have enough data to calculate  
16   permeability on?

17           A.       That's correct.

18           Q.       Now, were those wells included in your  
19   field average permeability?

20           A.       No, they were not.

21           Q.       So you were being conservative?

22           A.       Yes.   I just didn't have enough data to  
23   make a proper determination, so I didn't feel it  
24   needed to be in there.

25                   EXAMINER STOGNER:   Which two wells were

1     those?  I guess I'm looking at the tab  
2     "Permeability and Stabilized Flow Rates."

3                 Is that what you're looking at, Ms.  
4     Clancy?

5                 MS. CLANCY:  It was -- it came up in a  
6     discussion earlier, and I've forgotten which two  
7     wells he actually cited.  But the information  
8     from the scout cards indicated they were  
9     completed in the correct intervals and tested  
10    that there was enough flow.

11                MR. STOVALL:  It's the summary of well  
12    completion data, isn't it?

13                MR. CARR:  If you go to the tab,  
14    "Summary of Well Completion Data and Bottomhole  
15    Pressures," which is the first tab behind the  
16    engineering exhibits, the third page, the second  
17    page of well data at the top, the two wells are  
18    identified there, the first two wells.

19                EXAMINER STOGNER:  Okay.

20                MR. CARR:  The Flagler Federal No. 1  
21    and the Gila 4 Deep Com. No. 1.

22                         FURTHER EXAMINATION

23    BY EXAMINER STOGNER:

24                Q.     There again, in this particular tab,  
25    the Brinninstool well, the Superior, Ochoa,

1 Federal No. 1, and the Half 6 Federal Well No. 1  
2 were again submitted data in this particular tab  
3 for information only?

4 A. Yes. Well, they are included for  
5 information, and then that information is used  
6 later in the volumetric determinations that were  
7 shown for the Brinninstool and the Ochoa Fed.  
8 And it is used also in the permeability  
9 determinations for the Half 6 Federal.

10 Q. Going to your transient flow rate data,  
11 on your height it was -- the "H" value on each  
12 one of these -- was that the perforated interval,  
13 or was it another figure utilized?

14 A. No. It is the perforated interval that  
15 was open at the time of the test. If you're  
16 referring to the bottomhole buildups?

17 Q. Yes.

18 A. Yes.

19 EXAMINER STOGNER: Is that correct, Mr.  
20 Zinz?

21 MR. ZINZ: You're talking about the  
22 overall perforations?

23 EXAMINER STOGNER: Well, you tell me  
24 what the "H" is.

25 MR. ZINZ: Well --



1                   EXAMINER STOGNER: I saw you shaking  
2 your head no, and he was answering the question  
3 yes.

4                   MR. ZINZ: Well, what I did was go in  
5 there and figure out the clean sand that I  
6 thought was clean sand within the overall  
7 interval of that particular A sand, B sand, C  
8 sand, or whichever particular interval.

9                   And I didn't think that the  
10 perforations were the same throughout that whole  
11 interval as what I might have picked as clean  
12 sand.

13                  MR. STOVALL: Who picked the number?  
14 Did you provide him with the number for "H"?

15                  MR. CATE: There's always going -- not  
16 always, but normally will be a difference in the  
17 amount of feet perforated versus the pay height  
18 that may be calculated off the logs.

19                  MR. STOVALL: Let me stop you for a  
20 minute because Mr. Zinz actually nodded the  
21 answer to my question but didn't answer it. Let  
22 me ask the question again, and I will ask you.

23                  Did you use in making the calculation  
24 the height -- what, the number you plugged in  
25 there, was that number provided to you by Mr.

1 Zinz?

2 MR. CATE: Yes, it was.

3 MR. STOVALL: Now, Mr. Zinz, would you  
4 tell us what that number was -- the method you  
5 used to define the number, did I understand you  
6 correctly that it is the number of feet of clean  
7 sand within a perforated interval; is that more  
8 accurately --

9 MR. ZINZ: It's the number of feet  
10 within an interval, a sand interval, be it the A  
11 sand, the B sand, the C sand. I used a 50 API  
12 unit cutoff to determine what my clean sand was,  
13 and I went through there and counted up the feet.

14 Q. But not between just the perforations  
15 but within the whole interval perforated or that  
16 was clean there?

17 MR. ZINZ: Uh-huh. That's the way I  
18 did it.

19 MS. CLANCY: So that in general could  
20 give you more net pay than just the perforated  
21 interval which would then reduce your drainage  
22 radius. So if I'm understanding this right, you  
23 used a number that was smaller than perhaps --

24 MR. CATE: No. I could have used a  
25 number that was higher than the actual net pay

1    which could result then in a falsely lower  
2    permeability calculation on the buildups.  But I  
3    believe -- at least I believe that most, if not  
4    all, of the interval that was perforated from the  
5    work that we did together and in our  
6    double-checking each other, I believe that most  
7    of the pay that was used in these calculations  
8    was in fact perforated and open and did  
9    contribute.  We can --

10           MS. CLANCY:  Looking at the  
11    Brinninstool, their perf'd interval is more like  
12    about 20-or-something feet.  I believe you used  
13    7.

14           MR. CATE:  That's right.  That is the  
15    initial zone.  If you look at the Brinninstool,  
16    you'll see it's the initial zone that made all  
17    the gas.  Since then I have come in and added the  
18    other few feet and with very little increase in  
19    the reserves.  So I applied it all to the smaller  
20    interval actually.

21           MR. STOVALL:  In other words, you are  
22    satisfied -- if I'm correct, the bigger the  
23    interval, the lower it would make the  
24    permeability appear.  The bigger "H" --

25           MR. CATE:  That's correct.

1           MR. STOVALL: And you are satisfied  
2 that you did not use an unrealistically large "H"  
3 based upon the actual access to hole sands?

4           A. That's right, yes.

5           MR. STOVALL: Okay. Mr. Zinz, would  
6 you concur in that?

7           MR. ZINZ: I concur with that, yes.

8           MR. STOVALL: Since you calculated it.

9           EXAMINER STOGNER: So you both would  
10 shake your head yes at this point?

11           MR. ZINZ: What I should say is that  
12 most of the perforated intervals matched up with  
13 the height that I picked, but there were a few  
14 that did not, if I'm making myself clear.

15           MR. STOVALL: If I understand you  
16 correctly, you might perforate an interval, but  
17 you might actually have a little more sand  
18 contributing to what's going into that interval  
19 because it's clean; is that correct?

20           MR. ZINZ: That's correct.

21           EXAMINER STOGNER: And also at that  
22 point some of these wells -- most of these wells  
23 were probably perforated by other parties in  
24 which you might not have chosen those  
25 perforations; is that correct?

1 MR. ZINZ: Yes, that's correct.

2 EXAMINER STOGNER: Some get gun-happy,  
3 don't they, on their perforation guns?

4 MR. STOVALL: Or they're scared of them  
5 because they don't pan by the shot.

6 EXAMINER STOGNER: What is the oldest  
7 well out here in this area?

8 MR. ZINZ: Probably the Pure Red Hills.

9 EXAMINER STOGNER: Just the name of  
10 that one would make it somewhat old. When did  
11 Pure go out of business?

12 MR. STOVALL: Before you went in, I  
13 think.

14 MR. ZINZ: When Union acquired them, I  
15 think, 65.

16 MR. CATE: 1963 is what you show as the  
17 spud date for the Red Hills Unit No. 1. And that  
18 appears to be the earliest one.

19 MR. STOVALL: Let me back you up here  
20 and clarify this again. I think you were talking  
21 to Mr. Zinz when you said what you will show; is  
22 that right? The records show it was 63; is that  
23 what you're saying --

24 MR. CATE: Yes.

25 MR. STOVALL: -- Mr. Zinz has

1 generated.

2 MR. CATE: Yes. Maybe I ought to let  
3 him answer it.

4 MR. ZINZ: The Pure Red Hills is the  
5 one with the dark strip on the log right there.

6 EXAMINER STOGNER: What do you have as  
7 your "H" on the Pure Red Hills Unit No. 1?

8 MR. ZINZ: Okay. What I determined to  
9 be actual perforations within the Morrow, the  
10 Upper Morrow was 10 feet, which is that interval  
11 through there.

12 MR. STOGNER: That's about 14,850.

13 THE WITNESS: That's correct.

14 MR. ZINZ: And there again, the A sand  
15 and Warren sand was perforated. I showed that to  
16 have five foot of clean sand in there.

17 EXAMINER STOGNER: That appears to be  
18 15-1030, somewhere like that.

19 MR. ZINZ: Uh-huh. And the B sand was  
20 also perforated, and I show that to have seven  
21 feet of good, clean sand.

22 EXAMINER STOGNER: Okay. Now, I'm  
23 referring to Exhibit No. 6. I do not show that C  
24 sand interval as perforated.

25 MR. ZINZ: Well, there may be -- let's

1 see.

2 EXAMINER STOGNER: But that's just a  
3 discrepancy.

4 MR. ZINZ: No. Excuse me. You're  
5 right. It wasn't perforated. It was the B  
6 sand. The Upper Morrow A sand and Warren and the  
7 B sands were all that were perforated. I read  
8 that wrong.

9 EXAMINER STOGNER: Are there any other  
10 questions of this witness, or Mr. Zinz for that  
11 matter?

12 MR. STOVALL: Or anybody else in the  
13 room that wants to answer a question.

14 EXAMINER STOGNER: Any questions?  
15 Okay.

16 MR. CARR: If not, Mr. Stogner, this  
17 case will need to be continued to the hearing  
18 scheduled before the Division on the 9th to  
19 correct the advertisement.

20 EXAMINER STOGNER: But I do not  
21 anticipate any additional comments, or I should  
22 say, appearances at that time. I would like to  
23 ask Mr. Carr that you provide me a rough -- me  
24 and Mr. Buckingham -- a rough draft order.

25 MR. CARR: Okay.

1                   EXAMINER STOGNER:  -- for the  
2 Commission.

3                   MR. STOVALL:  Mr. Carr, just a question  
4 procedurally.  If you were to provide that order  
5 prior to that January 9 date and give the  
6 agencies a chance to look at it, if there were  
7 some questions that arose that could be responded  
8 to at that time, would that be helpful to you  
9 perhaps?

10                  MR. CARR:  Let me tell you that I will  
11 provide that before the January 9 hearing.  We  
12 will not plan to have witnesses present on  
13 January 9.

14                  MR. STOVALL:  Unless we request it.

15                  MR. CARR:  Unless you request that we  
16 have people present, and we can do that if you  
17 desire.

18                  MR. STOVALL:  But I think that might be  
19 helpful to have that ahead of time, and again in  
20 the effort to try to be a little more efficient  
21 to be prepared to do that if we in fact tell you  
22 we need it.

23                  MR. CARR:  We'll do.

24                  EXAMINER STOGNER:  There again, a lot  
25 of information to be digested by several



1 parties. So the record will remain open, but  
2 I'll leave it at your timing to get us both a  
3 copy. And, Mr. Stovall, that was a good idea,  
4 the quicker the better.

5 If not, then that will be all for this  
6 particular case. And we'll take a 45-minute  
7 lunch break and reconvene at 2:00 o'clock.

8 (The proceedings were concluded.)  
9  
10  
11  
12  
13  
14

15 I do hereby certify that the foregoing is  
16 a complete record of the proceedings in  
17 the Examiner hearing of Case No. 10428,  
18 heard by me on 20 December 1991.  
19 Michael E. Stovall, Examiner  
20 Oil Conservation Division  
21  
22  
23  
24  
25


## 1 CERTIFICATE OF REPORTER

2  
3 STATE OF NEW MEXICO )  
4 COUNTY OF SANTA FE ) ss.

5  
6 I, Debbie Vestal, Certified Shorthand  
7 Reporter and Notary Public, HEREBY CERTIFY that  
8 the foregoing transcript of proceedings before  
9 the Oil Conservation Division was reported by me;  
10 that I caused my notes to be transcribed under my  
11 personal supervision; and that the foregoing is a  
12 true and accurate record of the proceedings.

13 I FURTHER CERTIFY that I am not a  
14 relative or employee of any of the parties or  
15 attorneys involved in this matter and that I have  
16 no personal interest in the final disposition of  
17 this matter.

18 WITNESS MY HAND AND SEAL DECEMBER 22,  
19 1991.

20  
21  
22   
23 \_\_\_\_\_  
24 DEBBIE VESTAL, RPR  
25 NEW MEXICO CSR NO. 3