

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

NEW MEXICO OIL CONSERVATION DIVISION
STATE LAND OFFICE BUILDING
STATE OF NEW MEXICO
CASE NO. 10431

IN THE MATTER OF:

The Application of Texaco Exploration
& Producing, Inc., for special pool
rules, Lea County, New Mexico.

BEFORE:

MICHAEL E. STOGNER
Hearing Examiner
State Land Office Building
December 19, 1991

REPORTED BY:

DEBBIE VESTAL
Certified Shorthand Reporter
for the State of New Mexico

ORIGINAL

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

A P P E A R A N C E S

FOR THE NEW MEXICO OIL CONSERVATION DIVISION:

ROBERT G. STOVALL, ESQ.

General Counsel
State Land Office Building
Santa Fe, New Mexico 87504

FOR THE APPLICANT:

CAMPBELL, CARR, BERGE & SHERIDAN, P.A.
Post Office Box 2208
Santa Fe, New Mexico 87504-2208
BY: WILLIAM F. CARR, ESQ.

I N D E X

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

Page Number

Appearances 2

WITNESSES FOR THE APPLICANT:

1. ROBERT HART
Examination by Mr. Carr 4
Examination by Examiner Stogner 17

Certificate of Reporter 24

E X H I B I T S

Page Marked

Exhibit No. 1 6
Exhibit No. 2 7
Exhibit No. 3 8
Exhibit No. 4 10
Exhibit No. 5 13
Exhibit No. 6 15

1 EXAMINER STOGNER: Call the next case,
2 No. 10431.

3 MR. STOVALL: Application of Texaco
4 Exploration & Producing, Inc., for special pool
5 rules, Lea County, New Mexico.

6 EXAMINER STOGNER: Call for
7 appearances.

8 MR. CARR: May it please the Examiner,
9 my name is William F. Carr with the law firm,
10 Campbell, Carr, Berge & Sheridan of Santa Fe. We
11 represent Texaco Exploration & Producing, Inc.,
12 and I have one witness.

13 EXAMINER STOGNER: Are there any other
14 appearances?

15 There being none, will the witness,
16 please, stand.

17 MR. STOVALL: Will the cowboy, please,
18 rise and be sworn in.

19 ROBERT HART

20 Having been duly sworn upon his oath, was
21 examined and testified as follows:

22 EXAMINATION

23 BY MR. CARR:

24 Q. Will you state your name for the
25 record, please.

1 A. My name is Robert Hart.

2 Q. Where do you reside?

3 A. In Hobbs, New Mexico.

4 Q. By whom are you employed?

5 A. By Texaco.

6 Q. And in what capacity?

7 A. I'm a petroleum engineer.

8 Q. Mr. Hart, have you previously testified
9 before this Division and had your credentials as
10 a petroleum engineer accepted and made a matter
11 of record?

12 A. Yes, I have.

13 Q. Are you familiar with the application
14 filed in this case on behalf of Texaco?

15 A. Yes.

16 Q. Are you familiar with the subject area?

17 A. Yes, I am.

18 MR. CARR: Are the witness'
19 qualifications acceptable?

20 EXAMINER STOGNER: Mr. Hart is so
21 qualified.

22 Q. (BY MR. CARR) Would you briefly state
23 what Texaco seeks with this application.

24 A. We are seeking an increase in the
25 limiting GOR for Weir Blinebry East Pool from

1 2,000 to 10,000 standard cubic feet per barrel.

2 Q. Have you prepared exhibits for
3 presentation in this hearing?

4 A. Yes, sir, I have.

5 Q. Could you refer to what has been marked
6 for identification as Texaco Exhibit No. 1,
7 identify that for Mr. Stogner, and review it,
8 please.

9 A. Exhibit No. 1 is a plat of the Weir
10 Blinebry East Pool. The hachured marks there
11 indicate the pool boundaries as defined by the
12 New Mexico Oil Conservation Division. The field
13 is located approximately four-and-a-quarter miles
14 southeast of Monument, New Mexico, in Lea
15 County. And the pool was established in 1962.
16 And it currently consists of 1600 acres; all but
17 480 of those acres are operated by Texaco. There
18 are presently two other operators that have
19 producing wells at this time. They are Conoco
20 and Dewey Sparger.

21 Q. How many wells are currently producing
22 from the Blinebry?

23 A. There are seven producing wells at this
24 time. The legend indicates that the well symbols
25 with a slash through them are inactive wells, and

1 then the others are active wells. And this plat
2 does include every well that has produced from
3 this pool.

4 Q. What are the current rules governing
5 development of this pool?

6 A. They are statewide rules. We have a
7 depth bracket oil allowable of 107 barrels of oil
8 per day. At the present time we have a limiting
9 GOR of 2,001, and that results in a gas allowable
10 of 214 Mcf per day.

11 Q. Let's go to the Texaco Exhibit No. 2.
12 Identify that and review it, please.

13 A. Exhibit No. 2 is a total production
14 plot for the entire Weir Blinebry East Pool. It
15 includes gas, production, water production, and
16 oil production.

17 The gas production is the red curve.
18 The green curve depicts oil production. And the
19 blue curve at the bottom depicts water
20 production. I've also added to this curve a plot
21 of the GOR, and that is depicted as the aqua or
22 blue-green curve at the top of the production
23 plot.

24 You can see on here that the historical
25 GOR for this pool has been above 10,000. And, in

1 fact, if you calculate the cumulative produced
2 GOR from the numbers in red over there on the
3 right-hand side of your graph, the cumulative
4 produced GOR is 11,145 to 1.

5 Q. Why is this higher, this gas-oil ratio
6 higher than 2,000 to 1?

7 A. Because the GOR limit is really tied to
8 allowables in this pool, not to produced GOR.
9 And the produced GOR is really a function of
10 reservoir characteristics.

11 Q. Let's go to Texaco Exhibit No. 3.
12 Would you identify that for Mr. Stogner?

13 A. Yes. This is a compilation of
14 individual well production plots for every well,
15 almost every well in the pool.

16 There are two that aren't included
17 here. One of them is a newly drilled well that
18 we drilled in May of this year. There wasn't
19 sufficient production data to put on this plot.
20 And the other well, I believe, had production
21 history prior to 1970, and that's why it's not on
22 here.

23 Q. How many of these plots do you have?

24 A. Fourteen out of the 16 producing wells.

25 Q. Do you want to review this information

1 now for the Examiner?

2 A. Yes. What this shows is that most of
3 the wells out there in the pool have historically
4 produced at a GOR at or above 10,000 to 1.
5 Eleven of the 14 wells shown here have had
6 substantial production either at or above a
7 producing GOR of 10,000.

8 It also shows that produced GOR is
9 virtually independent of rate. If you look at
10 the first page of Exhibit No. 3, especially in
11 the early part of this production plot, it's on
12 CH Weir A No. 10 at the top on the first page,
13 you can see that even though this well has a
14 relatively high producing oil and gas rate, that
15 the produced GOR is still 10,000.

16 And that's also substantiated by tests
17 on our MB Weir B No. 14. That is the well that
18 we drilled in May of this year. Initially we
19 tested that well at about 790 Mcf per day and 60
20 oil. And that closely agrees with what the
21 historical GOR has been in the pool.

22 Q. That well is currently experiencing
23 curtailment because of the gas-oil ratio limit;
24 is that not correct?

25 A. Yes, sir, it is, the new well is.

1 And then further on the second page of
2 Exhibit No. 3, I've just put this well in here to
3 show that even though you have relatively low
4 production, both gas and oil there, you are still
5 producing at a GOR in the neighborhood of 10,000
6 to 1.

7 Q. So wells at low rates as well as high
8 rates are still experiencing this high gas-oil
9 ratio?

10 A. Yes, sir, that's true.

11 Q. All right. Are you ready to move to
12 the next exhibit?

13 A. Well, I would add one more thing. The
14 rate is -- the produced GOR is independent
15 provided that a mechanism exists to bring
16 produced fluids to the surface. That just kind
17 of qualifies it a little bit.

18 You can actually bleed gas off of those
19 wells and produce at a GOR of much higher than
20 10,000, and I'll refer to that later.

21 Q. Okay. Let's go to your material
22 balance equation. That's marked Exhibit No. 4.
23 Would you review that for Mr. Stogner?

24 A. Yes. This is a material balance
25 equation for solution gas-drive reservoir below

1 the bubble point. And it's got some assumptions
2 here, and really those assumptions are in there
3 for simplification of writing the equation,
4 although I think they are valid assumptions for
5 this reservoir.

6 But what you can see in equation No. 1
7 is a recovery factor -- well, I won't read all
8 that, but that's the material balance equation.
9 For any given set of reservoir properties and a
10 given abandonment pressure, B_o , B_{oi} , R_{si} , R_s , and
11 B_g are all constant, and I do have the
12 nomenclature at the bottom. I would also point
13 out that B_o , R_s , and B_g in this particular
14 instance would be evaluated at the abandonment
15 pressure.

16 So for any given reservoir, those
17 particular parameters are constant, so the
18 recovery factor equation can be reduced to
19 recovery factor equals a constant over produced
20 cumulative GOR, which is R_p plus a constant.

21 So you can see here that the only thing
22 that affects recovery factor is the produced
23 GOR. And we've seen by Exhibit No. 3 that
24 produced GOR is independent of rate. So your
25 recovery factor would therefore not be affected

1 with a higher rate.

2 And also Riddings, et al., did a study
3 of laboratory results versus a solution gas-drive
4 simulation. And he concluded that ultimate
5 recovery in a solution gas-drive reservoir is not
6 dependent on rate. And I took that from a
7 petroleum engineering handbook published by the
8 Society of Petroleum Engineers. And that does
9 substantiate what I've shown here.

10 Q. Have you done anything in the field to
11 confirm this conclusion?

12 A. Well, we -- the conclusion that can be
13 drawn here is that recovery factor is not
14 affected by the rate. And again I refer to what
15 I said before, that the produced GOR is not
16 dependent on rate provided there is a mechanism
17 to produce the liquids out of the wellbore.

18 We did in fact choke our new well back
19 to 200 Mcf per day. And at that produced gas
20 rate, it only brought with it two barrels of oil
21 per day. So by choking it back we were actually
22 producing at a 100,000 GOR.

23 And if you plug that back in to the
24 second equation here, you have a higher produced
25 GOR, which decreases with your recovery factor.

1 So in effect we can actually produce this
2 particular reservoir more efficiently by
3 increasing the gas rate, which brings with it
4 more oil and decreases the GOR.

5 Q. So basically what you're saying is a
6 higher gas-oil ratio in the pool will not cause
7 waste but in fact may prevent it?

8 A. That's exactly right.

9 Q. If this application is approved, in
10 your opinion will oil be produced from this pool
11 that otherwise would remain in the ground?

12 A. Yes, sir. That's done by two ways.
13 First of all, as I mentioned previously, we can
14 produce the reservoir more efficiently, and also
15 it will economically allow us to do additional
16 development drilling in that particular field.

17 Q. And Texaco has undrilled locations in
18 this field?

19 A. Yes, sir, it does.

20 Q. Could you refer to what has been marked
21 as Texaco Exhibit No. 5 and review that for the
22 Examiner.

23 A. Exhibit No. 5 is just an economic
24 summary for the current 2,000-to-1 limiting GOR
25 and a 10,000-to-1 proposed GOR. What you can see

1 here is that for the 2,000-to-1 GOR additional
2 development drilling is very marginal.

3 A 6.2-year payout is unacceptable
4 because these funds do have to compete with other
5 domestic projects as well as foreign projects.
6 And the input parameters I've used here is on the
7 2,000-to-1 GOR. I've used a top allowable gas of
8 214 Mcf a day, coupled with a historical GOR, and
9 that gives you 19 barrels of oil per day on the
10 oil side.

11 \$520,000 for drilling and completion
12 costs. We have been, at least on the last well,
13 putting rather large frac jobs, so that adds a
14 substantial amount to the drilling and completion
15 costs.

16 And then on the 10,000-to-1 GOR, I
17 assumed a 750 Mcf per day. And that was based
18 off of our new well, 60 oil, and I actually put
19 the same reserves in for 10,000 as was generated
20 for 2,000. And that's declined a little faster
21 because you have a higher initial producing
22 rate. But that makes sense because we are doing
23 frac jobs, and you will accelerate recovery that
24 way.

25 Q. How long is payout with a 10,000-to-1

1 GOR?

2 A. 1.9 years.

3 Q. Does that make this economic from
4 Texaco's perspective to go forward with
5 development in this pool?

6 A. Yes, sir, it does.

7 Q. Who was notified of this application?

8 A. All interest owners in this particular
9 pool as well as all interest owners within a mile
10 boundary of the pool.

11 Q. You given notice in an effort to comply
12 with the New Mexico Supreme Court decision in
13 Newton, have you not?

14 A. Yes, we have.

15 Q. Who identified the persons and the
16 entities to whom notice needed to be given?

17 A. Our land department in the Denver
18 region in Denver, Colorado, did the work.

19 Q. And how many notice letters were
20 actually sent of this application?

21 A. Over 480 were sent.

22 Q. Is Exhibit No. 6 an affidavit with an
23 attached list identifying all parties to whom
24 notice was provided?

25 A. Yes, sir, it is.

1 Q. If this application is granted, will
2 Texaco experience difficulty in marketing the
3 additional gas that they anticipate producing?

4 A. No. Warren Petroleum is the purchaser
5 of gas for all Texaco wells as well as, I think,
6 the Dewey Sparger well.

7 And I talked with Mr. Bailey Blakemore,
8 who is in Warren's Midland office, and he advises
9 me that Warren Petroleum could handle any
10 additional gas that would be generated as a
11 result of this increased GOR, both from a
12 facility standpoint and a marketing standpoint.

13 Q. In your opinion will granting this
14 application be in the best interests of
15 conservation, the prevention of waste, and the
16 protection of correlative rights?

17 A. Yes, it will.

18 Q. Were Exhibits 1 through 6 prepared by
19 you or compiled at your direction?

20 A. Yes, they were.

21 MR. CARR: At this time, Mr. Stogner,
22 we move the admission of Texaco Exhibits 1
23 through 6.

24 EXAMINER STOGNER: Exhibits 1 through 6
25 will be admitted into evidence.

1 MR. CARR: That concludes my direct
2 examination of Mr. Hart.

3 EXAMINATION
4 BY EXAMINER STOGNER:

5 Q. Mr. Hart, now this is a total solution
6 gas-drive reservoir; right?

7 A. Yes, I think it is.

8 Q. But no initial gas cap, and you made
9 those assumptions, no water influx?

10 A. Right. And I did check the produced
11 GOR in 1962, and it indicated an initial produced
12 GOR of, I think, it was 4200. So it is
13 exhibiting classical solution gas-drive
14 characteristics, that is, start out with a lower
15 GOR and steadily increase and then it falls off
16 at some depletion stage.

17 Q. Of the seven producing wells presently
18 out there in the pool, what is the average
19 production rate at this time?

20 A. I don't have that information right
21 offhand, but --

22 Q. Do you know if they're classified as
23 stripper?

24 A. I think --- I'm pretty sure that, yes,
25 all of them except for our new well are producing

1 under ten barrels of oil per day.

2 Q. And your new well, that being -- which
3 new well?

4 A. It's MB Weir B No. 14. It's located in
5 unit letter "N" of Section 12.

6 Q. And what's its production rate?

7 A. Currently it makes about 600 gas and 50
8 oil if it's opened up. I mean, we are restricted
9 by allowables there, but that's what it's capable
10 of making, which again agrees with the historical
11 GOR in the field. I think that calculates to
12 12,000.

13 Q. The rates on the No. 14 well, has that
14 been pretty indicative of what the older wells
15 first produced when they were brought on line?

16 A. I really don't know the answer to that
17 question. Those wells were completed, I think,
18 for the most part in the 1960s,
19 early-to-mid-1960s. And I don't have that
20 information with me. I can get it for you.

21 Q. Our production -- we do have production
22 figures here. I'll take note of that. I just
23 thought you might know offhand.

24 Has there been any -- of the 16 wells
25 that you show on your Exhibit No. 1, has there

1 been any other wells that were drilled but tested
2 dry, or are those showing up on this map also?

3 A. Those wells are not shown on this map.
4 The wells shown on this plat are our own wells
5 that have produced out of the Weir Blinebry.

6 Q. So it's safe to say that there have
7 been some other tests in here but not to any
8 commercial rates?

9 A. Well, I wouldn't necessarily say that.

10 Q. It looks somewhat spotty?

11 A. Well, this field is drilled up pretty
12 heavily. But these are only the Blinebry
13 producers. There are several wellbores out
14 there, but they're producing from different
15 zones.

16 But these, the indicated wells here,
17 are actually the ones that have only produced
18 from the Blinebry. It doesn't indicate previous
19 tests.

20 Q. Now, what I understand from solution
21 gas-drive reservoirs, one wants to keep the GOR,
22 the limit down not to produce the gas because
23 essentially that is your reservoir drive
24 mechanism. You wouldn't want to deplete that.

25 Isn't this going against the grain, or

1 has it been depleted so much already that that no
2 longer holds true?

3 A. Well, your understanding is correct.
4 Ideally you do want to keep the produced GOR as
5 low as possible. But from Exhibit No. 3, we've
6 had an existing 2,000-to-1 GOR limit since the
7 pool was established in 1962, but that hasn't
8 limited the actual produced GOR of these wells.

9 You can flip through here and see that
10 virtually every one of them have produced at some
11 time or another at a GOR of 10,000 or much
12 greater in some instances.

13 So what I'm saying is that the limiting
14 GOR really doesn't affect the produced GOR, as
15 evidenced by these curves and as the total field
16 curve, Exhibit No. 2.

17 Q. Because these wells are non-restrictive
18 anymore, the ones that show up on Exhibit No. 3?

19 A. You're right. I mean, that GOR limit
20 really applies only to a top allowable well, and
21 these are marginal wells. So they can -- there's
22 a margin in there that they can, even though the
23 GOR limit is 2,000, they can actually produce at
24 a higher GOR than that. And that's shown on the
25 production plots.

1 Q. What kind of stimulation did you have
2 on the No. 14?

3 A. I believe it was about 4- or 5,000
4 gallons of acid, and we put a pretty large frac
5 job on. It was, I'm estimating here, but I think
6 it was in the neighborhood of 60,000 gallons and
7 roughly 180-, 190,000 pounds of sand.

8 Q. Now, is that normal for these other
9 wells?

10 A. No, it's not. That's really the first
11 time that a large frac job was put on a well out
12 there. And really the reason that we haven't
13 done it on some other wells is virtually all of
14 the Texaco-operated Blinebry wells are slim-hole
15 completions, and that severely limits what you
16 can do in the way of stimulation.

17 Q. Why are they slim-hole?

18 A. Well, I wish I knew the answer to
19 that. I wish they weren't. It causes a lot of
20 headaches.

21 Q. And your No. 14, what do you have,
22 seven-inch casing?

23 A. I believe it's five-and-a-half.

24 Q. Five-and-a-half. Do you have the
25 production history on Exhibit No. 3 for your

1 wells No. 7 and 10 down there in that MB Weir B?

2 A. Yeah, the second and third page.

3 Q. The No. 14 well, when did it come on
4 line, and when was it stimulated?

5 A. It was actually completed in May of
6 this year, and I think they got it hooked up the
7 first of June 1991.

8 Q. Did you notice any effect on the No. 10
9 or 7 well? It looks like the No. 7 well is shut
10 in, though, isn't it?

11 A. Well, we had -- on that particular well
12 we had a downhole problem. There was some
13 communication between strings, and we just
14 brought that -- we got that repaired and just
15 brought that well back on line just a month or
16 two ago. And that's why it doesn't show up as
17 being produced here, although it is.

18 Q. How about on the No. 10 well, did you
19 see any effect from that frac job?

20 A. No, not that I can tell. You can see a
21 pretty large drop in gas production there in
22 about the middle 90. But again that was a year
23 before the MB Weir B No. 14 was ever drilled.

24 So I think that was probably some type
25 of operational problem again because it is a

1 slim-hole. And that well was on a plunger lift,
2 and there may have been some kind of problem
3 there as far as operationally.

4 Q. So have you had any communications
5 with Conoco or Sparger?

6 A. No, sir, we have not had direct
7 communication, although they did receive notice.

8 EXAMINER STOGNER: Is there any other
9 question of this witness?

10 MR. STOVALL: Not me.

11 EXAMINER STOGNER: If not, Mr. Hart,
12 you may be excused.

13 Anything further, Mr. Carr?

14 MR. CARR: Nothing further, Mr.
15 Stogner.

16 EXAMINER STOGNER: Does anybody else
17 have anything further in Case No. 10431?

18 This case will be taken under
19 advisement.

20 (The proceedings were concluded.)


21

22

23

24

25

I do hereby certify that the foregoing is
a complete record of the proceedings in
the Examiner hearing of Case No. 10431,
heard by me on 19 December 1991.
, Examiner
Oil Conservation Division

1 CERTIFICATE OF REPORTER

2
3 STATE OF NEW MEXICO)
4 COUNTY OF SANTA FE) ss.
5

6 I, Debbie Vestal, Certified Shorthand
7 Reporter and Notary Public, HEREBY CERTIFY that
8 the foregoing transcript of proceedings before
9 the Oil Conservation Division was reported by me;
10 that I caused my notes to be transcribed under my
11 personal supervision; and that the foregoing is a
12 true and accurate record of the proceedings.

13 I FURTHER CERTIFY that I am not a
14 relative or employee of any of the parties or
15 attorneys involved in this matter and that I have
16 no personal interest in the final disposition of
17 this matter.

18 WITNESS MY HAND AND SEAL DECEMBER 28,
19 1991.
20
21

22
23 
24 DEBBIE VESTAL, RPR
25 NEW MEXICO CSR NO. 3