

1 NEW MEXICO OIL CONSERVATION DIVISION

2 STATE LAND OFFICE BUILDING

3 STATE OF NEW MEXICO

4 CASE NO. 10511

5
6 IN THE MATTER OF:7
8 The Application of Mitchell Energy
9 Corporation for an unorthodox gas
10 well location and for nonstandard
proration units, Lea County,
New Mexico.11
12
13
14 BEFORE:15
16 DAVID R. CATANACH

17 Hearing Examiner

18 State Land Office Building

19 July 23, 1992

20
21
22 REPORTED BY:23 DEBBIE VESTAL
24 Certified Shorthand Reporter
for the State of New Mexico25
ORIGINAL

A P P E A R A N C E S

FOR THE APPLICANT:

KELLAHIN, KELLAHIN & AUBREY

Post Office Box 2265

Santa Fe, New Mexico 87504-2265

BY: W. THOMAS KELLAHIN, ESQ.

I N D E X

Page Number

Appearances

2

WITNESSES FOR THE APPLICANT:

1. STEVEN J. SMITH

Examination by Mr. Kellahin

5

Examination by Examiner Catanach

20

2. TED GAWLOSKI

Examination by Mr. Kellahin

24

Examination by Examiner Catanach

35

3. CARL DAVID RICHARD

Examination by Mr. Kellahin

38

Examination by Examiner Catanach

45

Certificate of Reporter

49

E X H I B I T S

Page Identified

1		
2		
3		
4	Exhibit No. 1	6
5	Exhibit No. 2	7
6	Exhibit No. 3	18
7	Exhibit No. 4	18
8	Exhibit No. 5	18
9	Exhibit No. 6	6
10	Exhibit No. 7	28
11	Exhibit No. 8	29
12	Exhibit No. 9	30
13	Exhibit No. 10	30
14	Exhibit No. 11	31
15	Exhibit No. 12	32
16	Exhibit No. 13	38
17		
18		
19		
20		
21		
22		
23		
24		
25		

1 EXAMINER CATANACH: At this time we'll
2 Case 10511, Application of Mitchell Energy
3 Corporation for an unorthodox gas well location
4 and for nonstandard proration units, Lea County,
5 New Mexico.

6 Are there appearances in this case?

7 MR. KELLAHIN: Mr. Examiner, I'm Tom
8 Kellahin of the Santa Fe law firm of Kellahin,
9 Kellahin & Aubrey, appearing on behalf of the
10 applicant. And I have three witnesses to be
11 sworn.

12 EXAMINER CATANACH: Any other
13 appearances?

14 [The witnesses were duly sworn.]

15 MR. KELLAHIN: Mr. Examiner, I'd like
16 to call Mr. Steven J. Smith, who's a landman with
17 Mitchell, as our first witness.

18 STEVEN J. SMITH

19 Having been duly sworn upon his oath, was
20 examined and testified as follows:

21 EXAMINATION

22 BY MR. KELLAHIN:

23 Q. Mr. Smith, would you, please, state
24 your name and occupation?

25 A. My name is Steven J. Smith. I'm a

1 senior landman for Mitchell Energy Corporation in
2 the Midland, Texas, office.

3 Q. On prior occasions have you testified
4 before the Division as a landman?

5 A. Yes, I have.

6 Q. As part of your employment with
7 Mitchell, have you had made a study of the
8 ownership, the various spacing rules with regards
9 to spacing configurations for all the potential
10 zones your technical people say may be productive
11 at this location?

12 A. Yes, I have.

13 MR. KELLAHIN: We tender Mr. Smith as
14 an expert petroleum landman.

15 EXAMINER CATANACH: He is so qualified.

16 Q. (BY MR. KELLAHIN) Mr. Smith, let me
17 ask you to turn to the package of exhibits, and
18 let's select a couple of them by which to orient
19 the Examiner as to what Mitchell proposes to do.

20 If you'll take Exhibit 1, which is your
21 chronology sheet --

22 A. Right.

23 Q. -- and if you'll sift through the
24 exhibit packages, let's get down to the first
25 geologic display, which is No. 6, and simply use

1 that as a reference map for a moment.

2 Why don't we try to make it more
3 interesting and also pick up Exhibit No. 2, so
4 you'll be looking at three displays. Exhibit 1
5 is the chronology; Exhibit 2 is the color-coated
6 ownership map; and Exhibit No. 6 is going to show
7 the well locations.

8 All right. Let's start with the way
9 Section 18 looks now in terms of how it has been
10 divided between what is known as the Phillips
11 operated Lusk Unit. When we look at Section 18,
12 tell us how the section is divided in relation to
13 that unit.

14 A. Section 18, the south half and the
15 southeast-northwest quarter are all part of the
16 Lusk Deep Unit, which is operated by Phillips.
17 This agreement was entered into in 1959 and
18 unitized all intervals below 4500 feet.

19 Q. When we look at the balance of the
20 acreage that on Exhibit 2 within Section 18 is
21 shaded in yellow, what does that represent?

22 A. That acreage is owned by Mitchell
23 Energy Corporation 100 percent. It's a federal
24 lease.

25 Q. Mitchell is attempting to develop that

1 acreage?

2 A. Yes, we are.

3 Q. And how do you propose to do that?

4 A. We are seeking approval of our proposed
5 location at Crazy Horse Federal 18 No. 1 well to
6 be located 1980 from the north and 660 from the
7 west in Section 18. That would make that
8 location an unorthodox location for the Atoka and
9 the Morrow Formations.

10 Q. Stop right there. For the Atoka what
11 is the appropriate spacing for a well to that
12 depth?

13 A. Three hundred and twenty acres.

14 Q. The orientation that's available to you
15 for the balance of the acreage in the section is
16 what for a spacing unit? What do you have left
17 in 18 to dedicate to the well?

18 A. Well, we have the northeast quarter,
19 the north half of the northwest quarter, and the
20 southwest-northwest quarter to dedicate that's
21 Mitchell acreage. The rest of it is currently
22 part of the unit.

23 Q. When we look at Atoka, standard spacing
24 is 320?

25 A. That's correct.

1 Q. You're seeking a nonstandard proration
2 unit?

3 A. Right, of 281.61 acres.

4 Q. Where does the odd number of acres come
5 from?

6 A. The western edge of Section 18 is all
7 lots. It's a correction section, and they're
8 oversized. They're not standard 40-acre
9 quarter-quarters. They're slightly larger.

10 Q. So for 320 Atoka gas spacing, what
11 would be a standard well location?

12 A. I believe it would be 1980-1980.

13 Q. Well, it could be 1980 from the in-line
14 of the 320 and 660 from a side boundary?

15 A. Right, that's correct.

16 Q. So your location is unorthodox as to
17 that reservoir?

18 A. Right.

19 Q. And your spacing unit is odd-sized for
20 that reservoir?

21 A. That's correct.

22 Q. When you go to the Morrow, how many
23 acres in this area do you need for a Morrow gas
24 dedication?

25 A. The pool rules for the Atoka in this

1 area -- or for the Morrow in this area is 640
2 acres.

3 Q. So you're also nonstandard as to
4 acreage?

5 A. Right.

6 Q. What acreage do you propose to dedicate
7 if the Morrow is productive?

8 A. Again the 281 acres, being the
9 northeast quarter of the north half of the
10 northwest in the southeast -- or the
11 southwest-northwest quarter.

12 Q. And then again your well location is
13 off-pattern because in the Lusk-Morrow you have
14 specific well locations that require the wells to
15 be on the interior 40-acre tracts of the 640?

16 A. That's correct.

17 Q. So you'll be too close to the western
18 boundary?

19 A. That's correct.

20 Q. All right. With regards to the
21 unorthodox location, have you provided notices to
22 the offset operators towards whom that well
23 location encroaches?

24 A. Yes, we have.

25 Q. And have you received any objection?

1 A. None.

2 Q. In fact, you've gotten waivers for most
3 of them, don't you?

4 A. Most all but one.

5 Q. All right. We've talked about the
6 Lusk-Atoka gas pool, the Lusk-Morrow gas pool.
7 Are there any other options that require the
8 attention of the Examiner as to formations for
9 spacing on location?

10 A. The Strawn Formation. We're asking for
11 a nonstandard unit for the Strawn.

12 Q. You're in the Lusk-Strawn oil pool?

13 A. That's correct.

14 Q. Spacing in that pool is what?

15 A. One hundred and sixty acres.

16 Q. Your well location is standard in that
17 pool for Strawn?

18 A. That's correct.

19 Q. Why are you seeking the nonstandard
20 proration unit in the Lusk-Strawn?

21 A. Well, we've attempted to secure
22 cooperative measures from the owner, Phillips
23 being the operator, in the southwest to northwest
24 and could not reach any mutually agreeable method
25 that was volunteered.

1 Q. We'll come back to the sequence of
2 development of the section in just a moment. But
3 picking up the section the way it now exists in
4 this configuration, as shown on Exhibit No. 2,
5 having been told by your technical people they
6 want the well located here as you propose --

7 A. Right.

8 Q. -- what then did you do on behalf of
9 Mitchell in trying to organize standard spacing
10 units so that you would have acreage to dedicate
11 to the wells?

12 A. Well, we quickly -- at first the well
13 was first proposed internally, and we did a check
14 of the acreage surrounding that would be
15 involved. And we determined quickly that the
16 balance of Section 18 not owned by Mitchell was
17 in the Lusk Unit operated by Phillips. And also
18 determined that the ownership was quite
19 complicated. This area has been in production
20 for a long time. It's been cut up to different
21 horizons and quite heavily burdened by overrides
22 and production payments.

23 We contacted Phillips to let them know
24 what our plans were to see if they were
25 interested in assisting, and they advised us that

1 they had no interest in this. But they were
2 willing to help us in any way they could.

3 Q. All right. Their position is they
4 would rather not have the equities disturbed in
5 the unit, give the balance of the section over to
6 you, and let you develop that as nonstandard
7 proration units?

8 A. That's correct.

9 Q. Let's go back now and look at the
10 chronology, Exhibit 1, and show the Examiner the
11 well locations, using Exhibit 6, of the wells,
12 and tell him how the development has occurred and
13 what spacing units have been assigned as the
14 section has been developed in these various
15 pools.

16 A. Okay. The first well drilled in
17 Section 18 was the Miller No. 1 well, located
18 1980 from the south line and 660 from the east
19 line. That well was drilled in 1939 by P. B.
20 English. It was drilled to a total depth of 4114
21 feet and was plugged and abandoned as a dry
22 hole.

23 The second well drilled in Section 18
24 was drilled after the formation of the Lusk Deep
25 Unit. It was the Lusk No. 2 unit well, located

1 660 from the south line and 1980 from the east
2 line. It was drilled to a total depth of 13,974
3 feet, completed March 31, 1961, as a dual
4 Morrow-Strawn producer.

5 It was allocated or given -- the
6 operator of the unit at that time made
7 application to the OCD for a nonstandard 360-acre
8 gas unit for the Morrow Formation and received
9 approval for that unit.

10 Q. All right. That nonstandard 360 in the
11 Morrow for the well in the southeast quarter of
12 the section, that 360 is what we've characterized
13 as the unit acreage in 18?

14 A. Correct.

15 Q. Okay.

16 A. The well also produced from the
17 Strawn. It produced until about 1972 and was
18 plugged and abandoned.

19 Q. And it had the southeast quarter 160
20 dedicated to the Strawn?

21 A. That's correct.

22 Q. Then what happened?

23 A. The next well drilled in Section 18 was
24 drilled in the northeast quarter by Shell. It
25 was the No. 1 "A" Middleton Federal, located 1980

1 from the north, 990 from the east. It was
2 drilled to a total depth of 12,515 feet,
3 completed in August of 1962.

4 They ran pipe, I guess, or tested the
5 Morrow, but the well was never produced from the
6 Morrow. It was completed uphole in the Strawn
7 and given a 160-acre standard spacing unit for
8 that well.

9 The next well drilled in Section 18 was
10 the No. 13 Lusk Deep "A" Unit A well, located
11 1980 from the south line and 1980 from the west
12 line, drilled by Phillips as operator of the Lusk
13 Unit. It was drilled to a total depth of 12,520
14 feet and completed in June of 1975 in the Morrow
15 Formation.

16 In early 1980 the Morrow depleted
17 and -- well, I need to back up. At the time the
18 well was completed in the Morrow, it was
19 dedicated to a 640-acre spacing unit. That was
20 accomplished by a communitization agreement that
21 brought in the north half of Section 18 to form
22 640 acres.

23 In early 1980 the well ceased to
24 produce from the Morrow. They recompleted in the
25 Atoka. That communitization agreement ceased to

1 exist. At the completion in the Atoka, the well
2 was dedicated to a 320-acre standard unit for the
3 Atoka.

4 And the last well drilled in Section 18
5 currently is the No. 1 Lusk Federal, located 1980
6 from the south line and 1980 from the east line,
7 drilled by Phillips as operator of the unit. It
8 was drilled to a total depth of 2820 feet and
9 drilled and abandoned in 1989 as a dry hole.

10 Q. All right. Let's turn to Exhibit 2.
11 If you'll identify and describe that exhibit and
12 the attachments to the first page.

13 A. Okay. The cover page is a color plat,
14 which represents the eight sections immediately
15 surrounding Section 18. The numbers correspond
16 to like ownership by tracts and colors.

17 Exhibit D represents the working
18 interest owners in the Atoka and the Morrow which
19 would be affected by an unorthodox location. The
20 numbers next to the names again correspond to the
21 tracts in which the entities own an interest.

22 Exhibit E attached are all of the
23 entities, working interest owners and operators
24 who would be affected by a nonstandard unit
25 application and are thus all the owners in the

1 surrounding eight sections around Section 18.
2 And again the numbers next to the names
3 correspond to tracts in which those entities own
4 an interest.

5 The Exhibit F is a list of all of the
6 owners in Section 18 which would be affected by
7 our applications. However, that sounds a little
8 deceptive. It's not just Section 18 or people
9 who own in Section 18 who are on this list.

10 Because of the unit and because the
11 participating area in the Strawn and the Morrow
12 encompass large portions of the unit, we opted to
13 include all of the working interest royalty and
14 burden owners in the entire unit in this
15 notification because they would have an interest
16 in the south half Section 18 by virtue of
17 unitization.

18 Q. Did Phillips assist you in providing a
19 tabulation of those owners that you could use for
20 notice purposes?

21 A. Yes, they did.

22 Q. As a result of those notifications,
23 have you received any objections to your
24 application?

25 A. None at all.

1 Q. Let's turn to Exhibit 3. This is
2 another land plat that you have provided.
3 Describe for us the information you have depicted
4 on this display.

5 A. Okay. The acreage highlighted in
6 yellow, of course, is Mitchell's acreage, which
7 is owned 100 percent by Mitchell. The orange
8 outline on the plat is the outline of the current
9 boundary of the Lusk Deep Unit. The unit has
10 contracted to its participating areas. It
11 also -- the orange boundary also happens to be
12 the Strawn participating area boundary.

13 The purple outline within the orange is
14 the Morrow participating area boundary. And the
15 green outline is the current Atoka participating
16 area boundary.

17 Q. Okay. Let's turn now to Exhibit No.
18 4. Would you identify and describe that exhibit?

19 A. That is the certificate of mailing that
20 we prepared as evidence that we sent notice,
21 timely notice to all of the parties affected by
22 our applications.

23 Q. Okay. And then would you identify and
24 describe Exhibit No. 5?

25 A. These are copies of the waivers and

1 certified receipt notices of all of the waivers
2 we sent to the entities affected by our
3 unorthodox location application and also the
4 nonstandard unit.

5 We did not send them to all entities.
6 We opted to send them to those people who we felt
7 were most adversely affected and would likely
8 have a complaint.

9 Q. From a landman's perspective, Mr.
10 Smith, does Mitchell's proposed solution here,
11 based upon the existing configuration of spacing
12 units that already apply to Section 18, represent
13 the optimum solution for Mitchell in order to
14 develop its acreage that remains in Section 18?

15 A. Yes, I do. Again we feel like people
16 in the balance of Section 18 that are to be
17 excluded by the nonstandard units are currently
18 in a participating area and receiving benefits
19 from that. It's not that they're being excluded
20 from participation in production in the area.
21 They are currently receiving revenues for
22 production from the unit.

23 And again we contacted Phillips
24 initially as the unit operator to seek their
25 assistance, and they opted to give us a waiver

1 and not to participate in the unit. And we've
2 notified all the people who were adversely
3 affected, and they've elected not to appear to
4 complain.

5 Q. Having the Mitchell technical people
6 propose to you this particular location, do you
7 see any other way that you can form the spacing
8 units in order to put the Mitchell acreage into
9 production?

10 A. No, I don't.

11 MR. KELLAHIN: Mr. Examiner, we move
12 the introduction of Mitchell's Exhibits 1 through
13 5.

14 EXAMINER CATANACH: Exhibits 1 through
15 5 will be admitted as evidence.

16 EXAMINATION

17 BY EXAMINER CATANACH:

18 Q. Mr. Smith, did Phillips give you any
19 reason why they didn't want to participate?

20 A. Well, we initially contacted a Mr.
21 Frank Hulls in their office, Odessa office. And
22 his initial response was that they had tried to
23 put something like this together and had
24 failed and couldn't get it past their
25 management.

1 And they felt that our proposed
2 operations would not get any better review by
3 their management, and therefore they felt it was
4 a waste of time.

5 Q. Did Mitchell ever consider compulsory
6 pooling?

7 A. Well, we considered it, but we felt
8 that going this route, if we could secure
9 cooperation of people, notify everyone, and
10 obtain waivers from those they most adversely
11 affected, it was the most expeditious method to
12 go about this. And as long as we gave everyone
13 the opportunity to see what we proposed and take
14 a position on it, that was the most expeditious
15 method.

16 Q. The interest owners in the south half
17 of Section 18 or that acreage in the unit in
18 Section 18 have already actually participated in
19 production from the Morrow?

20 A. Several times. Twice as a matter of
21 fact.

22 Q. All of the wells in Section 18 are
23 currently plugged and abandoned?

24 A. No. The well in the
25 northeast-southwest quarter is currently

1 producing from the Atoka. And I believe that is
2 the only currently productive well in Section 18.

3 Q. That being the -- is that the 13 well?

4 A. I believe it is.

5 Q. That's currently producing from the
6 Atoka?

7 A. That's correct.

8 Q. That probably has a south half
9 dedication?

10 A. It does.

11 Q. Now, you said you had waivers for the
12 unorthodox location from all offset operators
13 except one?

14 A. Yes. We didn't anticipate 640-acre
15 spacing out here, so when we initially did this,
16 we didn't pick up that Fina Oil & Chemical had an
17 interest in a tract in Section 13 to the west.
18 We did, however, send them notice of the hearing
19 in a timely fashion.

20 And I spoke with their land manager
21 last week, and they expressed at that time that
22 they were not going to complain or file any
23 complaint against this application.

24 Q. So you do have a waiver from all the
25 parties on Exhibit No. 2 except for Fina -- on

1 the first page of Exhibit No. 2?

2 A. Exhibit D, we have waivers from all of
3 those, and we've also sent waivers to the largest
4 owner in the production payment in the Lusk
5 Unit. We did not receive a signed waiver back
6 from him, but we did send him a copy of the
7 request for waiver.

8 Q. The most affected interest owners would
9 be in Section 13; that's the acreage that you're
10 encroaching on. And you do have a waiver from
11 BTA and from Phillips?

12 A. That's correct.

13 Q. Was there any concern expressed by any
14 parties that you notified over the formation of
15 the nonstandard proration units?

16 A. None.

17 Q. The waiver executed by Phillips, was
18 that just on behalf of the location or did that
19 include the units as well?

20 A. It included the units as well. The
21 waiver -- the request for waiver described our
22 full intent.

23 Q. And you did notify all of the interest
24 owners within the Lusk Deep Unit?

25 A. To the best of our knowledge. That

1 unit has a very, very complicated ownership. And
2 we decided the only way to get accurate ownership
3 was to go to the operators and seek their
4 assistance. They agreed and provided us with a
5 list of the owners. And that's what we -- the
6 basis of our mailing was from.

7 EXAMINER CATANACH: That's all I have
8 of the witness.

9 MR. KELLAHIN: I'd like to call Mr. Ted
10 Gawloski. He's a geologist.

11 **TED GAWLOSKI**

12 Having been duly sworn upon his oath, was
13 examined and testified as follows:

14 EXAMINATION

15 BY MR. KELLAHIN:

16 Q. Would you, please, state your name and
17 occupation?

18 A. My name is Ted Gawloski. I'm a staff
19 geologist for Mitchell Energy in Midland, Texas.

20 Q. Mr. Gawloski, on prior occasions have
21 you been qualified as an expert before the
22 Division in the field of petroleum geology?

23 A. Yes, I have.

24 Q. Have you made a geologic study and
25 interpretation for what we've characterized as

1 the Crazy Horse prospect in Lea County, New
2 Mexico?

3 A. Yes, I have.

4 Q. Based upon that study have you come to
5 certain geologic conclusions about the
6 appropriate well location for the Crazy Horse
7 well?

8 A. Yes, I have.

9 MR. KELLAHIN: We tender Mr. Gawloski
10 as an expert petroleum geologist.

11 EXAMINER CATANACH: He is so qualified.

12 Q. (BY MR. KELLAHIN) Let me have you pick
13 up with Exhibit No. 6, as your first display, and
14 using this condition as a reference map, describe
15 for us your concept as a geologist as you try to
16 pick the optimum location in this vicinity to
17 intersect all these multiple reservoirs and give
18 Mitchell a chance to develop its acreage in the
19 remaining portion of Section 18 that's not in the
20 unit.

21 A. Okay. The No. 6, Exhibit No. 6 is a
22 production plat that shows all the different
23 producing horizons in the area. And as a
24 geologist at Mitchell Energy in this particular
25 portion of Lea County -- and we try to maximize

1 our locations based upon several horizons.

2 And what I have done in here to create
3 this prospect was map several of the horizons,
4 primarily the deep horizons, the Strawn, Atoka,
5 and Morrow, and use them to determine the best
6 location here in Section 18.

7 Q. Before we look at the specific
8 displays, give us the conclusions about the
9 Strawn. That would be the upper zone that has
10 the greatest potential, although there may be
11 others. Let's start with the Strawn. What are
12 the key geologic points that caused you to
13 believe that this is the best location for the
14 Strawn?

15 A. The Strawn out here is a carbonate reef
16 that produces out of porosity pods within the
17 middle portion of the Strawn. And there's an
18 effective limit to the northern part of one of
19 these pods in Section 18. There's two wells in
20 the southern part of Section 7 that essentially
21 were drilled deep to test the Strawn and did not
22 encounter any pay at all.

23 So the Strawn is -- essentially
24 porosity is pinching out as you go to the
25 northern portions of Section 18.

1 Q. When you investigate the Atoka
2 potential, as a geologist, what were the factors
3 that caused you to reach your conclusion about
4 this location being the optimum one for the
5 Atoka?

6 A. I assembled the logs and looked at all
7 the Atoka section. The Atoka section -- the sand
8 that produces in the Phillips well is limited in
9 scope. And it just essentially extends across
10 the northwest portions of Section 18. And it's
11 only -- matter of fact, it's only in a couple of
12 wells that are out there.

13 Q. Describe for us the geologic
14 conclusions that support the Morrow location.

15 A. I have mapped two -- I split the Morrow
16 into two separate horizons, the Morrow B, which
17 is the upper producing group of sands, and the
18 Morrow C, which is the lower producing group of
19 sands.

20 The two isopachs actually coincide,
21 both showing preferred northwest-southeast
22 direction of thickness trends. And the maximum
23 location, maximum spot of sand occurrence was
24 again where our proposed location is.

25 Q. Based upon that study, what is your

1 ultimate conclusion about this location?

2 A. That the orthodox location as
3 petitioned here, 1980 from the north, 660 from
4 the west, is the most optimum location for all
5 three of those horizons, and it would benefit us
6 to maximize our potential for all three of those
7 horizons.

8 Q. Are there other unorthodox locations in
9 this area for any of the reservoirs?

10 A. You can refer to on Exhibit 6 the well
11 in the southwest-southwest of Section 7. Pan Am
12 No. 8 Greewood was a Morrow test. And it is 660
13 from the south and west lines, which would make
14 that an unorthodox location.

15 Q. Let's turn now to Exhibit No. 7 and
16 have you identify and describe that exhibit.

17 A. The Exhibit 7 is an isopach of the
18 Lower Morrow, what we would call the Morrow C in
19 this area. And it shows a preferred sand
20 thickness trend going from the northwest to
21 southeast.

22 And you can see that the sand by -- the
23 sands thin to the northeast portion of Section
24 18. The maximum thickness that we can encounter
25 in our acreage in Section 18 is where our

1 proposed location is.

2 Q. Does Middleton 1 "A" well in the
3 southeast of the northeast of 18, does that
4 condemn that acreage?

5 A. No, sir, it doesn't. They did
6 encounter some sand in the Morrow. As you can
7 see, there is a production dot on there. That is
8 put on there because the scout ticket showed that
9 the well was actually potentialed out of the
10 Morrow. Perforations were in both the B and C.
11 However, they did not produce the gas, or there's
12 no record of any gas production out of that zone
13 for whatever reason.

14 The test was not a very good one. It
15 was about 600 Mcf a day. And they may not have
16 deemed it economic to do it at the time. And
17 they went uphole and completed out of the Strawn
18 Formation.

19 Q. Let's turn now to Exhibit No. 8. Would
20 you identify and describe that display?

21 A. That's an isopach of the Morrow B zones
22 again showing a preferred orientation from the
23 northwest to the southeast. And again shows the
24 best location within our acreage in Section 18 is
25 our unorthodox location. Again the color coating

1 is the producers out of that particular horizon.

2 Q. Now, let's turn to the Atoka. Would
3 you identify and describe Exhibit 9?

4 A. The Atoka is a sand that produces in
5 the middle part of the Atoka Formation that
6 Phillips recompleted to this particular zone. It
7 is very limited in its extent. You can see it in
8 a few of the wells to the west.

9 And again because of that the two wells
10 in section -- to the west have 409 feet in
11 there. And those are the only other wells that
12 essentially have any of the sands so that the
13 orientation is essentially northwest-southeast.
14 And again the best location on our acreage in
15 Section 18 is our proposed location.

16 Q. All right. Let's go up to the Strawn
17 and have you identify and describe Exhibit 10.

18 A. Exhibit 10 is a structure map that was
19 created on the top of the Strawn Formation.
20 Again there's an abundance of well control out
21 here. And it shows essentially a north to south
22 trending structural ridge through here with a
23 possible little closure in the northwest portion
24 of Section 18.

25 It does show that we can get up-dip to

1 both the Phillips well, the 13-A and in the south
2 half of Section 18, and also up-dip to the
3 Tenneco well, which I've highlighted on the
4 cross-section over there to the west in Section
5 13 the HJ No. 1.

6 Q. Why have you not proposed, at least for
7 the Strawn, that the location be moved farther to
8 the north and continue to gain structural
9 position?

10 A. Well, we need to refer to the next
11 exhibit for that.

12 Q. Exhibit No. 11?

13 A. Exhibit No. 11 is the isopach of that
14 Strawn reef using the porosity cutoff of about 4
15 percent, which is effective for pay in here. As
16 you move farther to north, you get out of the
17 porosity that's developed within the Strawn.

18 It makes mention of the two wells in
19 Section 7. They encountered no productive
20 interval within that Strawn reef. And therefore
21 you're at an effective limit of production
22 there. So the farther north you move in Section
23 18, the riskier that gets for the Strawn.

24 Q. In the absence of approval of this
25 location, what option does Mitchell have?

1 A. Well, based upon the geology I've done,
2 this is the best location that we could use to
3 drill the well. And forced to move it too far to
4 the north or to the east, we may not eventually
5 even drill the well down to the deeper horizons.

6 Q. Will approval of this application give
7 Mitchell the opportunity to test for and develop
8 hydrocarbons that might not otherwise be
9 developed and produced?

10 A. Yes, that's correct.

11 Q. Let's turn to the structure map, which
12 is the last of your displays. It's Exhibit 12?

13 A. The cross-section?

14 Q. I'm sorry. The cross-section.
15 Summarize for us the structural cross-section.

16 A. This is a structural cross-section that
17 was used in conjunction with exhibit -- the
18 structure map, Exhibit No. 11 -- I'm sorry.

19 Q. 10.

20 A. Exhibit No. 10, the Strawn structure
21 map. And it is used in conjunction with that,
22 with the geologic picks that were made in here.
23 What this exhibit essentially does is visually
24 represent the potential pay zones from the Strawn
25 down through the Lower Morrow and where our

1 proposed location is and why we feel that this
2 location is the most optimum.

3 Starting from the bottom, the Morrow C
4 in the Tenneco well, they have very well
5 developed sands in the Lower Morrow, the Morrow
6 C, that were tested in the Phillips well off to
7 the east of us. However, that well made
8 approximately 130 million cubic feet of gas and
9 eventually watered out, made about 30,000 barrels
10 of water.

11 The Tenneco well did not test this
12 zone. However, looking at the resistivities on
13 the logs here, it appears that they probably
14 thought it was wet and did not test it. We're
15 going to be significantly up-dip to the Tenneco
16 well that has real good development in there and
17 a little but up-dip to the Phillips well that
18 already had gas and some water with it. So we
19 feel that's an excellent target to take the well
20 down this far.

21 The next horizon up is our Morrow B.
22 And, as you can see in the Tenneco well off to
23 the west, there's numerous sand leases in here
24 that have been developed. They have perforated
25 that zone in 1981, and the well has cum'd almost

1 a Bcf of gas and is still producing approximately
2 200 Mcf a day.

3 The Phillips well, they came over here
4 and tried a recompletion. They made a little bit
5 of water, but the well is -- the zones appear to
6 have a low permeability, so they never were able
7 to establish production.

8 We feel that we can get some of the
9 benefit of some of the sands that are within this
10 Tenneco well in a trapping position over here in
11 our location.

12 As you move up, you get in the Phillips
13 well. In between the pink and the top of the
14 Atoka and top of the Morrow, there's a sand there
15 that took perforation. That is the Atoka pay
16 sand that has been developed out in this area
17 that Phillips has produced, shown by the
18 perforations here. They've made approximately
19 half a Bcf out of that zone, and it's producing
20 very little right now.

21 The sand is developed over here in the
22 Tenneco well. They have not tested it yet.
23 They're still down in the Lower Morrow. It is
24 probably on the fringes of what would be a
25 productive zone there.

1 But we also feel we're going to be
2 gaining some structural position to the Phillips
3 well and be able to get some hydrocarbons out of
4 that particular zone as well.

5 The last zone up here on the top is our
6 Strawn reef, which is very well developed in the
7 Phillips well, has good porosity development.
8 And we feel it has some potential pay in there.
9 And if we do gain some structural position as
10 anticipated, that would also be an excellent
11 target in that area as well.

12 MR. KELLAHIN: That concludes my
13 examination of Mr. Gawloski. We move the
14 introduction of his Exhibits 6 through 12.

15 EXAMINER CATANACH: Exhibits 6 through
16 12 will be admitted as evidence.

17 EXAMINATION

18 BY EXAMINER CATANACH:

19 Q. Mr. Gawloski, is there a zone that you
20 consider the primary target in this well?

21 A. We consider probably the Morrow the
22 primary target. Both sections within the Morrow,
23 the B and C, as the primary targets in here.

24 Q. The Morrow well that was drilled and
25 produced in the south half of Section 18, it's

1 your opinion it did not recover all the Morrow
2 reserves in Section 18?

3 A. The well in the south part of 18, the
4 southernmost well, I believe you're referring to,
5 the one 1980 from the east and 660 from the
6 south? There's two Morrow wells in the south
7 half of 18.

8 Q. Okay. Both of them.

9 A. Okay. The Morrow well, the
10 southernmost Morrow well recovered approximately
11 3 Bcf out of the Morrow, out of the Morrow C, and
12 did not produce anything out of the Morrow B.
13 The Phillips well just encountered a small amount
14 of gas out of the Morrow C. And the Morrow B has
15 not been tested in Section 18 except in that well
16 in the northeast quarter, which they never
17 produced the gas from.

18 And I still think that the gas from the
19 wells in the south did not get all of the gas out
20 of Section 18 in my opinion.

21 Q. Did you just utilize well control to
22 construct your isopachs and structure maps?

23 A. Yes, I did.

24 Q. As I understand it, the reason for the
25 unorthodox location in the Strawn is to get into

1 the porosity within the pod?

2 A. Within the Strawn reef, that's correct.

3 Q. And you feel you have to move south to
4 accomplish that?

5 A. Yes, sir. As you get -- we have
6 definitive zeros up there with the wells in 7.
7 It could even extend farther south than that. We
8 have the Phillips well essentially goes up to
9 zero. And the farther north we move, we feel
10 that the risk increases greatly.

11 Q. Does structure have any significance in
12 that proposed location for the Strawn?

13 A. For the Strawn? It's not as beneficial
14 in the Strawn. You can see there's several wells
15 in the Strawn that are off the structure down to
16 the southwest. The structure has more of an
17 implication on the Morrow horizons, especially
18 the Morrow C horizon.

19 Q. Again the unorthodox location for the
20 Atoka would be primarily based upon necessity of
21 encountering a thicker sand section with more
22 porosity?

23 A. That's correct.

24 Q. And essentially the same thing for the
25 Morrow B and C?

1 A. That's correct.

2 EXAMINER CATANACH: I don't have
3 anything further, Mr. Kellahin.

4 MR. KELLAHIN: I'd like to call my
5 petroleum engineer. He's done some drainage
6 calculations, Mr. Examiner, to answer some of
7 those later questions you just asked. His
8 exhibit package is marked as one exhibit number.
9 And you can find it in your folder as Exhibit No.
10 13.

11 CARL DAVID RICHARD

12 Having been duly sworn upon his oath, was
13 examined and testified as follows:

14 EXAMINATION

15 BY MR. KELLAHIN:

16 Q. Would you, please, state your name and
17 occupation?

18 A. My name is Carl David Richard. I'm a
19 senior petroleum engineer for Mitchell Energy.

20 Q. Mr. Richard, have you testified before
21 the Division on prior occasions as an engineer?

22 A. I have not.

23 Q. Summarize for us your education.

24 A. I have a bachelor of science degree in
25 electrical engineering technology, and I have a

1 bachelor of science degree in petroleum
2 engineering.

3 Q. In what year and from what university?

4 A. Electrical engineering technology
5 degree was received from Nicholls State
6 University in 1979. The petroleum engineering
7 degree was received from the University of
8 Southwest Louisiana in 1984.

9 Q. Summarize for us your employment as a
10 petroleum engineer.

11 A. In 1979 I was employed by Shell Oil as
12 a lug analyst in the petrophysical division.
13 Area of responsibility was primarily South
14 Texas. In going back to school to get the second
15 degree, I worked part-time for Pennzoil as a
16 production assistant.

17 And after receiving a degree in
18 petroleum engineering in 1984, I became employed
19 by Mitchell as a petrophysical engineer. In 1987
20 I was assigned to the reservoir engineering
21 department and have continued in that capacity
22 since, primarily West Texas.

23 Q. As part of your duties as a reservoir
24 engineer, do you typically make engineering
25 calculations to assist the geologist in picking

1 the optimum locations for drilling wells such as
2 the Crazy Horse well?

3 A. Yes, sir, I do.

4 Q. Have you done so in this case?

5 A. Yes, sir.

6 MR. KELLAHIN: We tender Mr. Richard as
7 an expert reservoir engineer.

8 EXAMINER CATANACH: Mr. Richard is so
9 qualified.

10 Q. (BY MR. KELLAHIN) Let me have you
11 turn to exhibit package, Exhibit No. 13. Does
12 this represent your work product?

13 A. Yes, sir, it does.

14 Q. In looking at what Mr. Gawloski
15 proposes as the optimum location, have you
16 investigated the reservoir characteristics and
17 the production information achievable for the
18 three major zones?

19 A. Yes, sir, I have.

20 Q. Have you been able to determine whether
21 or not his proposed locations are going to be
22 located in each of these reservoirs in areas that
23 are not otherwise being drained and developed by
24 existing wells?

25 A. Yes, I have.

1 Q. Let's turn to the display and have you
2 summarize for us the cover sheet.

3 A. Sure.

4 Q. Tell us what that shows.

5 A. What I've done, prior to economic
6 analysis of this proposed location, assembled the
7 petrophysical parameters and cumulative
8 production for wells in Section 18. As noted
9 here, there are three wells. What I've done is
10 broken it out into the three productive
11 horizons.

12 The petrophysical parameters were
13 worked up under my direction. And what I've
14 basically done is used these parameters to
15 compile the remaining exhibits that we'll be
16 discussing.

17 Q. All right. Let's turn and look at the
18 Strawn. What calculations did you use to
19 estimate drainage areas or areas of depletion
20 from existing wells when you looked at the Strawn
21 reservoir?

22 A. In looking at the Strawn, I took the
23 "cum" production, the area of the largest
24 circle. The Lusk Deep Unit No. 2 had a
25 cumulative production of 647,000 barrels and 3

1 Bcf of gas.

2 Using the petrophysical parameters that
3 were determined, I basically came up with a
4 drainage volume. And based on that drainage
5 volume, came up with a drainage area using the
6 thickness that we saw in that particular
7 wellbore.

8 What these drainage circles represent
9 are probably the minimum drainage area that we
10 would expect from the drained volume of that
11 reservoir.

12 Q. When you look at the theoretical
13 drainage circles for the two wells in 18 for the
14 Strawn reservoir, have you also looked at Mr.
15 Gawloski's isopach map of the Strawn to see how
16 well that may fit within the actual drainage
17 patterns occurring in the reservoir?

18 A. Yes, sir. Based on his Strawn isopach,
19 we feel that the northwest quarter would probably
20 be the least portion of the Strawn reservoir to
21 be possibly depleted by Strawn production in this
22 section.

23 Q. Okay. Can you confirm then that his
24 proposed location in the northwest quarter of 18
25 is the optimum location in which to drill for

1 Strawn reserves?

2 A. Yes, sir.

3 Q. The effect of the Lusk Deep No. 2 well
4 on Strawn is such that it has not fully depleted
5 and developed the northwest quarter of 18?

6 A. That's correct.

7 Q. All right. Let's turn to the next
8 reservoir. Let's look at the Atoka. Is the
9 methodology the same as it was for the Strawn?

10 A. Yes, sir, it is.

11 Q. And what is your conclusion?

12 A. I feel that the Phillips 13-A well is
13 basically, as reported by Mr. Gawloski, I think,
14 that it was still producing, but according to my
15 records, the well has not produced, I guess, in
16 the last four months and had produced three
17 months prior to that but had not produced the
18 previous seven months.

19 So the volumes that I think that well
20 is producing are pretty low. And I would venture
21 to guess that the well is pretty close to its
22 economic limit. The last reported production in
23 February of -- let me see -- February of 92 was
24 about 3 -- let's see, about 600 million cubic
25 feet of gas for a month.

1 Q. Have you also, as you did with the
2 prior reservoir, compared the Atoka mapping that
3 Mr. Gawloski did to your drainage circle to see
4 if this circle represented an accurate
5 representation of the drainage pattern?

6 A. Yes, sir.

7 Q. The Atoka is 320-gas spacing in this
8 area?

9 A. Yes, sir it is.

10 Q. And if the unorthodox well location for
11 Mitchell is approved, are you crowding your wells
12 too close together in this section?

13 A. No, sir. I don't think we'll be in a
14 competitive situation based on the production
15 information that I've seen.

16 Q. All right. So you would be putting
17 yourself in the Atoka reservoir into an area that
18 would support a well at this location independent
19 of other wells?

20 A. Yes, sir.

21 Q. Let's turn now to the Morrow. And you
22 specifically looked at the Morrow C. And here
23 we're on 640-gas spacing?

24 A. Yes, sir.

25 Q. Is the methodology the same?

1 A. Yes, sir, it is.

2 Q. And did you confirm your drainage
3 circle with Mr. Gawloski's isopachs of the
4 Morrow?

5 A. Yes, sir.

6 Q. What did you conclude?

7 A. I would say that the northern half of
8 Section 18 has not been developed adequately with
9 the 640-acre spacing.

10 Q. Can you conclude that the Mitchell
11 location for the Morrow is necessary in order to
12 recover Morrow gas reserves that might not
13 otherwise be recovered by any other well?

14 A. Yes, sir.

15 Q. In the absence of that well, the
16 interest owners in the Mitchell acreage would not
17 share in production?

18 A. That's correct.

19 MR. KELLAHIN: That concludes my
20 examination of Mr. Richard. We move the
21 introduction of his Exhibit No. 13.

22 EXAMINER CATANACH: Exhibit No. 13 will
23 be admitted as evidence.

24 EXAMINATION

25 BY EXAMINER CATANACH:

1 Q. Mr. Richard, how did you obtain the
2 parameters? Used the porosity, water saturation,
3 et cetera, for your calculations?

4 A. We have a petrophysical group within
5 Mitchell that do this on a routine basis at my
6 request.

7 Q. Is that basically obtained from log?

8 A. Yes, sir, it is.

9 Q. Do you have an opinion as to whether or
10 not a well drilled in the Morrow in this area
11 will actually drain 640 acres?

12 A. Based on what I see out of the Lusk
13 Deep Unit No. 2 having cum'd over 3.2 Bcf, I
14 don't think we could possibly drain 640 acres
15 with one well.

16 Q. That's just based on that one
17 particular well, though --

18 A. Right.

19 Q. -- that opinion?

20 A. Right.

21 Q. It is your opinion that a significant
22 portion of the south half of Section 18 has been
23 drained in the Morrow and in the Strawn?

24 A. Yes, sir.

25 Q. According to your information the

1 quarter section, the southeast of the northwest,
2 Section 18, has not been significantly drained in
3 the Strawn or in the Morrow?

4 A. That's correct.

5 Q. Do you have an opinion as to whether
6 your proposed well will drain that acreage?

7 A. Based on the geological mapping, I
8 think we probably will drain that acreage if the
9 reservoir quality is present.

10 Q. Have you calculated reserves that might
11 be recovered in the north half of Section 18 by
12 your proposed well?

13 A. I have a statistical average that I
14 used to justify this well economically. That was
15 1.9 Bcf.

16 Q. From all three reservoirs?

17 A. No. Based on the Morrow only.

18 Q. On the Morrow?

19 A. Yes, sir.

20 Q. Did you do that for the other two
21 reservoirs?

22 A. No, sir, I didn't.

23 Q. What is that based on?

24 A. I've got a 400-well sample in this
25 area. We were sort of exploring for Morrow and

1 playing statistical. It's Morrow statistical
2 play in doing the economic analysis. This work
3 was done prior to proposing or really getting
4 this well approved with management. I did show
5 or proved to management that there was sufficient
6 reserves remaining in the north half of Section
7 18 to justify this well.

8 EXAMINER CATANACH: I believe that's
9 all I have of the witness.

10 MR. KELLAHIN: That concludes our
11 presentation, Mr. Examiner.

12 EXAMINER CATANACH: There being nothing
13 further, Case 10511 will be taken under
14 advisement.

15 [And the proceedings were concluded.]
16
17
18

19 I do hereby certify that the foregoing is
20 a complete record of the proceedings in
the Examiner hearing of Case No. 10511,
heard by me on July 23 1992.

21 David R. Catanch, Examiner
22 Oil Conservation Division
23
24
25


CERTIFICATE OF REPORTER

STATE OF NEW MEXICO)
) ss.
COUNTY OF SANTA FE)

I, Debbie Vestal, Certified Shorthand Reporter and Notary Public, HEREBY CERTIFY that the foregoing transcript of proceedings before the Oil Conservation Division was reported by me; that I caused my notes to be transcribed under my personal supervision; and that the foregoing is a true and accurate record of the proceedings.

I FURTHER CERTIFY that I am not a relative or employee of any of the parties or attorneys involved in this matter and that I have no personal interest in the final disposition of this matter.

WITNESS MY HAND AND SEAL JULY 28, 1992.



DEBBIE VESTAL, RPR
NEW MEXICO CSR NO. 3