

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

NEW MEXICO OIL CONSERVATION DIVISION

STATE OF NEW MEXICO

CASE NO. 10519

IN THE MATTER OF:

The Application of Yates Petroleum
Corporation for an unorthodox location,
Eddy County, New Mexico.

BEFORE:

DAVID R. CATANACH

Hearing Examiner

State Land Office Building

August 20, 1992

REPORTED BY:

DEBBIE VESTAL
Certified Shorthand Reporter
for the State of New Mexico

ORIGINAL

A P P E A R A N C E S

FOR THE NEW MEXICO OIL CONSERVATION DIVISION:

ROBERT G. STOVALL, ESQ.

General Counsel
State Land Office Building
Santa Fe, New Mexico 87504

FOR THE APPLICANT:

LOSEE, CARSON, HAAS & CARROLL, P.A.
Post Office Drawer 239
Artesia, New Mexico 88211-0239

BY: **ERNEST L. CARROLL, ESQ.**

FOR CONOCO, INC.:

KELLAHIN & KELLAHIN
Post Office Box 2265
Santa Fe, New Mexico 87504-2265
BY: **W. THOMAS KELLAHIN, ESQ.**

I N D E X

		Page Number
1		
2		
3	APPEARANCES:	2
4	WITNESSES:	
5	1. <u>MIKE BURCH</u>	
6	Examination by Mr. Carroll	6
7	Examination by Mr. Kellahin	14
8	Examination by Examiner Catanach	15
9		
10	2. <u>D'NESE FLY</u>	
11	Examination by Mr. Carroll	16, 36
12	Examination by Mr. Kellahin	26
13	Examination by Examiner Catanach	37
14		
15	3. <u>PINSON McWHORTER</u>	
16	Examination by Mr. Carroll	43, 62
17	Examination by Mr. Kellahin	55, 64
18	Examination by Examiner Catanach	64
19		
20	4. <u>BILL HARDIE</u>	
21	Examination by Mr. Kellahin	68
22	Examination by Mr. Carroll	83
23	Examination by Mr. Stovall	91
24	Examination by Examiner Catanach	94
25		

1	WITNESSES: (Continued)	PAGE
2	5. <u>MARK MAJCHER</u>	
3	Examination by Mr. Kellahin	96
4	Examination by Mr. Carroll	109, 126
5	Examination by Mr. Stovall	124
6		
7	Certificate of Reporter	132

E X H I B I T S

			Page Identified
9	<u>YATES EXHIBITS:</u>	<u>PAGE</u>	<u>PAGE</u>
	Exhibit No. 1	7	Exhibit No. 2 11
10	Exhibit No. 3	12	Exhibit No. 4 12
	Exhibit No. 5	46	Exhibit No. 6 46
11	Exhibit No. 7	46	Exhibit No. 8 46
	Exhibit No. 9	17	Exhibit No. 10 17
12	Exhibit No. 11	17	Exhibit No. 12 17
	Exhibit No. 13	17	
13			
	<u>CONOCO EXHIBITS:</u>	<u>PAGE</u>	<u>PAGE</u>
14	Exhibit No. 1	69	Exhibit No. 2 70
	Exhibit No. 3	76	Exhibit No. 4 98
15	Exhibit No. 5	79	Exhibit No. 6 98
	Exhibit No. 7	99	Exhibit No. 8 100
16	Exhibit No. 9	101	Exhibit No. 10 106

17
18
19
20
21
22
23
24
25

1 EXAMINER CATANACH: At this time we'll
2 call Case 10519.

3 MR. STOVALL: Application of Yates
4 Petroleum Corporation for an unorthodox location,
5 Eddy County, New Mexico.

6 EXAMINER CATANACH: Are there
7 appearances in this case?

8 MR. CARROLL: Yes, Mr. Examiner. I'm
9 Ernest Carroll of the Artesia law firm of Losee,
10 Carson, Haas & Carroll, and I'm here today
11 representing the applicant, Yates Petroleum
12 Corporation. And I will have three witnesses.

13 EXAMINER CATANACH: Are there other
14 appearances?

15 MR. KELLAHIN: Mr. Examiner, I'm Tom
16 Kellahin of the Santa Fe law firm of Kellahin &
17 Kellahin appearing on behalf of Conoco, Inc. And
18 I have two witnesses.

19 EXAMINER CATANACH: Any other
20 appearances?

21 Will the five witnesses, please, stand
22 and be sworn in.

23 [The witnesses were duly sworn.]

24 MR. CARROLL: May I proceed?

25 EXAMINER CATANACH: You may.

1 as an expert in the field of petroleum land
2 management.

3 EXAMINER CATANACH: Mr. Burch is so
4 qualified.

5 Q. (BY MR. CARROLL) Mr. Burch, would you
6 for the record briefly summarize what Yates'
7 application is for today?

8 A. Yes. In the case before the
9 Commission, Yates Petroleum seeks approval of an
10 unorthodox location 360 feet from the south line
11 and 2080 feet from the west line of Section 34,
12 Township 20 South, Range 24 East, in Eddy County,
13 New Mexico, in the undesignated South Dagger
14 Draw-Upper Pennsylvania Pool with the west half
15 of said Section 34 to be dedicated to a well
16 forming a standard 320-acre spacing and proration
17 unit for either oil or gas.

18 Q. Mr. Burch, have you prepared certain
19 exhibits today to aid in the presentation of this
20 case?

21 A. That's correct.

22 Q. Would you turn to your first exhibit,
23 Exhibit 1, and would you, please, identify that
24 exhibit for the record and then once it's
25 identified, please describe its pertinence to

1 this case.

2 A. Exhibit 1 is a plat with yellow
3 highlighted acreage that Yates Petroleum
4 Corporation owns. Also, as you'll note in the
5 west half of Section 34, solid yellow block
6 outlined in red with our proposed location as the
7 Diamond AKI Federal No. 1 location.

8 Also outlines in Section 35 a
9 highlighted area where Yates Petroleum
10 Corporation operates a well that owns
11 approximately -- that well is the Mojave AJY No.
12 1. Yates Petroleum operates that well along with
13 a partner, Conoco as a partner.

14 Q. Then, Mr. Burch, all of the acreage
15 that is colored in solid yellow, that belonged
16 100 percent to Yates Petroleum; is that correct?

17 A. That's correct.

18 Q. There are two or three tracts which are
19 outlined in yellow. Those tracts are at least
20 some percentage of ownership held by Yates, and
21 they are the operator of those tracts; is that
22 correct?

23 A. That is correct.

24 Q. And then you were just describing down
25 in Section 35, we do have -- or Yates Petroleum

1 does have a producing well in the same formation,
2 the Diamond AKI or L is targeted to go to; is
3 that correct?

4 A. That's correct.

5 Q. Now, the red -- the yellow line or
6 yellow block in the west half of Section 34 that
7 is outlined in red, is that the proration unit
8 with which we are concerned and is the subject of
9 this particular application?

10 A. That's correct.

11 Q. Now, down in the southeast corner of
12 that, there are actually two dots drawn. There
13 is in black an AK location, and it has a small
14 red line through it. Is that the actual location
15 that we are seeking to drill the well at the
16 present time?

17 A. No. That was our initial proposed
18 location at a legal location of 660 from the
19 south line and 1980 from the west line.

20 Q. So the actual location that we are
21 seeking to drill this particular well today is
22 the red dot that is even closer then to the
23 southeast corner of that west half of Section 34?

24 A. Yes. That red dot is representative of
25 the location that we seek to drill at the

1 location 360 feet from the south line and 2080
2 feet from the west line.

3 Q. Could you explain why Yates Petroleum
4 proposes or has had to move its location from the
5 orthodox location shown on this map to the
6 unorthodox location shown on Exhibit 1?

7 A. As I earlier stated we originally
8 sought this as a legal location and sought
9 application with the BLM through our APD
10 application. We were turned down by the BLM
11 because initially this proposed location fell
12 within a 100-year floodplain of the Box Canyon.

13 And they felt like with it being in the
14 100-year floodplain of the Box Canyon and also
15 the amount of cut and fill that would be required
16 to build location they couldn't approve our
17 original location request.

18 Q. Was there something else also
19 discovered at the time the location was being
20 examined by the federal authorities?

21 A. Well, as we started to apply for
22 approval of this location, there was also an
23 archeology inspection, and it was found to be an
24 archeological site on this original proposed
25 location.

1 Q. Exhibit 2 that has been prepared by
2 Yates Petroleum, could you describe what that is
3 and the relationship to the testimony you've just
4 given us?

5 A. Yes. Exhibit 2 is a letter from the
6 BLM, Mr. Rick Manus, outlining our attempts to
7 get our legal location as we first applied for.
8 We received notice there was on-site inspection
9 by our regulatory man, Mr. Ken Beardemphl. That
10 is who this letter is dated and addressed to.

11 And the BLM man, Barry Hunt, that is
12 the letter that was sent to us, indicating that
13 our original proposed location was in the Box
14 Canyon 100-year floodplain and also asking them
15 or requesting us to move our location to get out
16 of the floodplain.

17 Q. All right. So this June 12 of 1992
18 letter actually documents the problems that
19 you've just described in your earlier testimony?

20 A. That's right.

21 Q. Since the location was then moved by
22 Yates Petroleum and that application was made to
23 the BLM for approval of the unorthodox location,
24 which is the subject of our application today?

25 A. That's correct.

1 Q. And has that application for permit to
2 drill been granted?

3 A. It has.

4 Q. I ask you to turn to Exhibit 3, and
5 would you, please, describe what Exhibit 3 is?

6 A. Exhibit 3 is our application to drill
7 filed with the BLM, approved by the BLM on 8/11
8 of 92 by Mr. Manus, for our new location at the
9 360 south and 2080 from the west line.

10 Q. This is actually a copy of the approved
11 APD?

12 A. That's correct.

13 Q. For the Diamond AKI No. 1 well?

14 A. That's correct.

15 Q. I ask you to turn to Exhibit No. 4.
16 Could you describe what that is?

17 A. Exhibit No. 4 a certificate of mailing
18 in compliance with Rule 1207. It was prepared by
19 your law firm making notification of the required
20 -- to the offset operators for this unorthodox
21 location.

22 Q. And the only operator offsetting that
23 the rules would require us to give notice to was
24 Conoco; is that correct?

25 A. That's correct.

1 Q. And in fact that's by virtue of the
2 fact that they operate the east half of Section
3 34 and also the northwest quarter of that
4 nonstandard Section 35, which is just to the
5 south of our acreage?

6 A. No. They don't operate the nonstandard
7 section to the south in 35.

8 Q. All right.

9 A. Yates Petroleum does. They operate the
10 nonstandard Section 34 --

11 Q. Okay.

12 A. -- to the south.

13 Q. All right. And all of the acreage then
14 in the nonstandard 35 is owned in conjunction
15 with Conoco, and Yates is the operator?

16 A. That's correct.

17 MR. CARROLL: Mr. Examiner, I would
18 move --

19 Q. Well, first of all, let me ask the
20 question. Were the Exhibits 1 through 4, which
21 you've just testified to, Mr. Burch, prepared by
22 yourself or under your guidance and direction?

23 A. They were.

24 MR. CARROLL: Mr. Examiner, I would
25 move admission of Yates Petroleum Exhibits 1

1 through 4 at this time.

2 EXAMINER CATANACH: Exhibits 1 through
3 4 will be admitted as evidence.

4 MR. CARROLL: I would pass the witness.

5 EXAMINER CATANACH: Mr. Kellahin.

6 MR. KELLAHIN: Thank you, Mr. Examiner

7 EXAMINATION

8 BY MR. KELLAHIN:

9 Q. The federal lease in the west half of
10 Section 34, is that lease held by production by a
11 well anywhere within that leased acreage?

12 A. No, not within that leased acreage.

13 Q. What is the soonest you must drill a
14 well in the west half of 34 to avoid having that
15 lease expire?

16 A. Well, it not being held on that
17 proration unit, I would say that it wouldn't need
18 to be drilled immediately.

19 Q. I'm trying to understand your timing.
20 Is there an obligation on you to drill a well
21 within --

22 A. Not to my knowledge there is not. No.

23 Q. So within the period of time to process
24 this application, you don't have an expiring
25 lease that you have to deal with?

1 A. Not to my knowledge. No, sir, I don't.

2 Q. When we look in the spacing unit in 35
3 for the Mojave No. 1 well, you share that working
4 interest with Conoco?

5 A. That's correct.

6 Q. Do you recall the percentage split
7 between the two companies?

8 A. It's approximately 56 percent Conoco,
9 44 percent Yates.

10 Q. And then the east offset, that's 100
11 percent Conoco, and if you look at the adjoining
12 nonstandard section in the township to the south,
13 which is in 34, that's 100 percent Conoco?

14 A. Yes, sir.

15 MR. KELLAHIN: No further questions.

16 EXAMINER CATANACH: Just one, Mr.

17 Burch.

18 EXAMINATION

19 BY EXAMINER CATANACH:

20 Q. After your initially staked location,
21 was there any consideration given to moving
22 north, or is that due to geologic reasons that
23 you moved it south?

24 A. Well, after our consultation with
25 geology, it was recommended that it be moved to

1 where it was.

2 Q. Okay.

3 A. That's when we made application for
4 that location.

5 Q. Okay.

6 MR. CARROLL: Our geological witness
7 will specifically address that, Mr. Examiner.

8 EXAMINER CATANACH: Okay. Nothing
9 further. The witness may be excused.

10 MR. CARROLL: We call D'Nese Fly next.

11 **D'NESE FLY**

12 Having been duly sworn upon her oath, was
13 examined and testified as follows:

14 EXAMINATION

15 BY MR. CARROLL:

16 Q. Would you, please, state your name,
17 occupation, and by whom you're employed?

18 A. My name is D'Nese Fly. I'm a geologist
19 with Yates Petroleum in Artesia, New Mexico.

20 Q. Are you familiar with the application
21 that is presently being heard by the Examiner
22 known as Case No. 10519?

23 A. Yes, sir.

24 Q. And in fact you are the person who
25 actually performed the geological work for Yates

1 Petroleum with respect to that application?

2 A. Yes.

3 Q. Ms. Fly, have you had an occasion to
4 testify previously before the New Mexico Oil
5 Conservation Division in the field or with
6 respect to the field of petroleum geology?

7 A. Yes, I have.

8 Q. And have you had your credentials
9 accepted as an expert in that field?

10 A. Yes.

11 MR. CARROLL: Mr. Examiner, I would
12 tender Ms. Fly at this time as an expert in the
13 field of petroleum geology.

14 EXAMINER CATANACH: Ms. Fly is so
15 qualified.

16 Q. (BY MR. CARROLL) Ms. Fly, you have
17 prepared certain exhibits to aid in your
18 testimony today, have you not?

19 A. Yes, I have.

20 Q. The first exhibit that you prepared was
21 Exhibit No. 9, was it not?

22 A. Yes. That's just kind of a write-up I
23 did of my testimony.

24 Q. It's basically a summary of the
25 evidence that will come from your next exhibits,

1 10 through 13; is that correct?

2 A. Right.

3 MR. CARROLL: Mr. Examiner, I was out
4 of the office most of the last week or so, and we
5 have in her workup, there are references to
6 Exhibit A, B, C, and D. Those are synonymous in
7 the same sequential order as they are written
8 here with 10 through 13 for your reference. So
9 Exhibit A is Exhibit 10, Exhibit B is Exhibit 11,
10 and so on.

11 I apologize for that. It was too late
12 when I caught that last night.

13 Q. If you would, Ms. Fly, first of all, we
14 have already heard from Mr. Burch, who gave us
15 the problem that occurred when this well was
16 initially staked and approval was sought from the
17 BLM.

18 Would you, please, give the Examiner
19 the benefit of your knowledge of that situation
20 and furthermore address yourself to the question
21 that the Examiner had a moment ago as to was
22 thought given to moving the location in some
23 other direction other than in the southeast
24 direction which has been chosen?

25 A. Yes. If you will turn to Exhibit 13,

1 that will help explain this. This is a USGS
2 topographical map, 7-1/2 minute, with the surface
3 topography contoured on it. And I've
4 superimposed the subsurface isopach contours of
5 the Canyon dolomite reservoir.

6 I've put two locations down here: One
7 is the orthodox; one is the unorthodox for our
8 proposed location. And, as you can see, we could
9 not move to the north with the 100-year
10 floodplain, and we could not move to the west
11 because of the archeological site and also the
12 floodplain.

13 Q. So basically the location that you
14 chose was the only direction that you could go in
15 with respect to the problems posed by the BLM?

16 A. That is correct.

17 Q. All right. Why don't you start then
18 through your exhibits, beginning with Exhibit 10,
19 and give a presentation with respect to the
20 geological aspects of this location.

21 A. Okay. Exhibit No. 10 is an isopach of
22 the Canyon dolomite reservoir. And the contour
23 interval on this is 50 feet. I have the original
24 proposed location as a small red circle along
25 with the new, I guess, proposed location at 2080

1 from the west and 360 from the south. There's a
2 cross-section symbol on here running A-to-A
3 prime.

4 This map basically shows us that in the
5 northwest quarter of our proration unit we have
6 the dolomite pinching out, and even in our
7 southwest quarter, there's a high risk that this
8 could also be feathering out towards the
9 pinch-out, stratigraphic pinch-out.

10 This map is rather optimistic. And, as
11 you can see, the well there in Unit G that is a
12 dry hole had zero dolomite, and the well in Unit
13 J has 300 feet. The contours are very tight
14 there, and that gradient could be carried on
15 across.

16 Since this reservoir is more of a
17 diagenetic than depositional, it's hard to
18 contour the exact boundary without well control.
19 And this will be the farthest step-out from our
20 proven location to the east other than the well
21 down here in Section 34 of 20-1/2, 23.

22 Q. In looking at this map, are you
23 indicating by the zero line here of dolomite that
24 none of the rest of the acreage is capable of
25 producing gas, or do you mean -- or are you

1 trying to portray to the Commission the fact that
2 the best wells in this area seem to have a
3 certain amount of dolomite within the producing
4 interval? Could you deal with that and explain.

5 A. As seen in the dolomite reservoir in
6 the Dagger Draw Field, if you have the dolomite,
7 you have the reservoir, although sometimes the
8 upper limes do carry gas in them. We do not
9 choose to open those up in the field to the north
10 in the Dagger Draw Pool, but they do sometimes
11 show characteristics on the mud logs as having
12 gas or hydrocarbons, I should say.

13 Q. The best wells have been associated
14 with having somewhere in the neighborhood of 1-
15 to 200 feet of dolomite, is that correct, in this
16 particular field?

17 A. Well, that's correct, yeah. I guess
18 you could say that.

19 Q. This zero line of dolomite, you're not
20 intending to portray that as a zero line or a
21 boundary of the gas-bearing strata in this
22 particular area, are you, Ms. Fly?

23 A. No. No. I'm saying that the thicker
24 the dolomite, the better the chances you have of
25 making a well with better porosity. As you tend

1 to get towards the edge, since it is the
2 diagenetic, the dolomite tends to develop
3 stringers and finger into the Canyon lime. And
4 therefore the porosity does not usually develop,
5 and these tend to be tight and not as productive.

6 Q. Are there any other points that you
7 would like to make or bring to the attention of
8 the Examiner with respect to your Exhibit No. 10?

9 A. I think what I see from interpreting
10 this map is that Unit N in Section 34 is the only
11 logical location to drill when stepping out away
12 from the proven reservoir to the east.

13 Q. Anything else, Ms. Fly?

14 A. That's about it.

15 Q. All right. Would you turn to Exhibit
16 No. 11 and describe for the record what it is and
17 then if you would discuss its pertinence to this
18 case.

19 A. Okay. This is the structure map on the
20 top of the Canyon dolomite. And, as you can see
21 here, structure is not significantly important in
22 this local area. We will be about flat with some
23 of the proven gas wells to the east.

24 And, as I've stated earlier, this
25 location has to do more with the stratigraphic

1 aspect of the dolomite than the structure.

2 Q. Anything else with respect to your
3 Exhibit No. 11, Ms. Fly?

4 A. No.

5 Q. All right. If you'd turn to your
6 Exhibit No. 12, would you, please, describe for
7 the record what it is?

8 A. This is the cross-section which you see
9 on the structure map and the isopach map running
10 A-to-A prime. I just -- I drafted this up just
11 to show --

12 MR. KELLAHIN: Excuse me just a second
13 so I don't rattle over your testimony here.

14 A. All right. To show how rapidly the
15 dolomite reservoir can fall off, the well on the
16 left is Preston Federal No. 2, which encountered
17 no dolomite. And the well on the right is the
18 Mojave No. 1, which encountered approximately 300
19 feet of netted dolomite.

20 Q. (BY MR. CARROLL) Could you for the
21 record describe the orientation where those wells
22 are you're running from A-to-A prime so the
23 record will be clear with the orientation?

24 A. From the northwest of Section 35 --
25 excuse me, 34 through our proposed location in 34

1 over to the southeast in Section 35 of 20-1/2,
2 23.

3 Q. All right. If you could then continued
4 on with your testimony, please.

5 A. All I was trying to show here was we go
6 in this small area, from zero dolomite to
7 approximately 300 feet of dolomite. And what I'm
8 expecting to happen is that we will encounter
9 about 250 feet of the main dolomite body and not
10 the feathered edge as I drew over here pinching
11 out into the tight seely limestones.

12 Q. Are there any other points that you
13 would like to make with respect to your Exhibit
14 No. 12, Ms. Fly?

15 A. No.

16 Q. All right. With respect to the overall
17 responsibility of the Oil Conservation Division,
18 in your expert opinion do you believe that the
19 granting of this application that has been made
20 by Yates Petroleum, would such granting be in
21 compliance with the requirements that the Oil
22 Conservation Division prevent waste and protect
23 correlative rights?

24 A. Well, yes, I mean we're here. We know
25 it is unorthodox, and we're here to submit for

1 that location. But also this is more of a
2 step-out well, and in some respects you could
3 consider it as evaluating the offsetting
4 acreage.

5 Q. With respect to that, the acreage that
6 we've talked about, the east half of Section 24
7 owned 100 percent by Conoco, do you feel if this
8 well is successful that it would in fact help
9 evaluate and make less risky the drilling of a
10 well on the east half of Section 34?

11 A. Yes.

12 Q. With respect to the Section 34 that is
13 in -- it's the unorthodox Section 34 -- in
14 Township 20-1/2, Range 23, do you also feel that
15 a successful well drilled by Yates would also
16 help prove up and be to the benefit of the
17 operator in that particular section?

18 A. You mean operated by Conoco?

19 Q. If our, the Yates well were drilled and
20 proven to be prospective that it would be of a
21 benefit to Conoco?

22 A. Yes. Yes, it would evaluate all of
23 that acreage. When you get near the zero limit
24 of dolomite, you never know exactly where that is
25 until the wells have been drilled and evaluated.

1 Q. Exhibits 9 through 13, those exhibits
2 were prepared by you or under your direction,
3 were they not?

4 A. Yes.

5 MR. CARROLL: Mr. Examiner, at this
6 time I would move admission of Exhibits 9 through
7 13.

8 MR. STOVALL: Was it 10 through 13?

9 EXAMINER CATANACH: He's got 9 --

10 MR. CARROLL: The topographical map, we
11 took it out of order. I'm sorry.

12 EXAMINER CATANACH: Exhibits 9 through
13 13 will be admitted as evidence.

14 MR. CARROLL: Pass the witness at this
15 time.

16 EXAMINER CATANACH: Mr. Kellahin.

17 EXAMINATION

18 BY MR. KELLAHIN:

19 Q. Ms. Fly, let help understand your
20 position with regards to the use of this well to
21 help further develop and define the reservoir for
22 additional wells. If I look at Exhibit No. 1,
23 which is the plat of acreage that shows Yates'
24 acreage position --

25 A. Yes.

1 Q. -- am I correct in understanding that
2 if this well is successful, the party that
3 benefits from this effort is going to be Yates
4 because it helps prove up the potential for your
5 acreage in Sections 33 and in 27?

6 A. No.

7 Q. Okay.

8 A. No, I don't --

9 Q. Who else is going to benefit by this
10 well?

11 A. The locations that sit to the east, to
12 the south, and possibly to the west of this.

13 Q. Well, all those locations are drilled.

14 A. Possibly --

15 Q. We've got gas wells on them.

16 A. They're on allowable spacing units of
17 320.

18 Q. And gas wells in this pool --

19 A. In the South Dagger Draw Pool.

20 Q. You can only have one gas well in a
21 320-spacing for this pool.

22 A. Aren't they based on allowables
23 versus --

24 Q. No, ma'am. It's a non-prorated gas
25 pool so you only get one gas well for a spacing

1 unit.

2 A. I thought it was considered as part of
3 the North and South Dagger Draw Pools, which are
4 based on allowables.

5 Q. Well, if that's your understanding, we
6 can look at the rule.

7 A. Okay.

8 Q. Your point of view is you thought you
9 could provide an opportunity to prove up Conoco's
10 acreage?

11 A. That is correct.

12 Q. What has been accomplished with those
13 gas wells on Conoco's spacing units?

14 A. Well, they don't reach the allowables
15 that are allowed by the North and South Dagger
16 Draw Associated Pool rules.

17 Q. What is your recollection of the
18 highest allowable any of these gas wells have
19 achieved?

20 A. I don't know. I feel like probably our
21 engineering witness, who works more with the
22 accumulations and reservoir analyses, could
23 probably answer that question better.

24 Q. When you look at the dolomite in the
25 South Dagger Draw, if you are out of this

1 dolomite development, then you're out of the gas
2 production in the pool, aren't you?

3 A. The way that I mapped the Dagger Draw
4 Field is if you have dolomite, you have a
5 reservoir.

6 Q. Okay.

7 A. Sometimes there are gas kicks in the
8 lime stringers above the dolomite that possibly
9 did not get dolomitized. And from time to time
10 those have been opened up in the Dagger Draw Pool
11 in gas.

12 Q. For Yates and Conoco and anyone looking
13 for Dagger Draw gas, those little pockets of
14 incidental gas in the limestone are not going to
15 be significant to those operators, are they?

16 A. We have never made any that are
17 significant, but I can't say that for sure that
18 none of them will ever be significant.

19 Q. The location of the zero line for the
20 dolomite, as we run north to south through the
21 western edge of the reservoir, as you've mapped
22 it --

23 A. Yes.

24 Q. -- have you looked at other cases and
25 preparations made on behalf of your company in

1 which a similar line was displayed for other
2 cases?

3 A. Where we have mapped the zero
4 dolomite?

5 Q. Yes.

6 A. Yes. And a lot of times we have been
7 expecting more dolomite than what was mapped, and
8 the zero line has creeped in, or however you want
9 to call it, closer than we anticipated.

10 Q. That's why you characterized this map
11 as an optimistic map?

12 A. That's right. We tend to map -- in the
13 company where I work, we tend to map more
14 optimistically for leasing purposes and for our
15 own benefit.

16 Q. The location of the zero line, as it
17 moves through Section 34, is that consistent with
18 the way Mr. Beck has mapped it and other
19 geologists in presentations to the Commission --

20 A. That's right.

21 Q. -- with regards to this pool?

22 A. Yes.

23 Q. This has matched every other one,
24 hasn't it?

25 A. That's right. I didn't feel like I

1 needed to change my data to say it's pessimistic
2 and risky for this location. We always map
3 optimistically.

4 Q. Have you determined how many acres in
5 the west half of Section 34 are located above the
6 zero line in the dolomite?

7 A. I think the engineer witness has worked
8 more on that and he can explain it better.

9 Q. Okay. The map, Exhibit 11, shows that
10 in this area of the pool every well that has been
11 drilled has been a gas well.

12 A. That is correct.

13 Q. Do you have a geologic explanation to
14 the location of the gas wells in this portion of
15 the reservoir as apart from the oil wells that
16 are located up in Section 26?

17 A. Do I have a reason explaining that?

18 Q. Yes. Is there a geologic explanation
19 for the fact that the oil wells appear to be up
20 in 26 and 23 --

21 A. Yes.

22 Q. -- but we move down into this area
23 where you're seeking a new well location, and
24 everything around it is a gas well?

25 A. That's right. We don't exactly know

1 where to define the oil-gas boundary. We are
2 slowly defining it as we move down Section 26 and
3 20, 24. But, as you move south towards Indian
4 Basin, you're going up in structure and you're
5 getting out of your oil leg and into just more of
6 the gas cap.

7 Q. Okay. Is there any question in your
8 mind that your proposed location is going to be
9 in anything other than a gas well?

10 A. I feel like it will be a gas well. It
11 may make some condensate. There was a strange
12 test on the well in unit -- what would that be --
13 H, I -- J, I guess, the 1980-1980 from the south
14 and east of Section 34.

15 Q. The Smith No. 1?

16 A. Yes, that's it, Smith No. 1. The DSTs
17 stated that they got oil, a gravity of 44, and
18 that would be considered not condensate. The
19 condensate tends to be more around 55 or so.

20 Q. Uh-huh.

21 A. Mr. McWhorter may be able to answer
22 those questions in a little more detail. But
23 that was an older well, and personally I feel
24 like they encountered possibly a pocket of oil
25 that did not migrate on or got migrated to that

1 point and somehow got trapped.

2 Q. Does that fact cause you to change your
3 ultimate conclusion that it is most probable that
4 your location is going to result in a gas well?

5 A. I would consider it a gas well with
6 condensate. Most of these wells make condensate
7 along with them.

8 Q. You talked about feathering --

9 A. Yes.

10 Q. -- feathering of the dolomite into the
11 limestone as we look at the western edge of the
12 reservoir, and you've described that on your
13 cross-section. And this feathering between the
14 proposed location and the Preston 2, does that
15 illustrate what you mean by feathering?

16 A. Yes.

17 Q. Does that feathering change if you had
18 put in the Smith No. 1 well?

19 A. In the cross-section?

20 Q. In the cross-section.

21 A. No. That well -- let me see. That
22 well had about 300 feet of dolomite. So, as you
23 can see, the feathering would even be more
24 rapid. We went from 300 down to zero within a
25 quarter mile of each other.

1 Q. So the transition between the dolomite
2 and the limestone becomes more abrupt as you
3 compare the Preston 2 with the Smith 1?

4 A. Right. Therefore it makes the
5 locations, other than Unit N in our west
6 proration unit, very risky. I would consider
7 this location "N" as even being risky,
8 geologically speaking.

9 Q. What's the risk?

10 A. That the dolomite possibly could not
11 even be there. There's no wells around this
12 other than the dry hole that had 300 feet, and
13 that was going towards the dolomite thickness to
14 the east. We're moving to the west towards the
15 edge of the dolomite, and there's a possibility
16 that we may not encounter this.

17 This was seen up in the northern part
18 of the field with the Roy 3 versus the Roy 2
19 where we were expecting 150 feet of dolomite and
20 got maybe a net dolomite of 10 feet at the most.
21 They were just very small stringers, 2- to 3-foot
22 stringers. You know, it can drop off abruptly
23 since it is a chemical process instead of a
24 depositional process.

25 Q. Is there a certain minimum thickness to

1 the dolomite as you map it that's necessary in
2 order to be a viable prospect?

3 A. I think maybe we have made some
4 production on up the field, 50 to 80 feet. Some
5 of those gas wells up in the -- a little bit
6 north of this, the Algerita, I think, may be one,
7 the Judith, that were out towards the edge of the
8 dolomite. And I think they have made some, made
9 gas out of 50 to 80 feet, something like that.
10 Less than 50 we have had very poor luck with.

11 Q. In other areas of the pool, we've
12 talked in past cases about the water in the
13 reservoir. Do we have a water issue to address
14 in this portion of the pool?

15 A. It's still present. I didn't put it on
16 this map. I don't feel it's that crucial to this
17 individual location here. It's going to be, as
18 best as I can map it, at a subsea of about minus
19 3800, give or take 25, 30 feet, 50 feet.

20 I mean, we never really know exactly
21 where the water is going to be until we get the
22 well. We can only best estimate it. But I'm
23 assuming that we'll have between 50 and 80 feet
24 of hydrocarbon-bearing column here.

25 MR. KELLAHIN: Okay. Thank you, Mr.

1 Examiner. I have nothing else.

2 MR. CARROLL: Mr. Examiner, I have one
3 or two questions. I could ask them now or after
4 you're --

5 EXAMINER CATANACH: Go ahead, Mr.
6 Carroll.

7 FURTHER EXAMINATION

8 BY MR. CARROLL:

9 Q. Ms. Fly, let's turn back to the exhibit
10 that's No. 1. You should have a copy of it.

11 A. Yes.

12 Q. When you look at the substandard --
13 nonstandard, excuse me, Section 34, Mr. Kellahin,
14 when he was talking about it, he made reference
15 to the fact that there was a gas well in that
16 nonstandard section. And that is true; is that
17 correct?

18 A. Yes.

19 Q. When was that well drilled?

20 A. I'm not exactly sure of the drilling
21 date. The completion date I have on it is 1983.

22 Q. How much gas has that well produced
23 since 1983?

24 A. I think it's made around 400 Mcf, and
25 it's shut-in.

1 Q. So that one well in its entire
2 existence has made about one day's worth of gas
3 production that you would normally expect out of
4 a good Dagger Draw well; is that correct, or
5 roughly that?

6 A. Roughly. I don't know how long it was
7 opened. I don't have any information about that
8 well other than that.

9 Q. But you would not -- or at least you
10 would agree with me that that is not a good gas
11 well for economic purposes, at least in the
12 standards that Yates Petroleum uses?

13 A. That's correct.

14 Q. And in fact when you made reference to
15 the drilling of the well at our unorthodox
16 location, that you thought it would prove up that
17 acreage in that Section 34, you were making
18 reference to the fact, were you not, that in your
19 mind that there is not an economic gas well on
20 that section?

21 A. That is correct.

22 Q. And is it possible then that there may
23 be an economic or another gas well location on
24 that section that might be proved up by the
25 drilling of the Diamond AKI No. 1 well?

1 A. Well, they could drill there a 660-660
2 from the north and east if they plugged this gas
3 well. If you can only have one producible well,
4 which we're still in question about, its own
5 allowables, they could easily drill another
6 location there if ours evaluates it to be
7 economic.

8 Q. So again your position is still the
9 same, that the drilling of this unorthodox well
10 could in fact help evaluate the acreage in that
11 Section 34; is that correct?

12 A. Correct.

13 Q. All right. Now, as to the west half --
14 excuse me, east half of Section 34, the one --
15 the Section 34 in 20 South, 24 East where Yates
16 is making this application, is there a producing
17 gas well in the east half of that section?

18 A. In the east half of Section 34?

19 Q. Yes.

20 A. No.

21 Q. Would the drilling of this well, the
22 Diamond AKI, if it were successful possibly prove
23 up a location in the east half of Section 34?

24 A. Yes.

25 Q. And in fact that was what you were

1 talking about a moment ago?

2 A. Yes.

3 Q. So there are locations that Conoco
4 could directly benefit and gain information to
5 help evaluate from the drilling of the AKI well?

6 A. That is right.

7 MR. CARROLL: That's all I would have
8 to ask, Mr. Examiner.

9 EXAMINATION

10 BY EXAMINER CATANACH:

11 Q. Ms. Fly, the Preston Federal No. 2 was
12 dry and abandoned when it was drilled; right?

13 A. Yes.

14 Q. That's because there was no dolomite
15 encountered?

16 A. That's right.

17 Q. The Smith, is that the well just south
18 of the Preston?

19 A. Yes.

20 Q. Southeast. That was also drilled as a
21 dry hole?

22 A. Yes. And they DST'd it two or three
23 times. I can't remember. I haven't looked at
24 that in a while. Do you remember anything about
25 that? And they got oil off -- I'm not sure if it

1 was both DSTs, but I feel like they did get it
2 off the top DST, the one at the top of the
3 dolomite.

4 They had a gravity run on it, and it
5 was 44 degrees, something like that. It was done
6 in the 60s, I believe -- is that right? -- where
7 it was not really known at that point how to
8 produce these wells economically. And off the
9 DSTs they made a large amount of water, and they
10 just consider this to be wet. So they plugged
11 the well.

12 Q. Does that well have potential for
13 production, do you think?

14 A. I think so, yes. I don't know whether
15 you could reenter it or not. But the area would
16 have potential.

17 Q. Were there logs run on that well?

18 A. Yes.

19 Q. Have you looked at those logs?

20 A. Yes. They're older logs. There not
21 the nice suite like we have now. I think they
22 run a neutron. I'm not even sure they ran a
23 density.

24 Do you remember what they ran on that
25 well?

1 An old sidewall neutron is what they
2 ran on that.

3 Q. Looking at your Exhibit No. 13, if you
4 were to move the proposed location north to get
5 out of the floodplain, would you still be able to
6 encounter any dolomite according to your geology?

7 A. You mean as a 1980-1980 location?

8 Q. Well, move it north far enough to get
9 out of the floodplain.

10 A. Well, as you can see, the draw runs
11 between -- can you tell which is the draw
12 contoured here? the straight line with four --
13 three perforations there and a straight line? It
14 runs right between our originally proposed
15 location and the road that you see there to the
16 north.

17 They, the BLM, told our regulatory
18 agent that we could not move to the north and be
19 out of the floodplain unless possibly we chose a
20 1980-1980. And that is just way too risky to
21 step out that far when you have a well just a
22 quarter mile away that has zero dolomite in it.

23 It's just not a -- it's not recommended
24 to go out near the edge and work your way in.
25 You work from where you think you have your best

1 economic well and work out towards the edge.

2 Q. You estimate approximately 250 feet of
3 dolomite at your proposed location?

4 A. Yes, sir.

5 Q. What percentage is usually productive
6 in, say, in that kind of interval?

7 A. In the Mojave, which is the well to the
8 southeast in Section 35, we had about -- I think
9 it ended up being maybe 85 feet of
10 hydrocarbon-bearing column. I think we ended up
11 opening the top interval.

12 I was able to calculate where I thought
13 the water came in by the use of the gas tapering
14 off on our mud log. And by the DST, the first
15 DST we ran had quite a bit of gas. The second
16 DST had gas and water. And I felt like we tested
17 the contact right there between the water and the
18 gas. The upper part of that DST, second DST,
19 should have been gas-bearing.

20 EXAMINER CATANACH: I believe that's
21 all I have, Mr. Carroll.

22 MR. CARROLL: I have nothing further.

23 EXAMINER CATANACH: This witness may be
24 excused.

25 MR. CARROLL: We would next call Pinson

1 McWhorter.

2 **PINSON McWHORTER**

3 Having been duly sworn upon his oath, was
4 examined and testified as follows:

5 EXAMINATION

6 BY MR. CARROLL:

7 Q. Would you, please, state your name,
8 occupation, and employer for the record?

9 A. Yes. My name is Pinson McWhorter. I'm
10 a petroleum engineer. I work for Yates Petroleum
11 Corporation.

12 Q. Mr. McWhorter, have you had occasion to
13 testify before the New Mexico Oil & Gas Division
14 and be qualified as an expert in the field of
15 petroleum engineering?

16 A. Yes, I have.

17 Q. And are you familiar with the
18 application that is being made today by Yates
19 Petroleum with respect to its Diamond AKI No. 1
20 well?

21 A. Yes, I am.

22 MR. CARROLL: Mr. Examiner, I would
23 tender Mr. McWhorter as an expert in the field of
24 petroleum engineering.

25 EXAMINER CATANACH: Mr. McWhorter is so

1 qualified.

2 Q. (BY MR. CARROLL) All right. Mr.
3 McWhorter, you have testified that you're
4 familiar with this application. There's several
5 issues that have been raised. First of all, with
6 respect -- let's try to deal with some general
7 problems first, and what have you.

8 And Yates Petroleum has been asked to
9 move this or been told to move this location by
10 the Bureau of Land Management. Has Yates
11 Petroleum considered drilling a deviated hole
12 here? And if they have, would you, please, tell
13 us the reasoning process they went through and
14 what decision they reached?

15 A. Yes. We have considered the
16 possibility of being a surface location that we
17 could deviate back to an orthodox bottomhole
18 location. We determined that the cost to drill
19 that and contingencies that are associated with
20 that, plus the completion considerations and the
21 production considerations, were more risky than
22 the prospect of being assigned a penalty on an
23 unorthodox location.

24 Q. Is this particular area known to have
25 deviation problems, Mr. Pinson [sic]?

1 A. Yes, it is. That's one of the problems
2 that we considered in the risk analysis of
3 deviating this well, is this particular area of
4 the South Dagger Draw Pool is plagued with some
5 hole deviation problems just uphole and vertical
6 section from the Canyon.

7 Additionally, in addition to that risk
8 factor, to complete a deviated hole is a more
9 risky proposition than a quote, "straight hole,"
10 vertical hole. The third risk is that to produce
11 such a well, the production problems that are
12 generally associated with such a well are greater
13 than they are with a vertical hole.

14 Q. Mr. Pinson [sic], these wells out in
15 the Dagger Draw area are notorious for the
16 amounts of water that have been dealt with,
17 produced and dealt with, disposed of, are they
18 not?

19 A. That is correct.

20 Q. And when you make the statement that
21 you encounter -- anytime that you drill a
22 deviated hole, you encounter increased completion
23 and production problems, but aren't those the
24 normal increased problems that you encounter with
25 a deviated hole somewhere else are even

1 multiplied more so because of the unique nature
2 of this reservoir and the amounts of water and
3 the equipment that are necessary to do that; is
4 that a fair statement?

5 A. That is correct. The risks that I
6 addressed there are incremental risks on the
7 risks that are already inherent in the drilling
8 and producing of wells in this field which
9 already have more than normal share of production
10 problems and drilling problems.

11 Q. Mr. McWhorter, you have prepared
12 certain exhibits for use to aid your testimony
13 today, have you not?

14 A. I have.

15 Q. Mr. McWhorter, in order to aid the
16 expediency of your testimony, I'm going to ask
17 why don't you make your presentation, using
18 Exhibits 5 through 8, and go through it at your
19 speed without my interruption, if you would.

20 And as you come to each of your
21 exhibits, please identify the number and what it
22 is for the record and then describe its
23 significance as you try to make each of your
24 individual points.

25 A. Fine. Beginning with Exhibits numbered

1 5 and 6, those should be viewed in concordance
2 with one another because they're related to one
3 another. The issue here -- in the assignment of
4 any penalty, one of the issues is if we are to
5 gain approval of an unorthodox location moving
6 from an orthodox 1980-660 location to our
7 proposed location, one of the issues is what
8 incremental drainage would we have against the
9 Conoco acreage?

10 Consequently, I have addressed that in
11 these two exhibits, Exhibits 5 and 6. One is a
12 drawing showing 320-acre drainage circles.

13 Exhibit 6 is a summary of penalty calculations.

14 Now, these penalty calculations are
15 calculations performed in a methodology that has
16 been used by the Oil Conservation Division in the
17 past. These penalty calculations, my
18 recommendation, would be applied against the gas
19 well's top allowable. The top allowable -- the
20 way the top allowable is calculated is set forth
21 in the current field rules 53-53, and we'll go
22 into that in a moment.

23 But essentially we have to compensate
24 and correct for distances in the -- essentially
25 for purposes of coordinate system, X and Y

1 direction, north-south, east-west direction
2 differences. I have chosen the X direction to be
3 in the north -- I mean the east-to-west
4 direction, the Y direction is in the north-south
5 direction.

6 Essentially the formula amounts to
7 taking the orthodox distance in the X direction
8 minus unorthodox distance divided by the orthodox
9 distance. And for this it comes out to be a 15
10 percent deviation. The Y direction, which is the
11 north-south, is essentially the same algorithm
12 again. And it comes out to be a 45 percent
13 deviation.

14 Thirdly, the third component of this
15 formula is what is termed the excess area ratio.
16 In other words, by moving the drainage area to
17 the south and east, of course the drainage area
18 of the well would consequently be moved, and the
19 point of this calculation is to calculate how
20 much excess drainage this well at that location
21 would have compared to 320-acre standard
22 location, orthodox location.

23 Well, planimentering that area out, it
24 comes out to be 30 acres, divided by 320 acres,
25 about 9 percent, so taking these three components

1 and averaging them, which is the accepted method
2 of doing it, if we were to use additive
3 techniques in determining a penalty, and of
4 course one could wind up with a greater than 1
5 percent penalty, comes out to be a 23 percent
6 penalty.

7 Exhibits 7 and 8 are similar
8 calculations, and they're based not on the
9 standard fee or proration unit of 320 acres, but
10 on my engineering estimate of what this well
11 would drain, 270 acres. And it shows the same
12 type of calculation again. Again, the deviation
13 from the east-west direction, which is the X
14 direction, the deviation from the north-south
15 direction, which is the Y direction, the excess
16 area ratio, and that comes out to arithmetic
17 average of 23 percent.

18 So that explains exhibits 5, 6, 7, and
19 8 and how we came up with a recommended penalty
20 amount. Now --

21 Q. All right. Just so the record is
22 clear, Mr. Pinson [sic], what is the recommended
23 penalty amount that Yates Petroleum is presenting
24 to this Commission which you feel would be in
25 compliance or in accordance with the mandate that

1 the OCD has, that of preventing waste and
2 protecting correlative rights?

3 A. Well, sir, the penalty that we are
4 recommending is 23 percent based upon the
5 calculations, based upon how much excess drainage
6 area we see, and how much we are deviated towards
7 the Conoco acreage.

8 Q. Now, Mr. McWhorter, you have had an
9 occasion to review the prehearing statement that
10 was filed by Conoco who has made an appearance --

11 A. That's correct.

12 Q. -- in opposition in today's hearing?

13 A. Yes.

14 Q. And in that statement of opposition,
15 were certain penalties at least suggested or
16 distances given, percentages given in that
17 prehearing statement?

18 A. Yes, they were. And their directional
19 deviation factors are in fact the same as what we
20 have, Yates Petroleum Corporation has estimated
21 and calculated.

22 Q. Okay. Your 15 percent and 45 percent,
23 being your X and Y coordinates --

24 A. Yes.

25 Q. -- they appear to be the same that

1 Conoco put in their prehearing statement?

2 A. That is correct.

3 Q. The prehearing statement also made a
4 statement which was that approximately 60 percent
5 of the Yates spacing unit is nonproductive. Mr.
6 McWhorter, do you agree or can you agree with
7 that statement?

8 A. Well, sir, no, I cannot. If a person
9 were to take and just simply look at the map, the
10 isopach, Canyon dolomite, drawn by Mrs. Fly --

11 Q. Okay. We're talking about Exhibit 10.

12 A. That is correct, Exhibit 10. -- and
13 one would go to the orthodox location, which is
14 1980 from the west, 660 from the south, and
15 inscribe a 320-acre drainage circle,
16 approximately 10 percent of the area of that
17 circle would be out of the boundaries of the zero
18 dolomite. So, no, I cannot agree that 60 percent
19 of the Yates area is nonproductive.

20 Q. You made reference a moment ago that
21 there are field rules for this particular field;
22 is that correct?

23 A. Yes, that's correct.

24 Q. And this particular pool has been --
25 the nomenclature given to it by the Commission is

1 that it is an associated oil and gas pool; is
2 that correct?

3 A. That is correct, it is an associated
4 pool.

5 Q. With respect to it being an associated
6 oil and gas pool, the Commission in its rules has
7 determined how the allowable or specified how the
8 allowable shall be arrived at; is that correct?

9 A. That is correct.

10 Q. Would you briefly describe how the
11 allowable then should be determined according to
12 the present field rules for the Diamond AKI well
13 should it be found to be productive?

14 A. Yes, sir. As per the field rules for
15 the South Dagger Draw Pool, in Order 5353, it
16 says that 320 -- 120 acres shall be the proration
17 unit for a gas well. It says 320 acres shall be
18 the proration unit for an oil well.

19 In addition to that, it says that the
20 gas well allowable shall be determined from,
21 number one, the top unit oil allowable; number
22 two, the limiting GOR for the field; number
23 three, an acreage factor, which is a combination
24 of the number of acres, proration unit, for an
25 oil well and the number of acres, proration unit,

1 for a gas well, which is 320 and 320. And no
2 matter how times you divide that, it still comes
3 out to be 1. So that acreage factor is 1.

4 So it's currently for South Pool, the
5 320 top unit oil allowable is 1400 barrels of oil
6 a day. The limiting GOR is 10,000 standard cubic
7 feet per stock tank barrel. Therefore, the gas
8 allowable per field rules is 14 million a day for
9 320.

10 Q. If the Commission -- or Division,
11 excuse me, were to accept the recommendation of
12 Yates Petroleum for a 23 percent penalty, how
13 then is it your understanding that the Commission
14 would then apply that penalty to this well?

15 A. It's my understanding that the penalty,
16 which we recommend of 23 percent, would be a
17 deduction. That 23 percent would be a factored
18 deduction from the top gas allowable as
19 determined per the field rules.

20 So it would be 77 percent times 14
21 million a day, which is 10,000,780 Mcf a day, at
22 standard cubic feet a day, would be the penalized
23 allowable.

24 Q. Mr. McWhorter, is it your expert
25 opinion that it is in the interests of the

1 prevention of waste and the protection of
2 correlative rights that the Commission grant the
3 application of Yates Petroleum with respect to
4 its Diamond AKI well?

5 A. Yes. That's correct.

6 Q. And is it also your expert opinion that
7 the appropriate penalty that is consistent with
8 that mandate of preventing waste and protection
9 of correlative rights would be a penalty factor
10 of 23 percent?

11 A. Yes.

12 Q. Mr. McWhorter, with respect to the
13 exhibits and any other testimony or items that
14 you've covered, are there any other issues that
15 we have neglected or that you would like to
16 testify to?

17 A. No, there are not.

18 MR. CARROLL: Mr. Examiner, I would at
19 this time --

20 Q. Well, first of all, Mr. McWhorter,
21 Exhibits 5, 6, 7, and 8, were they prepared by
22 you or under your direction and supervision?

23 A. Yes, they were.

24 MR. CARROLL: Mr. Examiner, I would
25 move admission of Exhibits 5 through 8 at this

1 time.

2 EXAMINER CATANACH: Exhibits 5 through
3 8 will be admitted as evidence.

4 MR. CARROLL: I pass the witness at
5 this time.

6 EXAMINER CATANACH: Mr. Kellahin.

7 MR. KELLAHIN: Thank you, Mr.
8 Examiner.

9 EXAMINATION

10 BY MR. KELLAHIN:

11 Q. Mr. McWhorter, do you share Ms. Fly's
12 conclusion that the well located as Yates
13 proposes to locate it is going to be a gas well?

14 A. Yes. My best estimate of what that
15 well will do is produce predominantly gas base.

16 Q. In calculating the risk, looking at the
17 costs of the well, do you assign for purposes of
18 going forward with this project a certain volume
19 of gas to be recovered by this well?

20 A. Yes, I do.

21 Q. What did you assign for purposes of
22 this well?

23 A. At the current location I assigned 5
24 Bcf for this well.

25 Q. Have you made an engineering study to

1 see whether or not you can put 5 Bcf of gas in
2 the west half of section 34 above the zero line
3 of the dolomite on Ms. Fly's exhibit?

4 A. No, sir. What I have made a study of
5 is that you can put 5 Bcf of gas within a
6 320-acre drainage radius of the standard orthodox
7 location, 1980 from the west, 660 from the
8 south.

9 Q. Have you determined how many productive
10 acres are in the pool within the boundaries of
11 the west half of Section 34?

12 A. No, sir, I have not because that would
13 hinge on what we were going to define as
14 productive. But I have determined how many acres
15 are in that west half that are within the
16 confines of Mrs. Fly's zero dolomite line.

17 Q. I understand that argument. Can you
18 answer my question, which is within the west half
19 of Section 34, what is the volume of gas in place
20 within that spacing unit?

21 A. The volume of gas in place within that
22 spacing unit is in excess of 5 Bcf.

23 Q. How many productive acres are contained
24 within the west half of 34?

25 A. Could you define what you mean by

1 "productive"?

2 Q. Yes, sir.

3 A. Are you talking about --

4 Q. Scribe a rectangle around the west half
5 of 34 --

6 A. Yes.

7 Q. -- and look at the zero line that Ms.
8 Fly has put on that display and tell me how many
9 acres are above the zero dolomite line that leave
10 you within the west half of the section?

11 A. Okay. That's a different question.

12 The number of acres that are within that --

13 Q. Yes, sir.

14 A. -- zero dolomite is 151 acres.

15 Q. Okay. Have you done any volumetric
16 calculations with regards to this prospect?

17 A. Yes, I have.

18 Q. What is the percentage of recovery, the
19 recovery factor that you've assigned to
20 recovering the gas in place by this well? What
21 do you use?

22 A. Well, the recovery, the recover factor
23 itself is probably in the neighborhood of 60 to
24 70 percent.

25 Q. Okay. So if my engineer, in doing his

1 drainage calculations, has used a recovery factor
2 of 85 percent, he's been very generous?

3 A. Actually I did not use a recovery
4 factor calculation. What I do is take my initial
5 reservoir pressure, calculate the formation
6 volume in this reservoir pressure, calculate and
7 extrapolate the formation volume and project --
8 what I would project to be abandonment pressure,
9 the difference between those two is going to be
10 one in the same.

11 And you do a volumetric calculation and
12 you can calculate what you think that you could
13 produce under that acreage.

14 Q. Okay. When we look on Exhibit No. 11
15 and look at all these gas wells on here, what was
16 the best gas well?

17 A. Exhibit 11?

18 Q. Yes, sir.

19 A. Is that Mrs. Fly's?

20 Q. Yes. One of these that will help me
21 find the gas wells. Which is the gas well that
22 had the greatest initial potential?

23 A. Well, the gas well that had the
24 greatest initial potential would probably -- it
25 would be a tie between the Preston Federal No. 1

1 in Section 35 --

2 Q. All right, sir.

3 A. -- and the Mojave in Section 35 of
4 20-1/2 South, 23 East.

5 Q. What is the calculated absolute open
6 flow of the best of those two wells?

7 A. Those two wells both potentialized for
8 just a little over a million a day -- is what
9 they potentialized for.

10 Q. Okay. And those are the two best wells
11 in this area?

12 A. If you're looking at those sections
13 right there, that is correct, sir.

14 Q. And when we go back to figure out this
15 penalty, applying your methodology, by taking the
16 maximum oil rate of 1400 barrels a day times the
17 gas-oil ratio, gets me a top allowable of 14
18 million a day?

19 A. The way I calculated it, that's
20 correct.

21 Q. Even a lawyer can do this. 77 percent
22 of that number is then the allowable. And this
23 well is going to have the opportunity under your
24 proposal to produce 10.78 million Mcf of gas a
25 day under the restriction that you propose?

1 MR. STOVALL: Correct that. 10.7
2 thousand Mcf.

3 MR. KELLAHIN: Yes.

4 Q. (BY MR. KELLAHIN) 10.7 thousand Mcf?

5 A. 10.7 -- in other words, 10.7 million a
6 day essentially. That is correct. And it's not
7 according to necessarily how I calculated it, but
8 it's according to the rules as set forth in the
9 field rules that I used to calculate it.

10 Q. Does that sound fair to you?

11 A. It sounds like what has been set as the
12 way to calculate the unit allowable in this
13 field.

14 Q. My question was, does that make sense?
15 Does that sound fair to you? Do you find that
16 fair?

17 MR. CARROLL: I want to make an
18 objection to the question. I don't think that's
19 the purpose of this witness to determine what's
20 fair.

21 MR. KELLAHIN: Sure it is. He has told
22 me that this penalty is going to resolve equity
23 between the parties and justify his unorthodox
24 location.

25 MR. CARROLL: No, he has not. He said

1 it would prevent waste and protect correlative
2 rights.

3 MR. STOVALL: I think he can sustain
4 the objection because I don't think "fair" is a
5 term that you can really use a standard to write
6 the order. Make some criteria, Mr. Kellahin.

7 Q. (BY MR. KELLAHIN) Under your penalized
8 provision, in all reasonable engineering
9 probability, your well will never be penalized?

10 A. There's a good probability that that is
11 true.

12 Q. The proposed allowable that you
13 penalize this well for is going to be ten times
14 higher than the capacity of the best well in this
15 area to produce?

16 A. If you're looking at these wells that
17 are depicted upon this map, that is correct.

18 Q. No further questions.

19 A. But that's not the top allowable that
20 could be produced by a well in that location.

21 MR. KELLAHIN: That concludes my
22 examination.

23 MR. CARROLL: Mr. Examiner, I have just
24 a couple of questions I could ask now or later at
25 your discretion.

1 EXAMINER CATANACH: Go ahead.

2 FURTHER EXAMINATION

3 BY MR. CARROLL:

4 Q. Mr. McWhorter, you work regularly in
5 this Dagger Draw area, do you not?

6 A. Yes, sir.

7 Q. Are you aware of any instances where
8 the Division has deviated from the published
9 field rules for this pool with respect to the
10 determination of the allowable for the gas well?

11 A. I am not.

12 Q. There are quite a number of wells that
13 have been drilled out there; is that correct?

14 A. That is correct.

15 Q. And if some penalty assessment were
16 made, as I think Mr. Kellahin will suggest that
17 it be based on the absolute open flow of this
18 well, this would be to your knowledge the only
19 such penalty exacted in this particular pool in
20 this manner?

21 A. Correct. That is correct.

22 Q. Do you know of any -- now, excuse me.
23 Mr. Kellahin proposed to you what he, I think, is
24 trying to make out as a situation which the
25 Commission or the Division should avoid, and that

1 is that this well might never be penalized. The
2 reason that this well might never be penalized is
3 that it might never be as good as the rules would
4 allow?

5 A. That is correct.

6 Q. And so in effect, with respect to the
7 rules that were established for this pool, it's
8 already been penalized because it can't meet the
9 maximum that the OCD has already decreed after
10 the hearing should be proper and should be
11 applied to wells in this area?

12 MR. KELLAHIN: That question is
13 argumentative, Mr. Examiner, and I object.

14 MR. STOVALL: I don't think it's very
15 helpful.

16 MR. KELLAHIN: The objection or the
17 question?

18 MR. CARROLL: Both.

19 MR. STOVALL: I think we understand
20 what you're saying, Mr. Carroll. I don't know
21 how many times we need to have that type of
22 philosophical approach repeated for the benefit
23 of the Examiner.

24 MR. CARROLL: I just want to have an
25 expert testifying that way, Mr. Stovall.

1 Q. In your experience, Mr. McWhorter, are
2 you aware of any sound engineering reason why we
3 should deviate from the rules in this one
4 particular case?

5 A. No, I'm not.

6 MR. CARROLL: That's all.

7 MR. KELLAHIN: One follow-up question
8 to Mr. Carroll's point.

9 FURTHER EXAMINATION

10 BY MR. KELLAHIN:

11 Q. In your experience in the pool, Mr.
12 McWhorter --

13 A. Yes.

14 Q. -- have you found any examples that are
15 analagous to this situation where we're dealing
16 with a gas well in the pool at a proposed
17 unorthodox location that was taken to hearing and
18 for which there was a protest?

19 A. To my recollection, where there was a
20 protest, no.

21 MR. KELLAHIN: I couldn't find any
22 either. No further questions.

23 EXAMINATION

24 BY EXAMINER CATANACH:

25 Q. Mr. McWhorter, the gas wells in this

1 area, are they typical of the gas wells in the
2 pool?

3 A. Yes, sir, they are typical of the gas
4 wells in the pool and in the quantities of
5 hydrocarbons and water that they will make on a
6 given daily basis and in the net porous dolomite
7 interval that is encountered in these wells.

8 Q. As far as producing capabilities, they
9 are pretty typical of wells in the pool?

10 A. They are typical in the sense that they
11 are more like an average well. There are better
12 gas wells in the pool that are on the western
13 plank of the pool.

14 Q. Do you know why the gas-oil ratio for
15 this pool was set at 10,000 to 1?

16 A. Well, sir, yes, sir, I can tell you
17 request why that was done. At a hearing that
18 initially was initiated by an application by
19 Conoco to raise the allowable in Dagger Draw
20 North Pool, Yates also concurred and filed a
21 simultaneous application to raise the allowable
22 on an equivalent basis in the south pool because
23 both the -- at that time, I think you'll find as
24 a matter of record, that both witnesses from
25 Conoco and from Yates agreed that the original

1 division of the north and south pool is
2 artificial; that in fact this is one common
3 reservoir from north to south; and that to make
4 it equitable to all parties concerned, they
5 should have on a per-acre basis the same
6 allowable and limiting GOR. The limiting GOR in
7 the north pool at the time was 10,000 standard
8 cubic per stock tank barrel.

9 So, as per order that came out subject
10 to that, that limiting GOR was adopted in order
11 to equilibrate the rules between the north and
12 south pool.

13 MR. KELLAHIN: There's one difference.
14 The spacing is different in the two pools.

15 MR. STOVALL: I was going to ask you,
16 was that in the last, oh, three or four years?

17 THE WITNESS: Yes, sir.

18 MR. CARROLL: Last year or so.

19 MR. STOVALL: You've got different
20 spacing so you just multiplied the allowable?

21 THE WITNESS: That is correct.

22 MR. CARROLL: I was actually the
23 attorney that presented the Yates case on that.
24 And I'm not sure if Mr. Kellahin may have been
25 the one presenting the Conoco case. But we did

1 have problems because we had old Division orders,
2 lines of ownership already set up. And we would
3 have had to have gone in and readjusted that, so
4 we had to make -- the equating process to be
5 something other than the redrawing of the
6 proration units.

7 MR. STOVALL: And if I remember
8 correctly, that was done primarily for the oil
9 wells in the pool; is that right? Wasn't that
10 the main consideration, was to raise the GOR high
11 enough to enable you to get a sufficient amount
12 of oil out of the oil wells?

13 MR. KELLAHIN: I don't think we changed
14 the gas-oil ratio.

15 MR. STOVALL: Didn't you?

16 MR. KELLAHIN: We changed the --

17 MR. CARROLL: There was a change to get
18 them equal. One was changed; one was not, as I
19 recall.

20 MR. STOVALL: Conoco wanted to raise
21 it.

22 THE WITNESS: I think the gas-oil ratio
23 in the south pool was changed.

24 MR. STOVALL: That's kind of my
25 recollection. They raised the allowable on the

1 160-acre pool and then brought the 320-acre pool
2 up and then brought the GOR up with it.

3 MR. CARROLL: Yeah.

4 MR. STOVALL: But again the GOR is
5 really a more -- the level is driven for the oil
6 wells and not for the gas wells.

7 MR. CARROLL: That's true.

8 EXAMINER CATANACH: I don't have any
9 more questions of the witness.

10 MR. CARROLL: That would conclude Yates
11 Petroleum's case, Mr. Examiner.

12 MR. KELLAHIN: I call Mr. Bill Hardie.

13 **BILL HARDIE**

14 Having been duly sworn upon his oath, was
15 examined and testified as follows:

16 EXAMINATION

17 BY MR. KELLAHIN:

18 Q. Mr. Hardie, for the record would you,
19 please, state your name and occupation?

20 A. My name is Bill Hardie. I'm a
21 geologist with Conoco, Inc., in Midland, Texas.

22 Q. On prior occasions, Mr. Hardie, have
23 you testified as a geologist before the Division?

24 A. Yes, I have.

25 Q. Pursuant to your employment by your

1 company, have you made an investigation of the
2 geology surrounding this application by Yates for
3 the subject unorthodox well location?

4 A. Yes, I have.

5 Q. Are you generally familiar about the
6 geology in the South Dagger Draw Pool that's the
7 subject of the hearing?

8 A. Yes, I am.

9 MR. KELLAHIN: We tender Mr. Hardie as
10 an expert petroleum geologist.

11 EXAMINER CATANACH: Mr. Hardie is so
12 qualified.

13 Q. (BY MR. KELLAHIN) Mr. Hardie, let me
14 direct your attention, sir, to Exhibit No. 1.
15 Would you identify that for me, please?

16 A. Exhibit No. 1 is just a location plat
17 map. On it we show Conoco's 100 percent working
18 interest acreage in solid yellow. We show
19 Conoco's partial working interest acreage in
20 crosshatched yellow. The short Section 35 Conoco
21 has, I believe, about a 55 percent working
22 interest, a little more than half.

23 The dotted green lines refer to the
24 locations of two cross-sections that I've
25 prepared. And we'll need to refer to this map

1 later on when we look at those cross-sections.

2 Q. Let's set that aside as our index map.
3 When you, as a geologist, are looking at this
4 prospect, do you do what Ms. Fly did, and that is
5 to develop a series of evaluations,
6 interpretations to show the thickness and the
7 location of the dolomite?

8 A. Yes, I do.

9 Q. Let me direct your attention to Exhibit
10 No. 2. Does this represent your work?

11 A. Yes, it does.

12 Q. Describe for us what you've done.

13 A. This is an isopach map of the dolomite
14 thickness. The reservoir at Dagger Draw is a
15 carbonate margin buildup. It was at some point
16 after its deposition preferentially dolomitized
17 and developed a very coarse secondary porosity,
18 which essentially created the reservoir.

19 So that the geometry of the field is
20 that of a linear dolomite fairway that extends
21 generally in a northeast-southwest direction.
22 The thickness of that fairway is shown here,
23 attains a maximum along the axis, or the middle
24 of it, a little over 400 feet in thickness. And
25 it thins out toward the flanks to a zero line on

1 either side. And that zero line essentially
2 defines the limits of the dolomite reservoir.

3 Q. Describe for us geologically the
4 relationship of this southern portion of South
5 Dagger Draw and Indian Basin farther south.

6 A. These are we believe that Indian Basin
7 and South Dagger Draw are a continuous reservoir
8 and that in fact Indian Basin, South Dagger Draw,
9 and North Dagger Draw are all part of a
10 continuous reservoir.

11 Q. When you look at the geology, does it
12 surprise you as a geologist to find in this
13 particular area of Yates' application that the
14 operators are drilling gas wells?

15 A. No, it does not.

16 Q. Why not?

17 A. Because of the structural elevation of
18 these wells. And the structural elevation of the
19 dolomite fairway itself is so high that we are,
20 at this location, we're up in the gas cap.

21 Q. Do you concur then with Ms. Fly and Mr.
22 McWhorter that in all probability this well
23 located as Yates proposes is going to be a gas
24 well?

25 A. I do.

1 Q. Let's use this display and have you
2 give us some of the information on the specific
3 control points, the wells that you have analyzed
4 to make your interpretation and your judgment
5 about those wells. Let's start with the Preston
6 1. That's in Section 35, and it's got a circle
7 drawn around it. Ignore the circle for now.
8 Describe Preston 1 for me.

9 A. Preston Federal No. 1, I think, was
10 drilled in 1970. It had an I/P of around 1.5
11 million cubic feet of gas per day. The Preston
12 Federal 1 has been producing that exact same
13 amount since 1970 when it was completed. And
14 it's probably the single well for which we can
15 base a lot of our interpretations on because it
16 has the most history. It's been producing for
17 over 20 years.

18 Q. Mr. McWhorter identified that as one of
19 the two of the best wells in that immediate
20 area. Do you concur?

21 A. I do.

22 Q. The other one he identified is the
23 Mojave 1.

24 A. The Mojave 1.

25 Q. Do you also concur that is the other

1 one?

2 A. I do.

3 Q. Describe for us the important
4 information about the Mojave 1.

5 A. The Mojave 1 is fairly similar to the
6 Preston Federal No. 1. It had an initial
7 potential of slightly higher than the Preston
8 Federal No. 1. I think about 1.6 to 1.8 million
9 cubic feet of gas per day. I'm not positive
10 about the exact I/P. But our analysis to date
11 indicates that it should perform in a similar
12 fashion to the Preston Federal No. 1.

13 Q. As we move clockwise around, let's find
14 the odd-sized Section 34 that has the Preston 4.

15 A. Yes.

16 Q. Tell me about that well.

17 A. The Preston Federal No. 4, I believe,
18 was drilled in the -- I think it was drilled in
19 the early 80s by Conoco. It was drilled without
20 the benefit of some of the more recent knowledge
21 that we have of the dolomite reservoir.

22 We completed the Preston Federal No. 4
23 throughout the entire dolomite interval in what
24 appeared to be productive. We've since learned
25 that by completing in the uppermost portion of

1 the dolomite reservoir, you can avoid the
2 typically high water cuts that we saw in the
3 Preston 4.

4 And we intend to go and reenter that
5 wellbore and isolate those lower perforations and
6 open additional perforations higher up in the
7 fairway and bring it on-line.

8 Q. Let's go now into Section 34 and,
9 looking at the east half of 34, describe for us
10 the Preston No. 2 well.

11 A. The Preston Federal No. 2 well was
12 drilled, I think, about the same time as the No.
13 4 and was one of these cases where it came as a
14 shock that we completely missed the dolomite
15 fairway. The Preston Federal No. 2 had no
16 dolomite whatsoever. It's a dry hole. It had no
17 shows in the Cisco.

18 Q. Move down to the 40-acre offset to the
19 south in the southeast quarter of 44 and you pick
20 up the Smith No. 1. Describe that well.

21 A. The Smith No. 1 was drilled in the
22 early 60s by another operator. It encountered
23 significant drilling problems through the Cisco
24 and for one reason or another they had to kick
25 off the well because they lost the borehole so

1 they kicked it off and attempted a completion in
2 the Cisco.

3 In each of those legs that they
4 drilled, they ran some DSTs. And as the Yates
5 engineer and geologist testified, one of those
6 DSTs reported a significant amount of oil that
7 was circulated out. Our opinion is that this may
8 have been mistakenly called an oil and that it
9 was perhaps a condensate because there was no
10 other indication that the well should be an oil
11 producer.

12 Q. What is Conoco doing, if anything, for
13 further development of wells in the east half of
14 34?

15 A. I'm sorry. Could you ask that again?

16 Q. Sure. In the east half of 34, what, if
17 any, plans does Conoco have for additional wells?

18 A. Conoco is currently planning to stake
19 and drill a location in the southwest of the
20 southeast quarter of Section 34, which would
21 essentially be a twin to the Smith No. 1 well.

22 Q. Previously you had a staked location in
23 the southeast of the southeast of 34?

24 A. Yes, we did.

25 Q. Why was that well not drilled?

1 A. That well was staked prior to the
2 drilling of the Mojave No. 1 well. At that time
3 both Conoco and Yates believed there was a chance
4 that there may be an oil column that far south.

5 Subsequent to the drilling of the
6 Mojave and the extensive testing that Yates did
7 in the Mojave, we now know that there is no oil
8 column in this part of the field. Therefore that
9 location is no longer viable.

10 We feel it's important to increase our
11 spacing away from the Mojave and away from the
12 Preston Federal No. 1 and place it in the
13 southwest of the southeast.

14 Q. Let's go now to Exhibit No. 3. Would
15 you identify and describe that exhibit for us?

16 A. Exhibit No. 3 is a structure map on the
17 top of the Cisco Canyon dolomite. This map shows
18 a prominent northeastward dip on that surface,
19 the top of the reservoir, such that we're looking
20 at the highest part of the reservoir down at the
21 southwest end of the map. And, as we move down
22 at the northeast, we get progressively lower.

23 This map helps to explain why we see
24 gas and condensate production in North Indian
25 Basin at the southwest end of the map, gas and

1 condensate production in the Preston
2 Federal-Mojave area. And then as we get
3 increasingly lower, we eventually start seeing oil
4 production in Yates' acreage in Sections 26 and
5 25. It simply is a structural relationship.

6 My interpretation of the southernmost
7 limit of oil production is shown by the green
8 dashed line.

9 Q. When you combine the structure map and
10 the isopach, what ultimate geologic conclusion do
11 you draw about Yates' location in the west half
12 of 34?

13 A. When you look at the west half of
14 Section 34, you can see that by moving to an
15 unorthodox location, encroaching on Conoco's
16 acreage to the south and encroaching on Conoco's
17 acreage to the east, that they're also gaining
18 structural elevation in the well.

19 If you refer back to Exhibit No. 2, you
20 can also see that by moving to the south and
21 east, the Diamond Federal No. 1 also increases in
22 reservoir thickness from approximately 150 feet
23 to over 200 feet according to way I've
24 interpreted it.

25 Q. Have you provided the engineering staff

1 at Conoco the necessary geologic interpretations
2 from which they can do productive acreage
3 calculations for the spacing unit in the west
4 half of 34 that Yates proposes to dedicate their
5 well to?

6 A. We have, Conoco's engineer and myself,
7 have worked on volumetrics for not only Section
8 34 but also other wells in that area, Section 35
9 and the Mojave well.

10 Q. Let's look at the cross-section, the
11 first one, Exhibit 4, which is the north-south
12 cross-section?

13 A. That is correct.

14 Q. Identify and describe that for me,
15 please.

16 A. This is cross-section A-A prime. And
17 if you'll refer back to Exhibit 1, you can see
18 the location of that cross-section. This
19 cross-section trends parallel to the axis of the
20 dolomite reservoir. And on it we can see, on
21 each log that I've exhibited, we've got on the
22 left a gamma ray curve. On the right we've got
23 porosity curves, either neutron or density
24 porosity curves.

25 The purple shading is the dolomite, or

1 dolomitized portion of the reservoir. The green
2 lines that connect the various wells are
3 connecting correlative markers that you can find
4 in the gamma ray curve. And they give you an
5 indication about the structural dip across this
6 line.

7 This line clearly shows a significant
8 change in structural elevation. As you come from
9 the North Indian Basin on the south side of the
10 cross-section, you move down-dip as you approach
11 South Dagger Draw acreage. It also shows a
12 significant difference in elevation between
13 Marathon's wells in North Indian Basin and
14 Conoco's wells in South Dagger Draw.

15 We feel like this difference in
16 structural elevation is the reason why the wells
17 in South Dagger Draw have to be completed in the
18 very uppermost portion of the dolomite
19 reservoir. Because as you move down-dip, as you
20 get lower in the section, there's still gas down
21 there, but the water cuts become prohibitive from
22 an economic standpoint.

23 Q. Turn now to Exhibit 5 and identify and
24 describe the B-B prime cross-section.

25 A. Cross-section B-B prime, as you can see

1 on Exhibit 1 again, is generally an east-west
2 cross-section through the Preston 2, Smith 1,
3 Mojave 1, and the Depco No. 1 Shell Federal.

4 I've constructed this cross-section
5 mostly just to show the abrupt termination of the
6 dolomite reservoir between the Smith No. 1 and
7 Preston Federal No. 2 wells. This is also shown
8 on Exhibit No. 2 where we look at the dolomite
9 thickness. And you can see that between the
10 Smith No. 1 and the Preston 2, the dolomite
11 pinches out.

12 Essentially what we're showing here is
13 that the north half of the 320-acre proration
14 unit to which the Diamond No. 1 well would be
15 dedicated is nonproductive. We calculate that
16 approximately 660 acres of that Diamond Federal
17 No. 1 proration unit would be productive.

18 Q. Say it again. You said 660. I think
19 you misspoke. Try again. Forget what you said
20 and start over.

21 A. Okay. Approximately half --.

22 MR. STOVALL: Coaching.

23 A. -- approximately half of the proration
24 unit assigned to the Diamond Federal No. 1 will
25 be productive.

1 Q. And how many acres is that?

2 A. One hundred and sixty. I'm sorry.

3 Q. (BY MR. KELLAHIN) All right. You said
4 660.

5 A. Right.

6 MR. STOVALL: Distances, not acres.

7 Does that mean they get a double
8 allowable, Mr. Kellahin?

9 MR. KELLAHIN: Whatever they want.

10 Q. (BY MR. KELLAHIN) As a geologist, when
11 you look at the reservoir and the relationships
12 of the existing wells and the opportunity for
13 those wells to compete one with another, does the
14 Yates well gain an advantage at the unorthodox
15 location?

16 A. We feel that the Yates well does
17 because it encroaches on Conoco's acreage in two
18 directions. It encroaches toward the south by a
19 distance of 300 feet beyond a legal location. It
20 encroaches toward the east by a distance of 100
21 feet beyond the legal location. It also in so
22 doing encounters a thicker dolomite section and a
23 higher structural position.

24 Q. In your opinion as a geologist, what
25 factors should the Examiner consider in

1 determining a penalty to impose upon the Yates
2 well location, if he approves that location?

3 A. In order for the penalty to be
4 meaningful, we feel like it should be based on an
5 initial potential test of the well. Our
6 experiences so far have shown that wells in South
7 Dagger Draw, because of their lower structural
8 position than North Indian Basin wells, cannot
9 produce 14 million cubic feet of gas per day.

10 So that a penalty on 14 million cubic
11 feet of gas would be meaningless and that it
12 should be based on an initial potential test.

13 Q. Can you describe for the Examiner what
14 components should go into arriving at an
15 appropriate penalty?

16 A. There are two components that we feel
17 are important to consider in arriving at a
18 penalty. The first of which would be the footage
19 factor, the encroachment factor upon Conoco's
20 acreage. The second would be the lack of
21 productive reservoir underlying the 320 acre
22 proration unit. Not all of that unit is going to
23 be productive; therefore, it should be
24 penalized.

25 Q. Were Exhibits 1 through 5 prepared by

1 you?

2 A. Yes, they were.

3 MR. KELLAHIN: That completes my
4 examination of Mr. Hardie. We move the
5 introduction of his Exhibits 1 through 5.

6 EXAMINER CATANACH: Exhibits 1 through
7 5 will be admitted as evidence.

8 Mr. Carroll.

9 EXAMINATION

10 BY MR. CARROLL:

11 Q. Mr. Hardie, you indicated that the, I
12 believe it's the Preston No. 4 well down in
13 section -- the nonconventional Section 34 in
14 20-1/2, that Conoco has plans to go back in and
15 apparently squeeze off the lower section of the
16 dolomite and try, I guess, a recompletion
17 attempt; is that correct?

18 A. That is correct.

19 Q. How long has this well been shut-in?

20 A. This well has been shut-in essentially
21 since it was drilled.

22 Q. So almost ten years then?

23 A. That is correct.

24 Q. How long has Conoco had plans to go in
25 and do what you've just described?

1 A. We've had plans to do that since we
2 started figuring out the reservoir, which has
3 been approximately about a year, maybe a little
4 longer.

5 Q. Have you prepared AFEs and gone that
6 far in preparation at this time, Mr. Hardie?

7 A. We have prepared to do this. The only
8 thing that has held us back has been a gas
9 compression problem that we have in Dagger Draw.
10 Until very recently we were overproducing in
11 terms of gas -- I'm sorry, I misstated that.

12 We had more gas production than we
13 could handle in our compressors. And we also had
14 the Preston Federal 1 shut-in as a result of
15 that. We've since gotten additional compression
16 and are prepared now to recomplete the Preston
17 Federal No. 4.

18 Q. When is this slated for this
19 recompletion attempt?

20 A. It would be this year. I can't give an
21 exact date, but we plan to do it this year.

22 Q. With respect to your proposed location
23 up in the east half of Section 34, when was the
24 decision made to move that location to the east
25 from the one that has been shown on the land

1 maps?

2 A. That location move would have been
3 subsequent to the drilling of the Mojave No. 1
4 well.

5 Q. All right. And how long has the Mojave
6 No. 1 well been drilled, Mr. Hardie?

7 A. Approximately three months. I'm not
8 absolutely certain.

9 Q. You made -- let me ask this question
10 first. I apologize.

11 You had a chance to look at Yates
12 Petroleum's exhibits, in particular Exhibit No.
13 11, which was prepared by Ms. Fly, did you not,
14 her structure map on top of the Canyon dolomite?

15 A. Yes.

16 Q. The structures depicted by that map and
17 the one depicted on your structure map, Exhibit
18 3, differ somewhat, does it not?

19 A. Yes, they do.

20 Q. And in fact, if you look at Ms. Fly's,
21 her interpretation of the structure, your
22 statement that by moving this well from the
23 orthodox to the unorthodox position would
24 increase the elevation, would not hold true under
25 her mapping; is that correct?

1 A. I'm not sure what contour what -- this
2 contour interval runs very close to the proposed
3 well location -- what that is.

4 Should that be minus 3800 feet?

5 MS. FLY: That would be minus 3750.

6 A. Okay.

7 Q. But no matter what it is, whether it's
8 3800 or 3750, the moving of the well would not
9 move, at least as depicted on that structure map,
10 would not cause that interval to be higher in
11 position?

12 A. According to her interpretation.

13 Q. So the interpretation of Ms. Fly and
14 your interpretation do differ with respect to
15 that one issue?

16 A. They do. The reason that my map shows
17 that the well location would be higher
18 structurally at the unorthodox location is based
19 on the difference in elevation between the Smith
20 No. 1 well and the Mojave No. 1 well where you
21 see a trend moving from the Smith well of minus
22 3762, according to my interpretation, toward a
23 higher position in the Mojave well of minus
24 3715.

25 That general trend indicates that as

1 you move to the southeast, you gain structural
2 elevation.

3 Q. And, as Ms. Fly testified that she had
4 information from all these wells, you must assume
5 that she had advantage of the same information
6 that you just told us about?

7 A. That is true.

8 Q. Now, also on your Exhibit No. 3, the
9 green dashed line, now am I correct in stating
10 that everything that is to the south of that
11 green line and to what would be the west of that
12 green line is what you're calling the gas gap,
13 for lack of a better term?

14 A. According to my interpretation, yes.

15 Q. So when you get -- there is probably
16 three-quarters of a mile in distance from that
17 green line to the proposed Diamond AKI location
18 roughly?

19 A. Roughly.

20 Q. So the proposed location is well within
21 or already well within the gas cap; is that
22 correct?

23 A. Yes.

24 Q. And this Preston No. 1 well, which is
25 actually almost situated on a direct line between

1 the AKI and this green hashed line, that well has
2 been producing for something like 20 years; is
3 that correct?

4 A. That is correct.

5 Q. And it's been a gas well and it's
6 producing today just as good as it was producing
7 when it was completed?

8 A. It produces gas and some small amount
9 of condensate.

10 Q. And that's what it's done from day one
11 to the present time?

12 A. That is correct.

13 Q. Now, I believe you were present when
14 Mr. McWhorter was testifying about the
15 methodology of figuring what the allowable is
16 under the present field rules; is that correct?

17 A. Yes.

18 Q. And I guess because Mr. Kellahin, he
19 came up with the same \$14 million figure, I guess
20 you're not really disagreeing much with Mr.
21 McWhorter's at least extrapolation using the
22 rule?

23 MR. KELLAHIN: You misspoke. I wish it
24 was dollars.

25 MR. CARROLL: You're right. Mcf. I do

1 too.

2 Q. So you really, at least for purposes of
3 our discussion right now, it appears that Conoco
4 and Yates are interpreting the rule and applying
5 it in the same basic fashion?

6 A. That is correct.

7 Q. Has Conoco made any application to
8 amend that particular field rule dealing with the
9 calculation of the allowable for gas wells in
10 this associated gas pool?

11 A. No, we have not.

12 Q. Is one contemplated to your knowledge
13 at this time, Mr. Hardie?

14 A. To my knowledge at this time, one is
15 not.

16 Q. Mr. Hardie, are you aware, what I --
17 this proposal of yours -- and Mr. Kellahin, he
18 didn't really pull it from you as a specific
19 proposal, but he did it in the sense of what
20 factors do you think would be meaningful for the
21 Commission or the Division to utilize here.
22 Frankly, I've lost my train of thought. Excuse
23 me, Mr. Hardie. I'll try again. I apologize.

24 With respect to these concepts that you
25 have indicated to Mr. Kellahin that you think are

1 significant and should be given consideration by
2 the Division, are you aware of any examples in
3 this consolidated oil and gas pool, being
4 comprised of the North and South Dagger Draws,
5 where a well has been penalized and the penalty
6 has been applied to what you have been basically
7 advocating, that of going against the initially,
8 the absolute open flow of the well and as
9 verified by production tests, are you aware of
10 wherever the Commission has utilized that
11 standard?

12 A. I'm not that familiar with various
13 penalties that have been applied.

14 Q. So with respect to this pool, you just
15 don't, you're not aware of any, to your knowledge
16 anyway?

17 A. With respect to this pool, I'm not
18 aware of that, no.

19 Q. Okay. Now, you -- and if I get out of
20 your area of expertise, please tell me so. Mr.
21 McWhorter in his exhibits, he took the two
22 locations and he drew circles around the area of
23 drainage.

24 A. Uh-huh.

25 Q. That conceptually is what I'm talking

1 about. Is that not the way drainage is looked
2 upon as occurring when you look at a particular
3 location, that being drawn in a circle around
4 that particular location that's in controversy?

5 A. You are -- I am stretching the limits
6 of my expertise by answering this. But I do know
7 that it depends on -- the shape of that drainage
8 area depends on various factors and various
9 characteristics of the reservoir. For example,
10 is there a preferred flow path? And without any
11 data to indicate a preferred flow path, the
12 tendency is to go ahead and draw it as a circle.

13 Q. Do you have any data or aware of any
14 preferred flow path as you've talked about?

15 A. I do not.

16 MR. CARROLL: I have to confer with my
17 geologist. I'm not as expert in the matters of
18 geology as my cocounsel.

19 I have no further questions.

20 MR. STOVALL: I'd like to ask one back
21 to the geology. I sometimes get into that.

22 EXAMINER CATANACH: I know.

23 EXAMINATION

24 BY MR. STOVALL:

25 Q. In the prehearing statement Conoco has

1 essentially said they are opposed to the granting
2 of this application; is that correct?

3 A. We are opposed to the granting of this
4 application, that is correct.

5 Q. As a geologist, if this were your tract
6 and the BLM told you you could not drill at an
7 orthodox location, which way would you recommend
8 to your company that it move its well?

9 A. If it were my tract, I would recommend
10 to my company that we directionally drill to a
11 legal and orthodox bottomhole location from an
12 orthodox surface location. There are legal or
13 there appear to be, according to the topographic
14 map locations which would be approved by the BLM,
15 I don't know this for a fact, but there appear to
16 be on the topo map in the north, northeast -- or
17 northwest quarter of Section 34.

18 I would most likely, in order to avoid
19 conflict, recommend that we stake a location, a
20 legal surface location and directionally drill to
21 a legal bottomhole location.

22 Q. In preference to drilling to an
23 unorthodox location with approval?

24 A. Yes. It's a lot simpler.

25 Q. You'd rather deal with a directional

1 motor than the Commission; is that what you're
2 saying?

3 A. Exactly. I trust the directional motor
4 more.

5 MR. CATANACH: That's on the record.

6 Q. (BY MR. STOVALL) I think what you
7 meant to say, you could predict the directional
8 motor more; is that it?

9 A. That's what I meant.

10 MR. CARROLL: I move for a directed
11 verdict at this point.

12 Q. (BY MR. STOVALL) The second part of
13 it, just from a reality and geological producing
14 thing, you've recommended using a productive area
15 factor in the penalty assessment?

16 A. Yes, I have.

17 Q. And a productive area is not the basis
18 for allowable in the first place. Is that really
19 truly reflective? I mean, what's your rationale
20 for suggesting that a well that's moved something
21 less than half the distance in either direction
22 should be added to it -- productive acreage, that
23 wouldn't be a factor if that were in an orthodox
24 location?

25 A. My rationale for that would be the risk

1 of that zero line on Exhibit No. 2, as Yates has
2 testified and I concur, both of our zero lines
3 are fairly optimistic. So that a pessimistic
4 zero line would be moving to the southeast. If
5 that were the case, there would be, you know,
6 perhaps ten to 20 productive acres on Yates'
7 320-acre proration unit. And if that well was
8 productive, it would drain almost all of its
9 reserves from Conoco's adjacent acreage.

10 So that a penalty based on the amount
11 of productive acreage underlying the proration
12 unit seems appropriate.

13 Q. If they go back and directional drill,
14 and your assumptions are the same there, then
15 they're still going to drain most of their
16 reserves from Conoco's acreage without limit;
17 right?

18 A. That's correct.

19 MR. STOVALL: Okay. That's all I
20 have. I got him in deep enough trouble.

21 EXAMINATION

22 BY EXAMINER CATANACH:

23 Q. You do have confidence that your zero
24 line doesn't extend any farther north?

25 A. I think my zero line extends a little

1 farther north than Yates'. Just a quick
2 comparison, it appears to be a little more
3 optimistic. Geologists are rewarded for being
4 optimistic.

5 MR. STOVALL: Do you think there's any
6 possibility it could be further north? Isn't
7 that what you meant?

8 EXAMINER CATANACH: Right.

9 MR. STOVALL: In other words, might
10 there be more productive acreage than you have
11 mapped?

12 THE WITNESS: That could be the case.
13 However, if there was never a well drilled there,
14 you would never know that.

15 EXAMINER CATANACH: That's all I have.

16 THE WITNESS: You've heard enough.

17 MR. KELLAHIN: I'd like to call my
18 engineering witness, Mark Majcher. He spells his
19 name M-a-j-c-h-e-r. And you try not to pronounce
20 the "J," is that how we do it, Mark?

21 THE WITNESS: That's right.

22 MR. KELLAHIN: Majcher.

23 MR. STOVALL: We'll let him pronounce
24 it correctly.

25 MR. KELLAHIN: See if we're close;

1 right?

2 MR. STOVALL: Yes. What's he going to
3 say about the Commission, Mr. Kellahin?

4 MR. KELLAHIN: Let's wait and see. It
5 may be the highlight of the day.

6 **MARK MAJCHER**

7 Having been duly sworn upon his oath, was
8 examined and testified as follows:

9 EXAMINATION

10 BY MR. KELLAHIN:

11 Q. Would you, please, state your name and
12 occupation?

13 A. My name is Mark Majcher. I'm a
14 reservoir engineer with Conoco, Incorporated, in
15 Midland Texas.

16 Q. Mr. Majcher, have you on prior
17 occasions testified before the Division?

18 A. No, sir, I have not.

19 Q. Summarize for us your education.

20 A. I have a bachelor's degree and a
21 master's degree in petroleum and natural gas
22 engineering.

23 Q. In what years?

24 A. 85 and 89 respectively.

25 Q. From what institute?

1 A. The Pennsylvania State University.

2 Q. Both degrees from that university?

3 A. That's correct.

4 Q. Summarize for us your employment
5 background as a petroleum engineer.

6 A. I spent four years working with
7 Conoco. My first two years were spent in the
8 reservoir study group in Houston, Texas. And the
9 two additional years were spent in Hobbs, New
10 Mexico, and Midland, Texas, also in reservoir
11 engineering capacity.

12 Q. Do part of your duties as a reservoir
13 engineer include making engineering studies for
14 production in the Dagger Draw Reservoirs?

15 A. Yes, sir.

16 Q. Have you worked in conjunction with Mr.
17 Hardie to make an evaluation of Yates'
18 application before the Examiner this afternoon?

19 A. Yes, sir, I have.

20 Q. Based upon that study have you reached
21 certain conclusions and opinions?

22 A. Yes, sir, I have.

23 MR. KELLAHIN: I tender Mr. Majcher as
24 an expert petroleum engineer.

25 EXAMINER CATANACH: He is so qualified.

1 Q. (BY MR. KELLAHIN) Let me ask you to
2 turn to Exhibit No. 6 and identify that for me.

3 A. Yes, sir. Exhibit 6 is a production
4 history plot of the Conoco operated Preston
5 Federal No. 1, the gas well located in South
6 Dagger Draw. The Preston Federal No. 1 is the
7 oldest well in the area. It has the most data.
8 And, as we can see from the plot, this well has
9 had a long production life and sustained rates.

10 The gas is outlined in red, the water
11 in blue, and the condensate in green.

12 Q. Have you examined the data that is
13 available for this well to satisfy yourself that
14 it is accurate and correct?

15 A. Yes, sir.

16 Q. Can you determine from the performance
17 of this well that it is in fact a gas well?

18 A. Based on the fact that it produces
19 about 8 to 10 barrels of condensate a day and 1.5
20 million cubic feet of gas a day, I would say it
21 is a gas well, yes.

22 Q. Do you concur with the other three
23 experts that have testified ahead of you that the
24 Yates well location is in all probability going
25 to be a gas well?

1 A. Yes.

2 Q. When you have information from the
3 Preston Federal No. 1, as you do here, how have
4 you utilized it in analyzing the impact that
5 Yates' application will have on Conoco's interest
6 in this area? What did you do?

7 A. Well, I utilized the available data
8 from the Preston Federal 1 to show that gas wells
9 in South Dagger Draw have long production lives,
10 sustained rates, and they drain large areas,
11 which we will go into in a second.

12 Q. Do you find that these wells are going
13 to drain areas such that the well location for
14 the Yates well will have a drainage area that
15 will extend beyond its spacing unit?

16 A. Yes, sir.

17 Q. In analyzing the drainage area have you
18 prepared a P over Z versus "cum" plot of the
19 performance of the Preston Federal 1 well?

20 A. Yes, sir, I have. That's shown as
21 Exhibit 7.

22 Q. Why did you want to do that?

23 A. Well, the reason I wanted to do this is
24 to get a good estimate of the estimated ultimate
25 recovery for the Preston Federal 1 to use in my

1 volumetric drainage calculations. P over Z
2 versus cumulative gas plot is pretty much an
3 industry standard for doing that.

4 Q. Have you satisfied yourself that you
5 have enough pressure points over time to
6 establish a reliable decline curve from which to
7 extrapolate ultimate recovery for the well?

8 A. Without a doubt, even though there are
9 only four pressure points, those are spaced over
10 20 years and 4 Bcf worth of production, and they
11 do follow a straight line, which would indicate
12 that this well behaves volumetrically, i.e., no
13 significant water influx.

14 Q. With that information then what did you
15 do?

16 A. I took the estimated ultimate recovery
17 from the Preston Federal 1 along with numerous
18 other volumetric parameters and determined the
19 drainage area and radius from which the Preston
20 Federal 1 drains the reservoir.

21 Q. Let me turn now to Exhibit 8, and that
22 is your display of those parameters and the
23 drainage calculation?

24 A. That's right. This exhibit outlines
25 the data and methodology for that calculation.

1 Q. What's the end conclusion about the
2 calculation?

3 A. The end conclusion is that South Dagger
4 Draw gas wells do drain far more than 320 acres.
5 More likely 575 to 640, 650, something like that.

6 Q. Why is that information important to
7 you in analyzing what to do with regards to the
8 Yates' application for their unorthodox gas well
9 location?

10 A. Well, it's important to me to see that
11 their proposed location will undoubtedly drain
12 more than their fair share of Conoco reserves
13 from the orthodox location because there is such
14 a large drainage radius associated with these
15 wells.

16 Q. Let me ask you to turn to Exhibit No.
17 9. Would you identify and describe that exhibit?

18 A. Yes. This is a plot of pressure
19 history comparison between the Conoco-operated
20 Preston Federal 1 and the Yates-Mojave No. 1.
21 The Preston Federal No. 1 had an initial pressure
22 of approximately 2800 PSI, while the Mojave No. 1
23 shows an initial pressure of 2100 PSI.

24 Now, my conclusion is the only way that
25 the initial pressures could be so significantly

1 different is by pressure depletion from the
2 Preston Federal No. 1 on the Mojave No. 1. And
3 this is graphically illustrated in Exhibit No. 2
4 where we have drawn the theoretical drainage
5 radius from my calculation and placed it on the
6 map.

7 Q. Looking at Exhibit 9 you have the
8 pressure data over time on the Preston Federal?

9 A. Uh-huh.

10 Q. That is a reported pressure that is
11 measured in the well?

12 A. That's right. Static bottomhole
13 pressure.

14 Q. This is bottom reservoir pressure?

15 A. Reservoir pressure adjusted to a common
16 datum.

17 Q. Is that reliable information from which
18 to determine reservoir pressure?

19 A. Yes, sir.

20 Q. And Preston Federal 1 produces over
21 20-some years' period?

22 A. Right.

23 Q. The Mojave 1 is drilled, tested, and a
24 pressure measurement is taken on that well?

25 A. Right.

1 Q. And what did you find?

2 A. I found that the initial pressure from
3 the Mojave was significantly less than the
4 initial pressure from the Preston Federal
5 indicating to me that pressure depletion had
6 occurred because of the large drainage area.

7 Q. Was there any other well within this
8 area of the pool that can explain the pressure
9 depletion of the reservoir other than the Preston
10 Federal 1 well?

11 A. No.

12 Q. You've then taken that information and
13 you've scribed a circle on one of Mr. Hardie's
14 displays to give a visual reference, Exhibit No.
15 2?

16 A. That's correct.

17 Q. As to allays the theoretical area that
18 would have been affected by the Preston 1 well?

19 A. That's correct.

20 Q. Have you developed a recommendation to
21 the Examiner for a penalty to be imposed upon the
22 Yates well in order to balance the equities
23 between the parties?

24 A. Yes, we have. We've determined what we
25 believe is a fair and meaningful penalty.

1 Q. All right. Before we talk about your
2 penalty, let's talk about Yates' proposed
3 penalty.

4 A. Uh-huh.

5 Q. It had several components. The first
6 two of which were the distance encroachment
7 factors, north, south, east, west?

8 A. That's correct.

9 Q. In addition, Mr. McWhorter had factored
10 in the excess theoretical drainage area in the
11 double circle --

12 A. That's correct.

13 Q. -- business. Okay. Then he had
14 averaged all of those and come up with his 21
15 percent penalty. And then he proposed to apply
16 that to the top gas producing allowable of 14
17 million?

18 A. Correct.

19 Q. All right. Where in that analysis do
20 you and he have differences?

21 A. The difference would be in the drainage
22 radius of the wells. He states that it would
23 drain 320 acres, and I believe without a doubt it
24 would drain a much larger area.

25 Q. In terms of your proposed penalty, have

1 you factored in a component to the penalty that
2 equates to what Mr. McWhorter used when he had
3 the double circle?

4 A. Have we specifically factored in a
5 drainage penalty?

6 Q. Yes.

7 A. No, sir. The drainage would be
8 factored in based on footage encroachment.

9 Q. All right. So you have used that
10 parameter to balance the drainage question?

11 A. Right.

12 Q. What else have you done?

13 A. We added an additional penalty based on
14 the fact that 50 percent of the Yates proration
15 unit contains unproductive pay.

16 Q. How did you make that determination?

17 A. By looking at the isopach maps that
18 were available to us and seeing that, where the
19 position of the zero line is, that approximately
20 50 percent of that 320 proration unit contains
21 nonproductive pay.

22 Q. We'll go through the calculation in a
23 minute. Do you have a recommendation to the
24 Examiner as to what to calculate that penalty
25 against?

1 A. Yes, sir.

2 Q. What is it?

3 A. Since even the best of wells out there
4 do not come anywhere close to the 14 million a
5 day allowable, it seems fair and just to apply
6 that to a 24-hour official potential test to
7 protect Conoco rights against drainage.

8 Q. Why is that better than Mr. McWhorter's
9 proposed penalty?

10 A. I believe it presents a more meaningful
11 and fair penalty.

12 Q. Let's go now to Exhibit 10 and have you
13 take us through your calculation and the penalty
14 formula that you're recommending.

15 A. Steps 1, 2, and 3 are identical to the
16 penalty presented by Yates Petroleum. We
17 determined two encroachment factors: One towards
18 the south in which the encroachment is 300 foot,
19 or 45 percent penalty. And the second
20 encroachment is to the east where the
21 encroachment is 100 feet, or 15 percent penalty.

22 Conoco is content to use the simple
23 average to arrive at the overall encroachment
24 penalty, which would be 30 percent.

25 Q. All right. If you stop there, under

1 this methodology, then by averaging these
2 factors, a well could move to the corner of its
3 spacing unit and still not reach a maximum 100
4 percent penalty?

5 A. That's correct.

6 Q. The arithmetics of doing this averaging
7 will not penalize the well in direct relationship
8 to its distance to that line?

9 A. Right. Correct.

10 Q. You get to average both dimensions?

11 A. That is correct.

12 Q. What then did you do?

13 A. Then we applied an additional 50
14 percent penalty based on the fact that 50 percent
15 of the 320-acre proration unit contains
16 nonproductive pay.

17 We feel that these two factors, the
18 nonproductive pay penalty and the encroachment
19 factor, are completely unique and unrelated.
20 Therefore, a simple average would not work
21 because it dilutes the penalty. We feel they
22 should be compounded.

23 Q. If you took the productive acreage
24 portion of the calculation and averaged that
25 rather than compounded it, what would the penalty

1 be?

2 A. I believe it comes out to be about 40
3 percent or slightly less, 37 percent, if you
4 average all three.

5 Q. And your recommendation then is not to
6 average that last factor but to compound it?

7 A. That's right.

8 Q. And to finish the calculation then,
9 it's a 65 percent penalty, which you have
10 translated into a .35 producing allowable factor
11 for a well with a full acreage?

12 A. That's correct. After the encroachment
13 factor, you will have essentially a 70 percent
14 allowable. If you multiply that by 50 percent
15 for the nonproductive pay, it results in a 35
16 percent penalty factor or 65 percent penalty.

17 Q. Will a penalty of this range afford
18 Conoco an opportunity and the time necessary to
19 go back into the Preston 4, recomplete that well,
20 and attempt to recover the gas reserves
21 underlying your spacing unit before Yates gets
22 those gas reserves?

23 A. If the penalty is applied to an
24 official potential test, yes, it will.

25 Q. Will a penalty of that range, applied

1 as you propose, afford Conoco an opportunity to
2 drill and complete its well in the east half of
3 34 before Yates gets those reserves?

4 A. Yes, sir, it will.

5 MR. KELLAHIN: That concludes my
6 examination of this witness. Exhibit Nos. 6
7 through 10.

8 EXAMINER CATANACH: Exhibits 6 through
9 10 will be admitted as evidence.

10 EXAMINATION

11 BY MR. CARROLL:

12 Q. Would you pronounce your name for me
13 one more time?

14 A. Mark Majcher.

15 Q. Majcher?

16 A. Rhymes with "nature."

17 Q. That's better when you give me a
18 rhyming sound. I might make it through this
19 examination.

20 All right. Mr. Majcher, let's start in
21 a general vein, and would you share with me what
22 your concept is of the purpose of this penalty?
23 Is it to try to equalize, when assessed, the
24 producing capabilities of producing wells, or is
25 it to be in the nature of a penalty which bears

1 with it such consequences that it will prevent
2 like actions happening in the future?

3 In other words, the penalty is, like I
4 described in the second case, is much like what
5 we use in criminal law; it has some sort of
6 prohibitive effect?

7 A. No, I don't believe we're trying to
8 keep anybody from drilling a well. What we're
9 trying to do is protect Conoco rights, and we
10 feel this is the best formula we have to do that.

11 Q. In other words, at least within the
12 definition of correlative rights that we operate
13 under in New Mexico, is that both parties should
14 have a right to produce what they would normally
15 produce, everything being equal, everybody having
16 a well down, that sort of thing?

17 A. Sure.

18 Q. Okay. Now, with respect to the two
19 wells Yates has proposed, the orthodox location
20 well and the unorthodox location well, let's talk
21 generally for a moment about those two wells.

22 Are you aware of anything, based on any
23 scientific evidence available to you, which says
24 that if we drilled a well at the orthodox
25 location and we drilled a well at the unorthodox

1 location that the well at the unorthodox
2 location, with everything being the same and
3 equal, would drain more acreage than the well at
4 the orthodox location? Or would there --

5 A. But everything is not the same because
6 the unorthodox location has moved further to the
7 southeast encountering thicker pay and thereby
8 draining larger volumes.

9 Q. Well, how much thicker pay are you
10 saying that this location is going to encounter?

11 A. I don't have an exact number on that,
12 but it's obviously greater.

13 Q. Have you, in this formula that you gave
14 us for your penalty calculation, calculated in or
15 factored in the difference between the two pay
16 zones as one of the factors?

17 A. In terms of drainage?

18 Q. Yes.

19 A. The drainage penalty is factored into
20 the footage penalty. The footage encroachment
21 penalty.

22 Q. But are any of the factors used based
23 upon your perceived advantage of the unorthodox
24 well having a thicker pay?

25 A. I think that would result in a more

1 aggressive penalty. But to answer your question,
2 no.

3 Q. Okay. That's what I needed. All
4 right. Now, you saw the exhibits that Mr.
5 McWhorter prepared, and they were basically the
6 exhibits which located the two proposed well
7 sites, the orthodox and the unorthodox?

8 A. That's correct.

9 Q. And he then superimposed upon them two
10 drainage circles. You're familiar with that?

11 A. Yes, sir.

12 Q. And in fact that is a very common and
13 accepted practice for showing drainage with
14 respect to a particular well location?

15 MR. KELLAHIN: Objection. I'll take
16 issue with that. That's argumentative whether
17 it's a customary practice to do this.

18 MR. CARROLL: I think it's well within
19 his expertise.

20 EXAMINER CATANACH: Customary for who?

21 Q. (BY MR. CARROLL) Customary for
22 petroleum engineers that practice in the field as
23 you do.

24 A. Is it customary to draw 320-acre
25 drainage radiuses around the 320-acre prorated

1 well?

2 Q. Well, let's be even more general. The
3 custom of drawing circles, whatever you decide to
4 draw it in, the size, but to do it in that
5 fashion.

6 A. Let me clarify what you're asking.
7 You're asking, do you draw your drainage radiuses
8 as circles?

9 Q. Yes. That's the more general, and
10 that's where I'd like to start with.

11 A. Without any additional data, I think it
12 is typical to use a simple radial model to draw
13 your radiuses, yes.

14 Q. All right. Now -- and in fact you've
15 probably done it this way, haven't you, Mr.
16 Majcher?

17 A. In the past?

18 Q. Yes.

19 A. Sure.

20 Q. Now, if you have a well that's going to
21 be draining an area -- and what I think your
22 testimony is, that these wells drain extremely
23 large areas -- you have no disagreement with the
24 statement that wells in this area if they're gas
25 wells drain much more than a 320-acre proration

1 unit; that they have that capacity?

2 A. That's right.

3 Q. And in fact you think that's what's
4 happened out there, especially based upon your
5 comparisons of the Mojave and the Preston 1 well?

6 A. That's correct.

7 Q. Now, if the two wells, the unorthodox
8 well we're proposing and the orthodox well also
9 in Section 34, if the pay is relatively similar
10 and you have -- this is basically hypothetical,
11 but we're assuming that all of those
12 characteristics are the same -- the well at the
13 orthodox location would in fact drain under your
14 analysis -- would it drain gas outside of its
15 320-acre proration unit?

16 A. From the orthodox location?

17 Q. From the orthodox location.

18 A. Yes, it would, not as much as an
19 unorthodox location.

20 Q. But it would drain oil and -- excuse
21 me, gas from the east half of Section 34, the
22 nonstandard Section 35, and the nonstandard
23 Section 34?

24 A. Sure.

25 Q. Now, if the unorthodox well were

1 drilled and it was for purposes of this
2 hypothetical, basically the same kind of well,
3 same capabilities, it likewise would drain area
4 larger than the ascribed 320-acre proration unit?

5 A. It would drain -- yes, it would drain
6 larger than 320, but it would drain more than the
7 orthodox location.

8 Q. That's right. And the difference when
9 we -- and I'm assuming you're using the word
10 "more" as the difference and that's my intent --
11 the difference between the two would be just as
12 this example in Exhibit 5 that Mr. McWhorter did,
13 when you draw the overlapping circles, whether
14 you draw it on a 320-acre basis or 570-acre
15 basis, as long as you draw the circle the same
16 way for both wells, unorthodox and orthodox,
17 you're going to get a relationship.

18 The unorthodox location well is going
19 to be a little bit farther to the south here and
20 to the east and west than the orthodox; is that
21 correct?

22 A. That's right.

23 Q. And the difference in drainage is going
24 to be that area between those two circles?

25 A. That is correct.

1 Q. That's the "more" that we're talking
2 about?

3 A. That is correct.

4 Q. And it's this "more" that really Yates
5 is getting by moving from orthodox to unorthodox?

6 A. Sure.

7 Q. Okay. So that is in effect, at least
8 without putting a number on it and quantifying
9 it, but at least a conceptual idea, that's what
10 we're looking at as the unfair advantage Yates is
11 gaining?

12 A. One of the unfair advantages.

13 Q. What other unfair advantages do you
14 have in mind, Mr. Majcher?

15 A. Well, as we stated in the penalty, they
16 should be assessed a penalty for having 50
17 percent nonproductive pay in the proration unit.

18 Q. Well, Mr. Majcher, is there any -- do
19 you know of a single proration unit in the state
20 of New Mexico that is assessed a penalty based on
21 the fact that it does not have productive acreage
22 within its assigned proration unit?

23 A. I have seen a penalty like that. I
24 cannot cite the case, but I have seen the penalty
25 somewhere in New Mexico based on that.

1 Q. Do you know what the circumstances
2 were?

3 A. I believe it was a similar penalty
4 based on nonproductive pay.

5 Q. Well, with respect to the field, was it
6 an associated gas pool, Mr. Majcher?

7 A. I do not know that, no, sir.

8 Q. In fact, you recited a penalty in No. 4
9 under your exhibit No. 10. It says, "Percent
10 penalty obtained from Yates map exhibit in case
11 1108." Now, that particular case dealt with a
12 Morrow well in a gas pool rather than an
13 associated gas pool; is that correct?

14 A. The only thing we used from that case
15 was their map from the Cisco dolomite, which we
16 we felt we'd use to avoid controversy.

17 Q. Are you saying that is where you drew
18 -- the geologists got these lines of elevation
19 for the dolomite?

20 A. No. Our geologist has his own maps.

21 Q. I'm sorry. I didn't understand what
22 you said you obtained from that case.

23 A. You're asking why we used the Yates map
24 exhibit to determine our 50 percent penalty?

25 Q. Well, I'm wondering what you obtained

1 from the exhibit. Did you obtain some contour
2 lines for geological purposes, or did you get a
3 penalty?

4 A. We obtained the contour lines, which we
5 assessed the penalty on.

6 Q. So really this penalty that you're
7 trying to -- didn't find its basis in this case;
8 it's just some contour lines which you used to
9 find its basis in that case?

10 A. We used the map to assess the
11 nonproductive acreage, yes.

12 Q. Was a penalty assessed in that case?

13 A. No, sir, not to my knowledge.

14 Q. So there was no penalty assessed on the
15 basis of nonproductive acreage in that case?

16 A. No, sir. All we did was use their map
17 to determine our own penalty for this particular
18 case.

19 Q. When you say under No. 4, "percent of
20 proration without productive pay," how do you
21 define productive, Mr. Majcher?

22 A. Well, where the dolomite pinches out to
23 the zero contour line. Both the geologists have
24 stated that beyond that you have tight seely
25 limestone that's nonproductive. And that's how I

1 define nonproductive.

2 Q. Well, hasn't in the past Conoco
3 actually perforated the limestone lying above the
4 dolomite in this North Dagger Draw Field?

5 A. Not as a general practice, no.

6 Q. But they have done it?

7 A. It has been done once or twice in the
8 past, yes, sir.

9 Q. So at least Conoco has in the past
10 defined productive as something beyond the
11 dolomite?

12 A. I wouldn't necessarily say that since
13 we perf'd the limestone that it was productive.
14 We had gas shows from the limestone. It's
15 extremely tight and in my opinion nonproductive.

16 Q. But still Conoco as a business decision
17 decided to open that up to allow gas to be
18 produced; isn't that correct?

19 A. In one or two particular cases, yes,
20 but it was most likely a blanket job where we
21 accessed the top of the dolomite as well.

22 Q. Can you -- or do you have any
23 information at your hand to say absolutely that
24 there is no gas to be found outside of the south
25 half or the bottom half of this west half of

1 Section 34?

2 A. I can only say that I know from my
3 experience that we don't routinely perforate the
4 limestone on purpose and that it doesn't have the
5 porosity and vugular development that the
6 dolomite has.

7 Q. But you cannot rule it out?

8 A. I suppose not. I wouldn't shoot it,
9 though, or drill for it.

10 Q. In looking at this the way that you
11 have applied this productive, you've come in and
12 made the determination that 50 percent of this
13 west half of Section 34 is productive; is that
14 correct?

15 A. That's correct.

16 Q. Why didn't you apply the 50 percent
17 penalty to the 14 million that Mr. Kellahin and
18 Mr. McWhorter described? Because if the well
19 were productive over 320, under the current field
20 rules they could produce 14 million.

21 Why shouldn't you just take the 50 off
22 of that, get 7 million, and then apply the 23 or
23 30 percent penalty? What's wrong with that
24 methodology?

25 A. Because I do not feel that it provides

1 a meaningful and just penalty.

2 Q. In other words, a meaningful and just
3 penalty is not one to equalize the rights of
4 production but to penalize Yates for doing what
5 it seeks to do?

6 A. Well, if we worked a penalty that way,
7 it's my opinion that the well would never be
8 penalized because those wells in that area only
9 produce 1.3 to 1.8 million cubic feet of gas a
10 day.

11 Q. Mr. Majcher, is there a rule that you
12 ascribe to that position that for a penalty to be
13 meaningful it has to hurt the well?

14 A. That is the general definition of a
15 penalty.

16 Q. I thought we ascribed to the fact that
17 a penalty should be used to allow wells to
18 produce equally, take away the advantage that one
19 would have by moving to another well.

20 MR. KELLAHIN: I'm going to object to
21 this, Mr. Examiner. I've been patient, but I
22 don't think the cross-examination is very
23 meaningful at this point. It's leading us
24 nowhere.

25 MR. STOVALL: I think, well, with

1 regard to that specific question, I think it was
2 asked and answered early on. I don't know how
3 helpful it's going to be.

4 At this point I guess I would advise,
5 Mr. Examiner, that we probably could get a little
6 more focused on here to get you some useful
7 information to make a decision. I think it's
8 pretty clear that there's a difference in
9 philosophy between Yates and Conoco.

10 And I think unless the Examiner
11 expresses some concern about not understanding
12 that difference, I think we need to -- I think
13 we've got that information.

14 Q. (BY MR. CARROLL) Mr. Majcher, let me
15 then ask this question. Are you aware of a
16 single well in the North or South Dagger Draw
17 Field that have been assessed a penalty based on
18 their absolute open flow?

19 A. In Dagger Draw, no, sir.

20 Q. You were present and heard Mr.
21 McWhorter's statements concerning how he figured
22 the allowable for a well based upon his
23 interpretation of the pool rules?

24 A. Yes.

25 Q. Did you find anything wrong with the

1 way in which Mr. McWhorter described the rules
2 and their application?

3 A. Are you asking if I understand the pool
4 rules?

5 Q. What I'm asking is, as you heard what
6 Mr. McWhorter stated, as far as his
7 characterization of the rules --

8 MR. STOVALL: Let me help you with
9 this, Mr. Carroll. Would you agree with the
10 method by which Mr. McWhorter calculated the
11 allowable under the rules --

12 THE WITNESS: Under the rules?

13 MR. STOVALL: -- for a 320-acre spacing
14 unit?

15 THE WITNESS: Yes, I would agree.

16 MR. STOVALL: Would you come up with
17 the roughly 14 million number that he did?

18 THE WITNESS: Yes, sir.

19 MR. STOVALL: Is that what you're
20 trying to get to, Mr. Carroll?

21 MR. CARROLL: That was, Mr. Stovall.

22 MR. STOVALL: While Mr. Carroll is --
23 let me go ahead and just ask the same question I
24 asked your geologist. Number one --

25 MR. CARROLL: Could I take just a

1 minute? I need to get something clarified that
2 I'm having trouble understanding. Would you mind
3 me stepping out and getting that clarified?

4 MR. STOVALL: If you don't mind, I'd
5 like to go ahead and ask the questions.

6 MR. CARROLL: I'd like for you to too.

7 EXAMINATION

8 BY MR. STOVALL:

9 Q. First question is given that the BLM
10 has said you can't drill in an orthodox location,
11 what would be your recommendation to your
12 company?

13 A. I would place the well in an unorthodox
14 surface location and directionally drill the well
15 to an orthodox bottomhole location.

16 Q. Is that also because you can predict a
17 downhole motor better than you can predict us?

18 A. Well.

19 Q. You don't have to answer that question.

20 A. A discussion with our drilling
21 department indicates that it would not be a
22 difficult task and would not be an expensive
23 task.

24 Q. Given that you could do that, would the
25 -- I mean, you would not apply then a productive

1 acreage penalty of any sort into that situation;
2 right? You'd be able to produce whatever the
3 well was capable of essentially, assuming there
4 was no top allowable wells out there; correct?

5 A. I assume so, yes.

6 Q. I guess the question I have is why,
7 when you move a portion of the distance, does all
8 of a sudden the productive acreage have something
9 to do with -- if the wells were required to be
10 closer to the center of a tract, I could see
11 that. But when you can already get to 660 --

12 A. Well, I'm not sure that if this had
13 been drilled originally as an orthodox location
14 if this issue would have come to light.

15 Q. I don't think it would have because
16 there would have never been a hearing.

17 A. Exactly. That's the reasoning why I
18 would say that no 50 percent penalty would be
19 assessed.

20 Q. I mean, there's implicit in the Conoco
21 position that perhaps allowables should be based
22 upon productive acreage. And if an entire
23 proration unit is not productive, then the
24 allowable for that in a prorated pool ought to be
25 reduced by some --

1 A. Well, let me go back on what I said
2 earlier. Thinking about it now, I would assign a
3 50 percent penalty because, since the fairway
4 pinches out, any drainage would be towards Conoco
5 acreage.

6 Q. What legal method would you use to
7 assign a penalty to an orthodox location?

8 A. I don't know that. But --

9 Q. In other words, you'd have to use a
10 productive acreage allowable compilation.

11 A. Exactly.

12 MR. STOVALL: Okay. I got all the
13 answers I need.

14 MR. CARROLL: Just a couple more
15 questions, Mr. Majcher.

16 FURTHER EXAMINATION

17 BY MR. CARROLL:

18 Q. If we had wells drilled on all of these
19 sections, 34, 35, the east of 34, and as each of
20 these wells began to produce, their area of
21 influence gradually works outward and away from
22 the wellbore; is that correct?

23 A. That's correct.

24 Q. And if and in fact let's say we have
25 two wells that go on line at the same time, and

1 at some point in time their areas of drainage in
2 effect are going to collide, aren't they?

3 A. Somewhere, yes.

4 Q. They're not going to overlap; they
5 actually collide and there will become an area of
6 no flow?

7 A. That's correct.

8 Q. Okay. Now, let us suppose that we have
9 two wells --

10 A. That is supposing that everything is
11 equal.

12 Q. But even if there are factors that are
13 unequal, all that does is affect the position --

14 A. The position.

15 Q. -- the position of the no flow?

16 A. That's correct.

17 Q. The concept of the barrier being
18 created at some time, that's pretty well
19 accepted, though, within the field of petroleum
20 engineering?

21 A. Sure.

22 Q. Okay. Now, let us suppose we have a
23 well that goes on five years before this other
24 well. It's fairly axiomatic that this barrier or
25 no flow area is going to be closer to the newer

1 well than the older well because the older well
2 has produced longer and has had a longer time to
3 affect areas; is that correct?

4 A. Uh-huh.

5 Q. And it's your testimony that this well
6 in Section 35, the Preston 1, already has, in
7 effect, affected considerable distance, hasn't
8 it?

9 A. Yes, it has.

10 Q. And since we have two wells already
11 producing, the Mojave 1 and the Preston 1, and
12 the Mojave is comparable to the Preston 1 -- and
13 you would probably predict the same kind of life
14 for it that's been experienced in this Preston,
15 wouldn't you?

16 A. Uh-huh.

17 Q. The fact that we now, let's say we
18 drill at this point in time, some 20 years after
19 the Preston well at the unorthodox location, this
20 area of no flow is not going to be equidistance
21 between the Diamond AK well and the Preston well
22 or equidistance between the Diamond and the
23 Mojave, but it's going to be different -- it will
24 be closer to the Diamond than any of these wells,
25 but it will be based on the actual drainage

1 that's gone on before?

2 A. That is correct.

3 Q. Did you factor in and take into account
4 that difference in time and the effect that it
5 will have on the drainage in coming up with your
6 calculation?

7 MR. KELLAHIN: Objection to the
8 question. That has no relevance or bearing to
9 your decision. Correlative rights is the
10 opportunity to protect yourself.

11 And we don't adjust acreage factors or
12 penalties based upon the fact that one well was
13 there in point of time before the other. This
14 simply makes no sense and adds nothing to the
15 discussion.

16 MR. CARROLL: It does find out what he
17 cranked in and what he didn't crank in. And
18 that's all I asked him.

19 MR. STOVALL: I think he can say yes or
20 no. I don't know how much further you need to go
21 with it. I guess you can say yes or no: Did you
22 talk about the existing -- think about the
23 existing area of influence and drainage from
24 existing wells?

25 THE WITNESS: Again the only drainage

1 factor in our penalty is the footage encroachment
2 factor.

3 Q. (BY MR. CARROLL) So there were no
4 other variables then cranked into your analysis?

5 A. We feel that the footage encroachment
6 factor factors in any potential drainage for the
7 penalty formula.

8 MR. CARROLL: I have no other
9 questions.

10 EXAMINER CATANACH: Tom, anything
11 else?

12 MR. KELLAHIN: No, sir.

13 EXAMINER CATANACH: Bob?

14 MR. STOVALL: No. Do you?

15 EXAMINER CATANACH: I don't think so.
16 No, I don't.

17 MR. KELLAHIN: That concludes our
18 presentation, Mr. Examiner.

19 Mr. Examiner, you've heard hundreds of
20 these cases. I don't think I can add anything to
21 the discussion that is going to help you decide
22 what to do. I propose to take the case under
23 advisement, and I'll waive closing statement.

24 MR. CARROLL: I will do likewise.

25 EXAMINER CATANACH: Okay. There being

1 nothing further, Case 10519 will be taken under
2 advisement, and this hearing is adjourned.

3 [And the proceedings were concluded.]
4
5
6
7
8
9
10
11
12

I do hereby certify that the foregoing is
a complete record of the proceedings in
the Examiner hearing of Case No. 10519,
14 heard by me on August 20 1992.

15 David R. Cotnam, Examiner
16 Oil Conservation Division
17
18
19
20
21
22
23
24
25


1 CERTIFICATE OF REPORTER

2
3 STATE OF NEW MEXICO)
4 COUNTY OF SANTA FE) ss.
5

6 I, Debbie Vestal, Certified Shorthand
7 Reporter and Notary Public, HEREBY CERTIFY that
8 the foregoing transcript of proceedings before
9 the Oil Conservation Division was reported by me;
10 that I caused my notes to be transcribed under my
11 personal supervision; and that the foregoing is a
12 true and accurate record of the proceedings.

13 I FURTHER CERTIFY that I am not a
14 relative or employee of any of the parties or
15 attorneys involved in this matter and that I have
16 no personal interest in the final disposition of
17 this matter.

18 WITNESS MY HAND AND SEAL AUGUST 28,
19 1992.
20

21
22 

23 _____
24 DEBBIE VESTAL, RPR
25 NEW MEXICO CSR NO. 3

**NEW MEXICO OIL CONSERVATION COMMISSION
EXAMINER HEARING
SANTA FE, NEW MEXICO
AUGUST 20, 1992 -- 8:15 A.M.**

NAME	REPRESENTING	LOCATION
KEITH LOGAN	BTA	MIDLAND
D. Sully	Yates Pet Corp	Artesia
Maurice Ramirez	Byram Co.	SF
Joe Fitzgerald	Nearburg	Midland
W. Kelluhn	Kelluhn + Kelluhn	SANTA FE
Jerry Hoover	Conoco	Midland TX
William Hardie	Conoco	Midland TX
MARK MASCHER	CONOCO	MIDLAND TX
BRIAN PEY	CONOCO	MIDLAND TX
MIKE BURCH	YATES PETRO. CORP.	ARTESIA, N.M.
Paul Cooter	McKenzie Methane	Santa Fe
James Bruce	Hinkle Law Firm	Santa Fe
Paul L. Cault	Loew Law Firm	Artesia
Yinson McWhorter	Yates Petroleum	Artesia
William K. Kelly	Empfall, Law, & Jenkins	Santa Fe

