

1 NEW MEXICO OIL CONSERVATION DIVISION

2 STATE LAND OFFICE BUILDING

3 STATE OF NEW MEXICO

4 CASE NO. 10521

5
6 IN THE MATTER OF:7
8 The Application of Union Oil Company
9 of California, d/b/a UNOCAL, for
10 termination of gas prorationing in
11 the South Blanco-Pictured Cliffs Pool,
12 Rio Arriba, Sandoval, and San Juan
13 Counties, New Mexico.

14 BEFORE:

15
16 MICHAEL E. STOGNER

17 Hearing Examiner

18 State Land Office Building

19 August 6, 1992

20
21
22 REPORTED BY:23 DEBBIE VESTAL
24 Certified Shorthand Reporter
25 for the State of New Mexico**ORIGINAL**

A P P E A R A N C E S

FOR THE APPLICANT:

CAMPBELL, CARR, BERGE & SHERIDAN, P.A.
Post Office Box 2208
Santa Fe, New Mexico 87504-2208
BY: WILLIAM F. CARR, ESQ.

FOR GAS COMPANY OF NEW MEXICO:

KELEHER & McLEOD, P.A.
Post Office Drawer AA
Albuquerque, New Mexico 87103
BY: H. WARD CAMP, ESQ.

I N D E X

Page Number

Appearances 2

WITNESSES FOR THE APPLICANT:

1. THOMAS W. ENGLER

Examination by Mr. Carr 6

Examination by Mr. Camp 43

Examination by Mr. Van Ryan 51

Further Ex. by Mr. Camp 64

Further Ex. by Mr. Van Ryan 68

Examination by Examiner Stogner 70

2. VICTOR D. LYON

Examination by Mr. Camp 71

Voir Dire Examination by Mr. Carr 72

Further Ex. by Mr. Camp 77

Examination by Examiner Stogner 92

Further Ex. by Mr. Carr 94

Certificate of Reporter 118

E X H I B I T S

Page Identified

1		
2		
3		
4	Exhibit No. 1	9
5	Exhibit No. 2	9
6	Exhibit No. 3	10
7	Exhibit No. 4	13
8	Exhibit No. 5	16
9	Exhibit No. 6	17
10	Exhibit No. 7	19
11	Exhibit No. 8	21
12	Exhibit No. 9	31
13	Exhibit No. 10	37
14	Exhibit No. 11	
15	Exhibit No. 12	9
16	Exhibit No. 13	41
17	Exhibit No. 14	42
18	Exhibit No. 15	26
19	[There was no Exhibit No. 16.]	
20	Exhibit No. 17	59

1 EXAMINER STOGNER: I'll call the next
2 case, No. 10521, which is the application of
3 Union Oil Company of California, doing business
4 as Unocal, for termination of gas prorationing in
5 the South Blanco-Pictured Cliffs Pool, Rio
6 Arriba, Sandoval, and San Juan Counties, New
7 Mexico.

8 Before I call for any appearances,
9 there was an advertisement glitch in the Observer
10 -- I think that's the Espanola Observer -- and
11 readvertisement will be required for August 20,
12 1992. However, I understand that all parties
13 concerned are ready to put on their testimony
14 today, and we're ready to receive it.

15 I call for appearances at this time.

16 MR. CARR: May it please the Examiner,
17 my name is William F. Carr with the Santa Fe law
18 firm, Campbell, Carr, Berge & Sheridan. We
19 represent UNOCAL. And we have one witness.

20 MR. CAMP: Mr. Examiner, I'm Ward Camp
21 of Keleher & McLeod of Albuquerque. I represent
22 Gas Company of New Mexico. And we have one
23 witness.

24 EXAMINER STOGNER: Are there any other
25 appearances in this matter?

1 Will the witnesses, please, stand to be
2 sworn at this time.

3 [The witnesses were duly sworn.]

4 EXAMINER STOGNER: Any need for opening
5 statements?

6 MR. CARR: I don't intend to.

7 MR. CAMP: No, sir.

8 EXAMINER STOGNER: Mr. Carr.

9 MR. CARR: At this time we call Mr.
10 Engler.

11 THOMAS W. ENGLER

12 Having been duly sworn upon his oath, was
13 examined and testified as follows:

14 EXAMINATION

15 BY MR. CARR:

16 Q. Will you state your full name for the
17 record, please?

18 A. Thomas Engler.

19 Q. How do you spell your last name?

20 A. E-n-g-l-e-r.

21 Q. Where do you reside?

22 A. In Socorro, New Mexico.

23 Q. Mr. Engler, by whom are you employed
24 and in what capacity?

25 A. I'm employed by UNOCAL as a petroleum

1 engineer.

2 Q. Have you previously testified before
3 the New Mexico Oil Conservation Division?

4 A. Not recently.

5 Q. Could you review your educational
6 background for Mr. Stogner, please?

7 A. In 1980 I received a BS in geology from
8 New Mexico Tech. In 1982 I received a petroleum
9 engineering degree from New Mexico Tech. And
10 just this year, May of 92, I received my master's
11 in petroleum engineering from New Mexico Tech.

12 Q. Could you review your work experience?

13 A. Between 82 and 89, for a period of
14 seven years, I worked for Marathon Oil in the
15 capacity of both a reservoir engineer and
16 production engineer.

17 Q. And then you left Marathon to go back
18 to school?

19 A. To go back to school, that's correct.

20 Q. Are you familiar with the application
21 filed in this case on behalf of UNOCAL?

22 A. Yes, I am.

23 Q. Are you familiar with the South
24 Blanco-Pictured Cliffs Pool?

25 A. Yes, sir.

1 Q. Have you made an engineering study of
2 this pool?

3 A. Yes.

4 Q. Are you prepared to make
5 recommendations today to the Division based on
6 your study concerning the continuation of
7 prorationing in the South Blanco-Pictured Cliffs
8 Gas Pool?

9 A. Yes, I am.

10 MR. CARR: We would tender Mr. Engler
11 as an expert witness in petroleum engineering.

12 EXAMINER STOGNER: Are there any
13 objections, Mr. Camp?

14 MR. CAMP: No objections.

15 EXAMINER STOGNER: Mr. Engler is so
16 qualified.

17 Q. (BY MR. CARR) Would you briefly state
18 what UNOCAL seeks with this application?

19 A. We are seeking an order to deprorate
20 the South Blanco-Pictured Cliffs Pool. We think
21 we have evidence to show that it is in the
22 advanced state of depletion and that it is a low
23 productivity pool.

24 Q. Have you prepared certain exhibits for
25 presentation here today?

1 A. I sure did.

2 Q. Are those exhibits in the booklet that
3 collectively has been marked UNOCAL Exhibit No.
4 12 in this case?

5 A. Yes.

6 Q. Could you refer to what has been marked
7 Exhibit 1 and is behind the tab that says
8 "Exhibit 1" in this book and identify and review
9 this for the Examiner?

10 A. Exhibit 1 is an outline of the entire
11 San Juan Basin. Highlighted on this exhibit is
12 the major Pictured Cliffs pools, as you can see
13 in the various colors.

14 Specifically you'll notice there's the
15 Blanco Pool, that's to the north, it's in green.
16 It has never been prorated. The South Blanco and
17 the Tapacito pools, which are in red and dark
18 blue, they are the only prorated PC pools today.

19 And the other four pools, Aztec,
20 Ballard Fulcher-Kutz, and West Kutz, were
21 deprorated in 1974.

22 Q. All right. Let's move to UNOCAL
23 Exhibit No. 2. Could you identify and review
24 that?

25 A. Exhibit 2 is similar to Exhibit 1. It

1 is outlining the entire San Juan Basin with the
2 highlighted Pictured Cliffs pools. Added to this
3 exhibit is the top of the Huerfanito bentonite
4 marker. And this marker reflects the structure
5 of the Pictured Cliffs Reservoir.

6 Q. How far off the Pictured Cliffs is the
7 Huerfanito bentonite marker?

8 A. It's a couple hundred feet below.

9 Q. Is this a commonly recognizable marker
10 across the basin?

11 A. Yes. This is what geologists use as a
12 marker bed, that's right.

13 Q. And when you use this, does it actually
14 reflect also the characteristics of the structure
15 in the Pictured Cliffs Formation?

16 A. Yes, sir, it does.

17 Q. When you get into your testimony later
18 concerning reservoir pressures, will you need to
19 refer back to this exhibit to relate pressure to
20 depth?

21 A. Yes. We will use this and refer back
22 to it in a little bit, yeah.

23 Q. Let's go to Exhibit 3. And would you
24 just identify for the Examiner the two pages in
25 Exhibit 3?

1 A. Exhibit 3-A is a list of the current
2 operators in South Blanco Pool. And this was
3 taken from the most recent proration schedule.
4 Exhibit 3-A, as you see, this is in alphabetical
5 order. Exhibit 3-B, again from the same source,
6 same operators, only now it is sorted by the
7 percentage of wells that they operate.

8 Q. And again this is from the -- what is
9 the source of this information?

10 A. This is from the latest proration
11 schedule.

12 Q. Has UNOCAL contacted these operators to
13 seek their support for your proposed application
14 or your application in which you propose the
15 deprorating of this field?

16 A. Yes. We sent a questionnaire to every
17 operator. And the -- no operators who responded
18 back opposed our plan. And of those operators
19 who support it, 70 percent -- they comprise 70
20 percent of the wells operating within the field.

21 We've also verbally discussed and had
22 no objections from another 15 percent of the
23 pool. So a total 85 percent have signified that
24 they approve our deproration plans.

25 Q. You have no operator in the pool who

1 has indicated that they oppose this application?

2 A. No one opposed the application.

3 Q. And you have contacted all of them?

4 A. We have contacted all of them, that's
5 right.

6 Q. Let's go initially and provide the
7 Examiner with some history on this pool. Could
8 you start by just reviewing when the pool was
9 created and the major regulatory events that have
10 occurred in the life of this pool?

11 A. The pool was created by Order R-156 in
12 1952. By December of 1954 by Order R-565, the
13 South Blanco, Fulcher-Kutz, and Aztec pools were
14 all prorated. One year later, March 1955, West
15 Kutz was prorated. And a year after that, in
16 July 1956, Ballard was prorated.

17 Q. Now, Mr. Engler, in the front of what
18 has been marked Exhibit 12 is a summary of your
19 presentation; is that correct?

20 A. That's right.

21 Q. It's behind the tab marked "Text"?

22 A. That's right.

23 Q. And the relevant orders affecting the
24 history of this pool are identified in the text;
25 is that correct?

1 A. That's right. It is all in the text.

2 Q. How many of these Pictured Cliffs pools
3 are still prorated?

4 A. Today only two.

5 Q. And what happened to the other pools
6 that were prorated earlier in their life?

7 A. Effective April 1974 and R-1670-R,
8 which is Exhibit 4 in the booklet, the Aztec,
9 Ballard, Fulcher-Kutz, and West Kutz were all
10 deprorated. This was -- OCD formed a Pictured
11 Cliffs proration committee to study
12 deprorationing in the Pictured Cliffs pools.

13 This committee then recommended
14 deprorationing of these four before-mentioned
15 pools as to be deprorated.

16 Q. Now, what rates were the wells in these
17 pools producing in 1974 at the time the Division
18 deprorated them?

19 A. They were -- production had declined to
20 less than 100 Mcf per day per well. Over the
21 majority of the wells in the pool averaged less
22 than 3000 Mcf per month. These criteria -- this
23 low productivity criteria was what the OCD found
24 as a reason to deprorate those pools and that
25 they thought it would not create waste or impair

1 correlative rights.

2 Q. Now, did this Pictured Cliffs proration
3 committee also evaluate South Blanco?

4 A. Yes, they did.

5 Q. And what did they conclude in regard to
6 this pool?

7 A. In the transcript, which is Case 5154,
8 they said that due to variances in pipeline
9 pressure that they would not deprorate the South
10 Blanco or the Tapacito pools.

11 Q. Now, put that situation, that is
12 variances in the pipeline pressures, could that
13 situation exist in this pool today?

14 A. I think not. Today the reservoir
15 pressure of Pictured Cliffs is very low. The
16 only way to produce these wells is in the low
17 pressure gathering systems that are in place.
18 These low pressure systems average about 150
19 pounds line pressure.

20 So in a sense the reservoir is what's
21 limiting control of production, and it's not the
22 pipelines today or the gathering systems today.

23 Q. So the concern that the Division raised
24 in Order R-1670-R no longer exists?

25 A. That's right.

1 Q. Has the Division considered in the past
2 drainage between Pictured Cliffs pools in the San
3 Juan Basin?

4 A. Yes, it did. In July 1982 in Order
5 R-7029, there was an attempt to combine the
6 Blanco Pool to the north with the South Blanco
7 Pool. This attempt was -- the OCD denied as a
8 matter of record. And they showed that the
9 engineering data demonstrated that no drainage
10 occurred between these pools. And they also
11 showed no evidence of waste or impairment of
12 correlative rights between these pools.

13 EXAMINER STOGNER: What was that order
14 number again? I'm sorry.

15 THE WITNESS: 7029.

16 EXAMINER STOGNER: Thank you.

17 Q. (BY MR. CARR) Now, generally, as a
18 result of your engineering study of the
19 reservoir, what conclusions have you reached?

20 A. I believe that this pool is a low
21 productivity pool. I also believe that it is in
22 an advanced state of depletion.

23 Q. How did you determine low productivity?

24 A. We used the source was the New Mexico
25 Annual Reports, and for low productivity compiled

1 annual gas production versus time for these seven
2 major Pictured Cliffs pools. And you can see
3 these in Exhibit 5 or 5-A through 5-G, which is
4 in this text.

5 Q. Let's go to 5-A and explain to the
6 Examiner what this actually shows.

7 A. These series of plots on the Y axis,
8 that's your annual gas production numbers on the
9 left side, versus time. And on the right side we
10 also have plotted your active well count for the
11 pool, for this -- first for Exhibit 5-A this is
12 for the Aztec pool. And the diamonds are the
13 active well numbers.

14 Also shown on these plots, like for
15 Aztec, is the beginning of deprorationing in
16 1974. You'll notice in all these plots that
17 after deprorationing there was no increase in
18 production. In fact, the majority of them
19 continued their normal decline after deprorating.

20 Q. Basically what these show is just
21 production profiles for these Pictured Cliffs
22 pools over the last 30 or 40 years?

23 A. Over, yeah, 40 years.

24 Q. Is the data that you have plotted also
25 contained in Exhibit No. 12?

1 A. Yeah.

2 Q. Is that located in what has been marked
3 Appendix A?

4 A. Yes, that's right. The tabulated data
5 for all this is in the back in Appendix A, that's
6 right.

7 Q. If we look at these, there's been a
8 relatively constant decline in each pool since
9 they peaked, oh, in the late 1950s?

10 A. I think what one can see from each one
11 of these plots is that these pools are old pools;
12 they've been producing for 40 years. Your
13 production has declined and is continuing to
14 decline. And, in fact, even if you look in each
15 one of these pools in 1983 and really hitting in
16 1986, you'll see a dramatic decline in
17 production.

18 Basically we think that's due to its
19 decline in price. And it was also a decline in
20 takes when El Paso was going through their GLA
21 lawsuits.

22 Q. Let's go to Exhibit No. 6. Could you
23 identify and review. Actually, before we do
24 that, you've got a plot for each of the Pictured
25 Cliffs pools behind the plot you reviewed for

1 Aztec-Pictured Cliffs?

2 A. That's right.

3 Q. Is there anything in particular that
4 you need to point out where any of these pools
5 differ from the general trends set by the Aztec
6 plot?

7 A. You can see where each one is -- where
8 the prorating occurred, they all declined to
9 some extent.

10 Q. Let's go then to Exhibit No. 6. Could
11 you identify and review this?

12 A. Exhibit 6, again, it's the same type
13 plot; only now what we're doing is we have South
14 Blanco production versus the sum of the
15 deprorated pools' production. There's a -- South
16 Blanco is of these PC pools the largest pool by
17 number of wells and largest in cum'd production.
18 But if you compare this productivity versus what
19 was deprorated in 74, you'll notice that it is
20 actually less production. It is a lower
21 productivity pool than the total of the pools
22 that were deprorated.

23 Also another way of looking at the low
24 productivity was by comparing the production of
25 South Blanco or of all these pools on a per well

1 basis. And this leads into Exhibit 7-A through
2 7-F.

3 Q. So Exhibit 6 basically just shows that,
4 although South Blanco is the largest pool, what
5 the Division did deprecating certain Pictured
6 Cliffs pools back in the 70s was as, in terms of
7 production, was as major an undertaking as
8 addressing Blanco would be?

9 A. Yes, that's right.

10 Q. South Blanco.

11 A. Yeah.

12 Q. Let's go to Exhibit 7. Identify and
13 review those.

14 A. Exhibit 7 is a series of graphs for the
15 pools. Only this time now the production is in
16 Mcf per day per well versus time. And what I
17 have here, I have South Blanco production plotted
18 as the solid line on each one of these plots
19 versus one of the other pools, like in the first
20 exhibit, it's Aztec versus South Blanco.

21 You'll notice on this one that the two
22 pools, the production decline per well almost
23 exactly matches. And in subsequent plots here
24 you'll notice that South Blanco, in several of
25 these, the decline matches and is less than or

1 sometimes equal or less than the others.

2 The production in 1974 for South Blanco
3 is 69 Mcf per day per well. Production today, or
4 actually the production in 1991, is now 24 Mcf
5 per day per well.

6 Q. So behind this initial plat you have
7 plats again that compare South Blanco to other
8 Pictured Cliffs pools in the basin?

9 A. Yes.

10 Q. If we go to the last page behind tab 7,
11 that's 7-G, could you identify and review that
12 for Mr. Stogner?

13 A. 7-G now is a summary of the rate data
14 for all these pools in 1973 and 1991. And you
15 can see highlighted within the area of South
16 Blanco, which is the numbers I just referred to,
17 the 69 and the 24, it meets the low productivity
18 criteria that was set in 1974 as a reason to
19 deprorate.

20 It also shows since 1973 we've had
21 subsequent decline in production annually for all
22 the pools and for South Blanco even more so. And
23 what results from this is basically a South
24 Blanco well is typically one of the lowest
25 producers in the San Juan Basin.

1 Q. Okay. Mr. Engler, you've now talked
2 about low productivity in this field. How did
3 you measure the status of reservoir depletion in
4 the South Blanco-Pictured Cliffs Pool?

5 A. For depletion I used again the New
6 Mexico Annual Reports, and I extracted from them
7 the shut-in wellhead pressures from the
8 deliverability tests. And from those you could
9 plot a shut-in wellhead pressure versus cum'd
10 production plot.

11 Using shut-in wellhead pressure, it is
12 an approximation, but since this pool is low
13 pressure, since it is shallow, it is a fairly
14 reasonable approximation. But the best
15 reasoning for the deliverability, using
16 deliverability data, is I needed a large
17 database. You want to try to find average
18 pressure within the whole pool. The only really
19 large database is your deliverability data that
20 you had in the past.

21 Q. And what was the source of this data?

22 A. This was New Mexico Annual Reports.

23 Q. Now, are these plots what have been
24 marked as UNOCAL Exhibits 8-A through 8-G?

25 A. That's correct.

1 Q. Could you go to those now and review
2 them for the Examiner?

3 A. Again, for each of these pools, you'll
4 see the shut-in wellhead pressure versus cum'd
5 gas production taken from this data. The only
6 points, the only data shown are years when the
7 percent of tested wells versus the active wells
8 was greater than 50 percent. This I thought gave
9 a better average for the total pool.

10 Again this is a standard practice of
11 measuring depletion. This is a standard practice
12 of finding gas in place is the pressure versus
13 "cum." And you can see the first one is Aztec,
14 and we can go through every pool again.

15 Q. Again each of these shows that the
16 pools have reached an advanced state of reservoir
17 depletion?

18 A. Yes. And -- that's correct.

19 Q. Let's go to what has been marked as
20 UNOCAL Exhibit, what would be 8-H. That's the
21 next-to-the-last page behind this tab, I believe?

22 A. It's the second one.

23 Q. It's third-to-the-last page. At the
24 top it's identified as "Depletion Analysis."
25 Could you go to that page, please, in this

1 exhibit booklet and review that for Mr. Stogner?

2 A. Yes. Again this will summarize all
3 this pressure data, all these plots into one
4 page. The top table, each column you have your
5 initial gas in place estimate. Production is 73,
6 your percent recovery at 73, your production
7 through 91, and your percent recovery in 91.

8 The top table is sorted by the recovery
9 by 1973. The bottom table was sorted by the
10 recovery in 1991. You can see from these where
11 the South Blanco falls within this depletion
12 within this table that it is comparable to these
13 other Pictured Cliffs pools; it's comparable to
14 these other deprograted Pictured Cliffs pools.

15 And you can also notice by the numbers,
16 especially in 1991, that it is in the later
17 stages of its depletion. It's down on its
18 depletion curve.

19 Q. Let's go to the next page in the
20 exhibit booklet. Could you identify and review
21 that?

22 A. The next two plots, Exhibit 8-H -- 8-I,
23 I'm sorry, and 8-J, this is taking all the data
24 and compressing into one plot of the shut-in
25 wellhead pressure versus "cum" gas production or,

1 if you like, the next page is recovery of gas in
2 place, depending on which way you like to see
3 it.

4 You'll notice several things. There is
5 a band which is labeled -- this is a reservoir
6 pressure range at the time of deproportioning in
7 those four pools, Aztec, Ballard, Fulcher, and
8 West Kutz.

9 You can see from the asterisks that
10 today South Blanco reservoir pressure is
11 estimated to be at the lower limit of that band.
12 So the reservoir pressure is low.

13 The other interesting thing about this
14 plot -- maybe you can see it better in the last
15 page where it's versus recovery of gas in place.
16 If you notice, the trend of the pools, and go
17 back and look at the structure map, you'll notice
18 that the deeper you go in the basin, the higher
19 pressure that you have in the reservoir.

20 And again if we refer back to Exhibit
21 2, what you'll see is where West Kutz is the
22 shallowest, it has the lowest pressure, where
23 Tapacito is the deepest pool, it is at the
24 highest pressure. And this is to be expected.
25 This is due to the gas pressure gradient within

1 the pools.

2 Q. Basically what does this exhibit tell
3 you about the Pictured Cliffs Formation in the
4 area?

5 A. We think from looking at this data that
6 several of these pools are one common reservoir.
7 And maybe to substantiate that even further is if
8 you look again, this goes back to Exhibit 7,
9 which was your rate data, rate of Mcf per day per
10 well, if you'll notice that certain of these
11 pools, your Aztec and South Blanco, Blanco and
12 South Blanco, their declines match uniformly. So
13 one could say that between the pressure data and
14 the rate data that several of these pools are the
15 same.

16 Q. Now, Mr. Engler, what impact would
17 approval of this application have on the
18 correlative rights of interest owners in this
19 pool?

20 A. Well, the Division, back in its own
21 R-1670-R, previously recognized that there would
22 be no impact on correlative rights. I think the
23 pool is low permeability. This has been shown by
24 tight gas sand applications in some areas. I
25 think I shown that it's low reservoir pressure,

1 so that those two would not have correlative
2 rights problems.

3 And I guess we would like to tender --

4 Q. Have you looked at or done any
5 volumetrics work to determine areas of drainage,
6 made any drainage calculations on the reservoir?

7 A. Yes. The most recent thing we did was
8 some drainage calculations.

9 Q. Let me hand you what has been marked as
10 UNOCAL Exhibit 15, and I'd ask you to refer to
11 that and first identify and then review it for
12 Mr. Stogner.

13 A. Okay. Exhibit 15 is two methods that
14 we use for drainage calculations in the UNOCAL
15 operated Rincon Unit, which is in the UNOCAL
16 South Blanco-Pictured Cliffs Pool. The summaries
17 in this table, which --

18 Q. The third page.

19 A. -- is the third page of all this
20 handout. And the rest of pages is all the
21 supporting data to show you the buildups and
22 plots and so forth. But back to the summary --

23 Q. Okay. But what we have on the third
24 page, Mr. Engler, is we have certain input
25 factors set forth in two tables, do we not, that

1 you have utilized in trying to estimate drainage
2 areas for these wells?

3 A. That's right.

4 Q. And then in the middle of the page, you
5 have some volumetric equations; is that right?

6 A. Yeah, the material balance and
7 volumetric equations. That's right.

8 Q. Then behind this page you have the
9 supporting information that justifies the factors
10 that are set forth in each of these tables?

11 A. That's right.

12 Q. Okay. Let's review this for Mr.
13 Stogner.

14 A. The first table we used, it was a
15 combination of material balance-volumetric
16 method. And you can see -- I'll show the
17 balance and volumetric equations. Using material
18 balance, I can come up with a gas in place
19 number. With that value you can go into your
20 volumetric equation and estimate drainage area.
21 This is what's shown in the first table.

22 The gas in place is from your P over Z ,
23 your production at assumed abandonment, recovery
24 factor. But, more importantly, your drainage
25 area is calculated through that volumetric

1 system. And you can see it ranges anywhere from
2 92 to 140 acres for these four wells.

3 Now, the second method that we used was
4 a type curve method. It's called the Fetkovich
5 type curve method. To refine the type curve
6 matching, we had to have some other outside
7 information. What we used was buildup analysis.
8 And this is why these four wells -- these are the
9 wells that we currently have buildup pressures
10 on.

11 So what you can see in the bottom half
12 is the buildup analysis, porosity, permeability,
13 the best type curve match I could get for
14 porosity and permeability, and then from that
15 match I came up with a drainage area by the type
16 curve, in this case, this range is 60 to 100.

17 So in both cases what data I have here
18 shows that we're not draining over 160 acres,
19 160-acre spacing.

20 Q. Now, you have selected certain wells
21 from the Rincon Unit. Why did you select these
22 particular wells?

23 A. Well, it's a good -- within the Rincon
24 Unit, these wells make a good cross-section of
25 the types of wells and the area. They're

1 scattered within the Rincon Unit.

2 Q. Are any of these comparable to, say,
3 the best well in this pool?

4 A. The 18 -- this 18-R is one of the
5 better wells. It makes 120 Mcf a day.

6 Q. What does the best well in this pool
7 make at this time?

8 A. The last numbers I had it showed about
9 150 Mcf a day.

10 Q. Now, did you have the -- what well is
11 that? Can you identify that?

12 A. That's the Navajo Indian C No. 1.

13 Q. Where is that well?

14 A. I don't know. It's in South Blanco.

15 Q. Do you know who operates it?

16 A. It's -- I don't know.

17 Q. You did not have information to do
18 volumetric calculations on this well?

19 A. No, I didn't have the information to do
20 their stuff.

21 Q. When you compared the volumetric work
22 you've done on wells in the Rincon Unit where you
23 have the data you need to do your volumetric
24 calculations and you take the best well that
25 you've analyzed, that being I think you

1 indicated, the 18 --

2 A. R, yeah.

3 Q. -- R, is that a multiple well unit, or
4 is that a single well?

5 A. That's a single well. 18 is abandoned.

6 Q. And you take the daily production rate
7 from that, and you said 106 Mcf per day?

8 A. One hundred and twenty.

9 Q. And you've calculated that it is
10 draining how many acres?

11 A. Eighty to 106.

12 Q. Now, you can't just take these
13 calculations and just looking at its producing
14 right make a calculation as to what this better
15 well would be draining; is that a fair
16 statement? You cannot do that?

17 A. No. You have to know what data on that
18 well.

19 Q. Based, though, on your study of this
20 reservoir, as an expert witness in petroleum
21 engineering, do you have an opinion as to whether
22 or not any well in the South Blanco-Pictured
23 Cliffs Pool right now at these producing rates
24 can drain in excess of 160 acres?

25 A. In my opinion I don't see how the best

1 well can produce over 160 acres, that's right.

2 Q. If that's the case, are you aware of
3 any circumstance where deprorating would result
4 in a well being able to drain the property of --
5 or a neighboring property?

6 A. No.

7 Q. Now, let's go to the question of
8 waste. In your opinion would approval of this
9 application cause waste?

10 A. No. In fact, I think the contrary may
11 be more -- may result. And the reason I say that
12 is deprorationing may actually stimulate further
13 activity. Further activity, more so as in
14 additional compression in this low-pressure,
15 low-productivity reservoir.

16 Additional compression can enhance
17 production from Pictured Cliffs wells. But
18 currently compression is discouraged by, one, the
19 proration system and, two, by the unfavorable
20 deliverability testing procedures.

21 Q. What do you mean when you say that
22 compression is being discouraged by unfavorable
23 deliverability testing procedures?

24 A. Well, if I could refer you to Exhibit
25 9-A, this is -- this plot is developed from the

1 deliverability equation that is in the OCD's gas
2 well testing manual back in 1987. What you see
3 here is on the Y axis you have flowing wellhead
4 pressure versus shut-in wellhead pressure.
5 That's your P_t/P_c ratio.

6 On the X axis you'll have your
7 deliverability, D , versus your tested flow rate,
8 Q . What will happen is, if you add compression,
9 you will lower your flowing wellhead pressure.
10 Therefore, you will come down the curve towards
11 the steeper section of the curve towards zero.

12 If you do that, with adding
13 compression, what you then will do is decrease
14 your D/Q ratio. What this will in effect do is
15 the incremental production will be decreased by
16 the sum factors, sum of decrease factor here,
17 versus the flow rate. And that's what your
18 deliverability equation is doing.

19 And this graph is showing all three of
20 your major prorated pools. The South Blanco-PC
21 is the small squares in the center, but also
22 Mesaverde and Dakota is shown. This is based on
23 the "N" exponent of the OCD. This is based on
24 the designated deliverability pressures of the
25 OCD.

1 Q. So basically what you're saying is when
2 you combine the effect of prorationing with the
3 deliverability testing procedures that are
4 required, what in effect you have is a decrease
5 in producing capability or --

6 A. A decrease in -- a percentage decrease
7 in the production.

8 Q. And when you have that, what impact
9 will this ultimately have on the wells in this
10 pool?

11 A. Well, this is a discouragement to
12 compression. Compression at this stage of the
13 life of this pool may alleviate any kind of
14 premature abandonment of wells, which is probably
15 occurring now and may occur here in the future.

16 Q. So, in fact, compression is something
17 that if employed would increase the ultimate
18 recovery from certain wells in the pool?

19 A. Increase the reserves, yes.

20 Q. And if the pool remains prorated
21 there's a disincentive to apply compression?

22 A. At this time, yes.

23 Q. And if that occurs, then that will
24 result in a premature abandonment of wells?

25 A. That's right.

1 Q. And would that constitute waste in your
2 opinion?

3 A. That would definitely constitute waste.

4 Q. Let's move to what is in this exhibit
5 booklet behind tab 9 and go to the second and
6 third pages behind that tab.

7 A. Exhibits 9-B through 9-E are four of
8 the best wells that I found in the South
9 Blanco-Pictured Cliffs Pool. What we have is the
10 latest deliverability test that's up there on the
11 top. The capability of the well, this is
12 capability if you could add compression to the
13 well, what it can make.

14 Now, each one -- this table of data,
15 the capability that's column 2, the first year,
16 that's actual production. The second year, the
17 third year, that's the capable production.
18 That's, if you add compression, how much that
19 well could make.

20 The third column is your allocation.
21 The first year, of course, is the allocation in
22 the past. Your over/underage for the month, then
23 your limit, your status.

24 What you see in the middle column there
25 is called "Planned Production." This is

1 production that is planned to meet. And then
2 next to it is over/underage. This is planned
3 production, you know, if these are good wells, if
4 you have over/underage, then you have to balance
5 back to zero. If you have -- and you see that
6 both in this well, this first one, both in the
7 second year and the third year.

8 And the last column is the most
9 important. This is loss of deliverable gas.
10 This is the difference between the planned
11 production, the current system, and the capable
12 production if you could have compression. And
13 you can see from this one, at the end it's over
14 90 million cubic feet of loss of deliverable gas
15 for this, what, two, three-year period.

16 And these are the best wells, and
17 there's four of them here. What this shows is --
18 another thing this shows is allocation is less
19 than production for your best wells, for your
20 non-marginal overproducing wells. I think this
21 bears this out quite well.

22 And this also shows the advantage of
23 adding compression. Granted, these are good
24 wells, but you can see that the addition of
25 compression can really give you a lot more gas

1 down the line.

2 Q. So basically it shows there is under
3 the current system a loss of deliverable gas
4 because of the prorationing system?

5 A. That's right.

6 Q. That again is causing waste of gas in
7 the reservoir?

8 A. That's right.

9 Q. Now, this calculation on each of these
10 wells, is this similar to what UNOCAL has to do
11 for each well that operates in the pool to manage
12 production?

13 A. This is what they do for every well in
14 a prorated pool.

15 Q. And is this the kind of paperwork that
16 could be avoided on each of these wells if in
17 fact prorationing was terminated in this field?

18 A. Yes.

19 Q. What effect in your opinion would
20 deprorationing or deprorating the field have on
21 the market demand for natural gas from this pool
22 or actually in the basin as a whole?

23 A. Well, the first thing I'd like to point
24 out, if you go back to Exhibits 5-A and G, which
25 are the production plots for each pool, again

1 when the four PC pools were deprorated, you will
2 see no increase in production. In fact, you'll
3 see decrease in production, normal decline in
4 production. So deprorating of these type pools
5 did not show any kind of increase in production.

6 I think with the low productivity of
7 the pool, the depletion status of this pool, I
8 believe South Blanco should behave the same way.

9 Q. Now, Mr. Engler, there is going to be
10 some increase in production when the non-marginal
11 wells are no longer restricted by allowables;
12 isn't that correct?

13 A. Yeah, from the overproduced
14 non-marginal wells, that is correct.

15 Q. Let's go to Exhibit No. 10, and I'd ask
16 you to review that for Mr. Stogner.

17 A. Okay. Exhibit 10-A at the top, this is
18 data again taken from proration schedules except
19 this was taken through peak period, the winter
20 period of 91-92. You'll see the top of this
21 table is the number of overproduced non-marginal
22 wells. That's 239.

23 If you take the total deliverability of
24 those wells and the total allowable of those
25 wells, the difference or the anticipated increase

1 in deprorationing would be 2.7 million cubic feet
2 a day.

3 Q. Now, if we then go to the bottom half
4 of this exhibit, could you relate that 2.7 Mmcf
5 per day to the total production from this pool,
6 the basin as a whole, and the other prorated
7 fields in the basin?

8 A. You can see that the bottom half of
9 that exhibit in comparison with the entire South
10 Blanco Pool, this production increase would only
11 mean 7 percent. If you look at it versus the
12 prorated northwest New Mexico, it's only 3/10 of
13 a percent. If you look at it as the San Juan
14 Basin as a whole, it's only 2/10 of a percent.

15 Q. Let's go on now to the next page behind
16 tab 10. Could you identify and review that.

17 A. 10-B is the plot. This is annual gas
18 production versus time on the left scale. What
19 you see here is the total San Juan Basin
20 production plotted at the top. And the diamond
21 is the South Blanco production at the very
22 bottom. And more importantly you'll see on the
23 right-hand scale is the percent, and that's the
24 asterisks plotted. That percent is the percent
25 of the total basin that South Blanco produces.

1 And you can see over these 30, 34 years
2 a steadily decreasing share of the total basin
3 production of the South Blanco. This is South
4 Blanco production decreasing, San Juan Basin
5 production in the last five years increasing,
6 creating this decline. It was a maximum in 1959,
7 it was 16 percent of the total basin production.
8 Here in 1991 it's now just 2.3 percent of the
9 total basin production.

10 Q. In your opinion what impact will
11 deprorating South Blanco-Pictured Cliffs Pool
12 have on the supply and market demand for natural
13 gas from the San Juan Basin?

14 A. I see no impact whatsoever.

15 Q. Is there a market for the gas that can
16 be produced from this pool?

17 A. We feel we can market all the gas and
18 produce within the South Blanco Pool, yes.

19 Q. How do these statements relate to
20 additional pipeline capacity that's become
21 available in the basin in recent months?

22 A. Today the additional pipeline capacity
23 out of the basin far exceeds the total production
24 numbers that I have and find anywhere. The
25 pipeline capacity today is 3.1 Bcf per day.

1 Total production out of basin is now, what, 1.9,
2 maybe 2 Bcf per day.

3 Q. In your opinion is there market demand
4 for the natural gas that can be produced from
5 this pool if prorationing is terminated therein?

6 A. Yes.

7 Q. Would you summarize for Mr. Stogner the
8 conclusions you've reached as a result of your
9 engineering study of this pool?

10 A. I think we showed a wealth of evidence
11 that the South Blanco Pool is a low productivity
12 reservoir. It is at advanced stage of
13 depletion. I think the comparison with the other
14 pools shows that it's identical with the pools
15 that were deprorated in 1974. And, in fact, it
16 might be the exception that it is in a more
17 advanced stage of depletion.

18 Today there's no problems with
19 disparities in the pressures between the
20 pipelines in the pool, so the 1974 problem no
21 longer exists. The waste will be prevented by
22 deprorating, and this is by allowing some more
23 efficient production practices to be implemented,
24 such as compression as the example I showed
25 here.

1 And I think we showed evidence that the
2 correlative rights interest owners in the pool
3 will not be impaired, and therefore there will
4 not be uncompensated drainage between tracts in
5 the pool.

6 Q. Basically what advantages do you see
7 resulting from termination of prorationing in
8 this pool?

9 A. I think it would encourage future
10 development and enhancement projects, so we would
11 not have premature abandonment in wells. I
12 believe today unnecessary curtailment of a few
13 good wells could be avoided. This will put
14 market share within South Blanco and be
15 maintained. In other words, it will be in par
16 with these other deprorated PC pools.

17 And it will eliminate a lot of
18 unnecessary paperwork and time by producers, by
19 pipelines, and by the OCD.

20 Q. Is UNOCAL Exhibit 12, the exhibit book
21 as a whole, that contains a written summary of
22 your presentation and copies of all the exhibits
23 which you've testified to?

24 A. Yes.

25 Q. Is what has been marked Exhibit 13 a

1 copy of an affidavit confirming that notice of
2 today's hearing has been provided in accordance
3 with Oil Conservation Division rules and
4 regulations?

5 A. Yes.

6 Q. To whom was notice given of this
7 application?

8 A. We notified all operators in the pool,
9 all unleased mineral owners in the pool, all
10 operators of Pictured Cliffs wells within one
11 mile of the boundaries of the pool, and all
12 transporters of gas from the pool.

13 Q. Could you identify what has been marked
14 as UNOCAL Exhibit No. 14, please?

15 A. Exhibit 14 is a list of letters of
16 support from the operators in the South
17 Blanco-Pictured Cliffs Pool.

18 Q. Were Exhibits 1 through 15 and
19 including all their subparts prepared by you or
20 compiled at your direction?

21 A. Yes, sir.

22 MR. CARR: At this time, Mr. Stogner,
23 we move UNOCAL -- the admission of UNOCAL
24 Exhibits 1 through 15 and all subparts thereof.

25 EXAMINER STOGNER: Are there any

1 objections?

2 MR. CAMP: No objections.

3 EXAMINER STOGNER: Exhibits 1 through
4 15 will be admitted into evidence at this time.

5 MR. CARR: That concludes my
6 examination of Mr. Engler.

7 EXAMINER STOGNER: Thank you, Mr.
8 Carr. I want to take a five-minute recess, Mr.
9 Camp, so you can prepare to cross-examine Mr.
10 Engler.

11 [A recess was taken.]

12 EXAMINER STOGNER: Mr. Camp, your
13 witness.

14 MR. CAMP: Thank you, Mr. Examiner. I
15 only have a few questions.

16 EXAMINATION

17 BY MR. CAMP:

18 Q. Mr. Engler, turning to your Exhibit 5,
19 I believe, just so that I understand what I'm
20 looking at, when you have annual gas production,
21 that is the actual takes from these wells?

22 A. That's actual production from these
23 wells, yes -- from this case, yeah, from the
24 wells in the pool, yeah.

25 Q. Throughout all of these Exhibit 5 pool

1 documents, do you have anything that shows actual
2 physical capability of the wells during the same
3 time period?

4 A. No. Capability as in -- no. All I
5 have is actual production.

6 Q. Did you undertake any studies to
7 determine the actual physical capability of these
8 wells during the same time period for the pool?

9 A. Well, the capability of a deproprated
10 pool is what it produces. So what you see here
11 is a deproprated pool, or not prorated pools, is
12 the capability. Right?

13 Q. That's my question. You said that --
14 and I'll turn to the Blanco-South Pictured Cliffs
15 Pool graph. You said that there was a down-dip
16 in 1985?

17 A. That's correct.

18 Q. Because of lack of takes from El Paso?

19 A. From the GLA lawsuits from El Paso,
20 that's right.

21 Q. So they took less than they otherwise
22 would have taken?

23 A. Across the basin, that's right.

24 Q. And so during this time period the
25 delivery capacity could have been much greater

1 than is reflected on your graph; however, the
2 takes, the actual production shows up as less
3 than the physical capability of these wells to
4 produce?

5 A. Yeah, that's right, because they're
6 shut-in. That's right.

7 Q. So during this time period we can't
8 really see what the productive capability versus
9 what the demand for the gas was, for example, in
10 1985?

11 A. In 1985, no.

12 Q. Okay. Now, you kept on referring to
13 some deprorationing efforts that occurred in
14 1974. During that time period, isn't it true
15 that takes from purchasers closely corresponded
16 with the physical capability of the wells to
17 produce?

18 A. I don't know the takes of the 1974, so
19 I really can't answer you on that one. All I
20 know is the production of what happened in 74.

21 Q. Now, did you state what the percentage
22 of marginal wells that are in the Blanco, South
23 Blanco-Pictured Cliffs Pool, what that percentage
24 is?

25 A. The number of non-marginal wells?

1 Q. No. Marginal.

2 A. Number of marginal wells in the South
3 Blanco is -- marginal wells is 82 percent.

4 Q. Okay. Of that 82 percent do you know
5 what percentage have compression on them?

6 A. It's marginal wells.

7 Q. Right. Do you know of any that have
8 compression?

9 A. I don't know. I don't know who has
10 compression out there at this time.

11 Q. Well, for UNOCAL what percentage of
12 marginal do you have on compression?

13 A. I don't know that answer either. I
14 don't know what UNOCAL has in compression out
15 there for PC.

16 Q. Is there anything that prevents you
17 from putting compression on those marginal units?

18 A. Yeah. I think, from what was stated
19 before, the way the deliverability equation
20 favorably gives you poor deliverability numbers
21 and then that factor, of course, is tied into
22 your prorationing means that to add compression
23 right now is just not economically feasible at
24 these low productions.

25 Q. I don't understand. If it's a marginal

1 unit, it's not going to be limited by allowables;
2 is that correct?

3 A. That's true.

4 Q. So if it's a marginal unit, compression
5 isn't going to hurt it one way or the other in
6 terms of compression?

7 A. But once you compress after the period
8 of time, a couple of months, it's going to get
9 bumped to the non-marginal status, and then your
10 allowables is going to kick in. Your
11 deliverability problems will kick in.

12 So you can add compression to a
13 marginal well, but within a period of time it's
14 going to become non-marginal, and then you're
15 back into the same situation.

16 Q. Now, is that a certainty that it's
17 going to go into a non-marginal status?

18 A. Yes. It's a prorated pool. It's
19 marginal, so it will go over its allowable. Then
20 it's going to go into the non-marginal status.

21 Q. If it goes over the allowable for a
22 period of time, then it becomes a non-marginal
23 well; is that correct?

24 A. Well, its allowable is what it produces
25 as a marginal well. Once you add compression,

1 now you're over allowable because you're going to
2 produce more. And then you're going to go into
3 your change of status.

4 Q. Does UNOCAL have any non-marginal units
5 that are currently underproduced?

6 A. Non-marginal underproduced? Yes, we
7 have some wells.

8 Q. Is that because of lack of market
9 demand?

10 A. I don't think so, no. We think we can
11 sell all the gas that we can make.

12 Q. Okay. Then why haven't you sold all
13 the gas that you can make right now on those
14 non-marginal units that are underproduced?

15 A. Because basically it's -- the
16 productivity of those wells is being restricted
17 by the reservoir. This is what the reservoir can
18 make, but it's not being restricted by what the
19 market is asking for.

20 Q. So deprorationing will not have any
21 effect on those wells because they're not being
22 restricted by the allowable system at this point;
23 they're only being restricted by the --

24 A. The reservoir itself.

25 Q. At the very end of your testimony,

1 you've talked about carry-away capacity in the
2 San Juan Basin being about 3.1 Bcf?

3 A. That's right, per day.

4 Q. Per day. And production is about 1.9?

5 A. Bcf per day, yes.

6 Q. Do you know what the combined San Juan
7 Basin deliverability is?

8 A. No, I don't.

9 Q. Do you know if it's greater than 1.9
10 Bcf per day?

11 A. As a combined San Juan Basin
12 deliverability, I have no idea what it would come
13 out to be.

14 Q. I don't know if I've asked you this.
15 Have you placed any compression on your
16 non-marginal units that are underproduced?

17 A. I don't know -- maybe someone else
18 could -- but I don't know what compression UNOCAL
19 has out there. I don't know what they do as far
20 as PC.

21 Q. Have you undertaken any kind of studies
22 to see what set of economics would be necessary
23 to justify compression for these wells in the
24 South Blanco-Pictured Cliffs Pool if
25 deprorationing occurred?

1 A. No. I did no economics.

2 Q. So do you have any kind of information
3 that shows that a compression would actually
4 occur after deproportioning?

5 A. Well, what I stated, I think, was to
6 Exhibit 9, those B through D, all I'm showing
7 here is the effective compression that the fact
8 that the current proration system is curtailing
9 the capable gas of the best wells. But I have
10 done nothing other than that.

11 Q. I've seen some previous information
12 from some of the letters of support that say
13 something, like, less than 2 percent of this pool
14 fall into that category. Would that be an
15 accurate amount? The ones that would be affected
16 adversely by this OCD deliverability test is less
17 than 2 percent of the pool?

18 A. What they're referring to -- well, less
19 than 3 percent of the number of wells are
20 non-marginal overproducers. So I guess what
21 they're saying is then the deliverability -- your
22 allowables, which is set by your deliverability,
23 would affect that percentage of well, the 3
24 percent.

25 Q. Okay. Now, allowables are also set on

1 actual production; is that correct?

2 A. Allowables are set on deliverability
3 and acreage.

4 Q. Is that your testimony?

5 A. I believe that's correct, as best as I
6 understand it.

7 Q. And actual production doesn't play a
8 part in setting the allowables?

9 A. Well, they use -- see, for marginal
10 wells they use the actual production as the
11 allowable, so I guess I have to say you're right
12 for marginal wells. For non-marginal wells the
13 allowable is the difference, and then it's set by
14 the deliverability and the acreage factor of
15 those wells. That's my understanding of the
16 prorationing unit.

17 MR. CAMP: I have no further questions.

18 EXAMINER STOGNER: Thank you, Mr.
19 Camp.

20 Mr. Carr, any redirect?

21 MR. CARR: No redirect.

22 EXAMINER STOGNER: I have with me today
23 Chief Engineer Larry Van Ryan. I'm going to pass
24 the witness to Mr. Van Ryan at this time.

25 EXAMINATION

1 BY MR. VAN RYAN:

2 Q. Mr. Engler, in the four other pools
3 that were deprorated in 1974, has there been
4 compression installed in those fields like you
5 anticipated would happen in the South Blanco-PC?

6 A. As far as I know, I don't know if
7 compression has been installed in those other
8 pools. I just don't know.

9 Q. It would seem, though, that if the
10 economics were there to what you're talking about
11 here, they would have done that, wouldn't you
12 agree, since it was already deprorated?

13 A. Since it was already deprorating low
14 productivity, you would think there would be some
15 kind of enhancement, yes.

16 Q. Okay. In your volumetric calculations
17 I notice where you used your pay thickness
18 figures in there. Those seemed to be pretty
19 high. Were those gross or net figures?

20 A. That's a net pay number. This is a
21 good point. Within the Rincon Unit, as you're
22 probably aware, they are doing a lot of new
23 drilling activity. With this new activity we're
24 getting good logs for a change.

25 These new logs, where the PC gross

1 thickness is about 200 feet, actually we think
2 100 feet of it -- in this case I don't know
3 whether I used 60 to 80 feet -- is now really
4 actual pay, actually contributing to the
5 production.

6 Q. Is that interpreted as being all sand,
7 or is there contributions from something other
8 than the sands?

9 A. Well, yeah, we're assuming it's all
10 sand production right now. The coal, which is
11 right above it, we feel within Rincon Unit it is
12 not a very good producer. So we feel maybe the
13 coal is -- where you could contribute some to the
14 coal, we don't think the coal is in this instance
15 from that area.

16 Q. But with your log data and your
17 porosity data now, are you using the 11 percent
18 porosity you're showing here as your cutoff for
19 net pay?

20 A. Yes. That was the number that the log
21 analysis was using, yeah.

22 Q. So you're finding this kind of
23 thickness of 11 percent porosity or better?

24 A. Yes. The thickness and the porosity
25 and your water saturation numbers, which go into

1 your volumetrics, this is currently what we're
2 using from our new wells.

3 Q. Uh-huh.

4 A. This is going to be refined even better
5 as we continue on with this new well package. So
6 that I would suspect you will see better numbers
7 -- and I say better -- and maybe more accurate
8 numbers from these new logs for those values.

9 Q. Okay. In the old wells that have been
10 drilled and completed for a period of time up
11 there, did they drill this full net pay you're
12 talking about, or did they just drill a portion
13 of that? In other words, do they have all the
14 same pay open that you're deciding is now pay?

15 A. Yeah. What they do is they would at
16 least drill the first 100 feet of PC in a lot of
17 those wells. So I can correlate that this 100
18 feet is within these new wells, yes.

19 Q. Was it perforated and completed in
20 those old wells?

21 A. The perforating was done strictly in,
22 like, the top 20, 30, feet. It's the hydraulic
23 fracturing that will communicate the rest of your
24 sand. All these are very tight. All of them
25 require massive stimulation. That's how you're

1 draining a larger thickness.

2 Q. So you are assuming they are draining
3 in a larger thickness, although they only
4 completed at the time maybe in the top 20 foot?

5 A. Yeah, that's where you're perforated.
6 That's right.

7 Q. And you just don't have any information
8 about compression on the other pools?

9 A. I really don't know about compression
10 of the other pools. Maybe someone else does, but
11 I don't.

12 Q. I didn't get a chance to go through all
13 your exhibits on compression. Can you kind of
14 give me a run-down on what benefits you see from
15 compression? Is this a life-long benefit or a
16 temporary benefit?

17 A. It would be today -- well, since you're
18 in low-reservoir pressure, low-productivity
19 situation, you could reach an economic limit
20 where you would abandon.

21 Now, if you have compression, of
22 course, you increase your drawdown, you get those
23 extra reserves out there which you couldn't have
24 gotten before. It would be a project that you
25 would start, and it would go till the end of the

1 life of the well.

2 Because by the time you've shut down,
3 you know, to the end of again another economic
4 limit with compression, you're basically --
5 you've recovered all your reserves. So it would
6 be a life-long process, yes.

7 Q. Are you envisioning that people will
8 put in single compressors per well, or would it
9 be better to try and get the pipeline companies
10 or whoever to lower the whole system pressure?

11 A. I don't think pipeline companies would
12 do that. I think the economics would be better
13 if you could gather several wells and put a
14 compressor in so that you could compress multiple
15 wells within your own gathering system. But
16 that's what I would see as being the most
17 economic and efficient way.

18 Q. Is this what UNOCAL would do?

19 A. I believe so, yes.

20 Q. They'd try and gather several wells or
21 something to that effect?

22 A. They'd try to get several wells within
23 an area to tie into our gathering lines to our
24 compressor and then go from there.

25 Q. One other thing in your P over Z cum

1 plots on the South Blanco Pool and another pool,
2 I notice quite a jump in your reserves.

3 A. Yeah.

4 Q. What caused that?

5 A. Okay. This is a reservoir engineer's
6 dream, I guess. There's two reasons why you see
7 this shift. Actually you can see the shift in
8 all pools. But what it is is -- the data, you
9 remember, is from your deliverability testing,
10 seven-day shut-in, shut-in for a buildup.

11 What these are are tight gas sands.
12 Within seven days you cannot actually build up to
13 a true reservoir pressure, the actual reservoir
14 pressure. So what you see then is what is built
15 up in that seven-day period. Now, that's how the
16 testing is done.

17 Now, the reasoning for the shift is
18 there are two times when you will actually see
19 the true reservoir pressure. The first time --
20 and if you notice on all these plots, the very
21 early data will always show higher. That's
22 because you've drained a very small volume.
23 You're in what's termed infinite acting period of
24 flow. So you actually see true reservoir
25 pressure before all the activity comes on line.

1 The second time you will see true
2 reservoir pressure is when you start getting down
3 into the lower pressured area, as you're seeing
4 here. What happens is the time to build up, the
5 time to build the pressure up now falls within
6 the seven-day period.

7 So now what you see is, where before
8 you were not catching all up to the reservoir
9 pressure, now since pressure is low, your average
10 pressure meets within the deliverability testing
11 buildup. And so what you end up getting now is
12 higher pressures.

13 So in actuality if you really -- and
14 for measured depletion, as long as you're
15 comparing each pool consistently, that's good.
16 But the true reservoir pressure of these pools
17 since they are tight is this higher-shifted
18 value. And that's because of the way the pool
19 is, the way the reservoir is. Is that clear?

20 Q. It's not exactly clear because if your
21 wells, when they were new and the production is
22 not too great, you said that you would have a
23 good pressure buildup pretty quickly and you'd
24 have a true pressure at that period of time. So
25 I would assume you could extrapolate from those

1 pressure curves and come up with actual reserves
2 in place?

3 A. Yeah. What I have done -- we didn't --
4 I have some information, but --

5 MR. CARR: May it please the Examiner,
6 we have an exhibit that addresses just this
7 particular skip in the production curve. We'd be
8 glad to mark that.

9 EXAMINER STOGNER: Would you like to
10 make it part of the exhibit?

11 MR. CARR: We can mark it, I guess, as
12 Exhibit 17. Whatever.

13 EXAMINER STOGNER: I think it's 16,
14 isn't it?

15 MR. VAN RYAN: You had 15. I think 15
16 was the last.

17 MR. CARR: Well, I may have a rebuttal
18 Exhibit 16. I'd like to mark this as Exhibit 17.

19 EXAMINER STOGNER: What exhibit was
20 this?

21 MR. CARR: Those are just for your
22 copies. Those are the actual return receipts
23 that support the affidavit.

24 EXAMINER STOGNER: You can mark it
25 whatever you want then. Would you like to take a

1 little recess?

2 MR. CARR: It would take just a
3 minute. We do have some copies of it.

4 EXAMINER STOGNER: We'll go off the
5 record.

6 [A discussion was held off the record.]

7 EXAMINER STOGNER: Mr. Carr, are you
8 ready?

9 MR. CARR: Mr. Stogner, at your
10 pleasure, I would ask Mr. Engler to identify what
11 has been marked as UNOCAL Exhibit 17 and review
12 that, and then immediately continue Mr. Van
13 Ryan's cross-examination. At the conclusion of
14 that, I will offer Exhibit 17.

15 EXAMINER STOGNER: Will that be all
16 right with you, Mr. Camp?

17 MR. CAMP: Can I ask a few questions on
18 it?

19 EXAMINER STOGNER: Oh, you bet.

20 Q. (BY MR. CARR) All right. Mr. Engler,
21 could you identify what has been marked UNOCAL
22 Exhibit 17?

23 A. Exhibit 17, this is again, it's similar
24 to what was it? Exhibit 8. It's shut-in
25 wellhead pressure versus cum'd gas for each

1 pool. And what I'd like to show here, you can
2 see the data that was shown in the book, the
3 asterisks.

4 What you see is a dotted line which is
5 the upper -- it gives you a higher gas in place,
6 what we're trying to explain, the upper pressure
7 curve that you were saying. You can see that
8 this is all data points.

9 The shift, which is the Black Diamonds,
10 I believe, on all of these is that layer and
11 pressure that you're seeing within your
12 deliverability. If you extrapolate that back,
13 you'll notice that it coincides very nicely with
14 the initial pressure back when the wells were
15 developed.

16 So I think this sort of lends credence
17 to show that you what you're seeing, this
18 difference, is actually due to the sands not
19 building up, due to the way the deliverability
20 testing, due to its very low permeability. But
21 the two end points, the beginning and now the low
22 pressure at the end, are showing a more accurate
23 picture of the pressure.

24 Q. (BY MR. VAN RYAN) So you have compared
25 those two. It seems like you have quite a few

1 more points here?

2 A. Yeah. What this is doing, these plots
3 now show all points. These plots I tendered
4 earlier was just wells, just the years where the
5 percentage of wells tested was 50 percent or
6 greater than the total active wells.

7 Q. Okay.

8 A. This here is now showing all years, all
9 points. You'll have to remember somewhere in
10 here we changed to biannual deliverability
11 testing, and there's some other little quirks,
12 you know, that changed the data. But, all in
13 all, this is all points right here.

14 Q. What kind of effect does it have by
15 ignoring your compressibility factor in using
16 these plots, using the P over Z --

17 A. Yeah.

18 Q. -- as opposed to straight shut-in
19 wellhead pressure?

20 A. What I did -- I didn't bring the data
21 for it -- but, if you'll recall, very low
22 pressure like this, which is 700 -- less than
23 700, 800 pounds, your Z factor change is very
24 small because now you're very close to ideal
25 gas. So your Z factor is very high, .96, .97,

1 and it's not changing radically within the
2 profile that you see here. That's why I didn't
3 bother putting it in.

4 Q. And it wasn't used even on the initial
5 times, initial reservoir pressure?

6 A. Not on these, no. No.

7 Q. So you don't think it would have that
8 big a factor?

9 A. I don't think so. It's too low
10 pressured, your Z factor. Again it's very small
11 at that pressure, and the change is very small at
12 that pressure.

13 Q. Okay. It seems that the effect of this
14 is being much more significant in the two
15 prorated pools than it was in the other pools,
16 the shift. In other words, you've added
17 substantially more reserves in the South
18 Blanco-PC and in the Tapacito-PC than you did in
19 the other pools if you're using equivalent
20 shift. It's at least more evident in your
21 Exhibit No. 8, I believe?

22 A. Yeah. I think the other pool, West
23 Kutz, on this last exhibit is another one that
24 does show a good percentage increase.

25 Q. How do you explain that?

1 A. I don't know. I don't know.

2 Q. Because we went along for several years
3 in prorated pools where it looks like our shut-in
4 pressure stayed consistent, even though we had
5 substantial withdrawals.

6 A. Yes. Again you're not -- you're having
7 trouble wherever you're taking a seven-day
8 buildup of tight sands. In essence, your
9 reservoir pressure probably is higher and
10 dropping, but what you're seeing is just what
11 you're testing. It's sort of a catch-22, I
12 guess.

13 EXAMINER STOGNER: Mr. Camp, I'll turn
14 the witness over to you at this time.

15 MR. CAMP: Just a couple of questions.

16 EXAMINATION

17 BY MR. CAMP:

18 Q. You don't have any deliverability data
19 but, in your experience as a petroleum engineer,
20 I see from from 1976 to 1990, looking at this
21 during the shift period that you've previously
22 been talking about, the reserves actually trend
23 upwards; correct?

24 A. No. The pressure is constant.

25 Q. Well, this --

1 A. The production is continuing. But your
2 reserves are still -- you're depleting the
3 reserves.

4 Q. Well, then your pressure is trending
5 slightly upward from 76 to 1990?

6 A. Yes. It's constant, slightly upward.
7 Yeah.

8 Q. And would there be a corresponding
9 slight trend flatness or slight trend upward in
10 the total deliverability from this pool?

11 A. I think, yeah, because this is based on
12 deliverability. So if your -- yeah, if your
13 shut-in pressure is constant or, like, slightly
14 larger, slightly increased, then your
15 deliverability should be matching that. Yeah.

16 Q. But during the same time period -- and
17 now I'm looking at Exhibit 5 for the South
18 Blanco-Pictured Cliffs -- the actual takes during
19 that same time period at all times, with the
20 exception after the precipitous drop of 85, the
21 trend is always downward from the same time
22 period of 1976 to 1991?

23 A. Yes, the pressure is dropping.

24 Q. Takes are dropping because this is what
25 reflects -- this graph, the line here with the

1 little square boxes reflects actual takes from
2 the pool; is that correct?

3 A. I guess that's correct, yeah.

4 Q. And productive capability during that
5 same time period would be either flat or slightly
6 trending upward?

7 A. Well, I guess this is what I was trying
8 to explain earlier. This is the capability
9 you're seeing on your test. This, which you see
10 here, is the pressure that we think is actually
11 happening in the reservoir. So your pressure is,
12 what we think, is actually dropping. This is
13 what you're actually measuring.

14 MR. CARR: When you say this being
15 actually measured, you're referring to Exhibit 8,
16 the graph of the South Blanco-Pictured Cliffs
17 pool?

18 THE WITNESS: Yes.

19 MR. CARR: When you're talking about
20 actually measured pressures, you're talking about
21 the graph for this pool that's contained in what
22 has been marked as UNOCAL Exhibit No. 17?

23 THE WITNESS: Yeah. This is measured.

24 MR. CARR: Being --

25 THE WITNESS: -- Exhibit 8. Right.

1 This is what we think is actually happening in
2 the pool.

3 MR. CARR: That's Exhibit 17?

4 THE WITNESS: Exhibit 17.

5 Q. (BY MR. CAMP) So what was measured,
6 because this is reflective of actual delivery
7 capacity on Exhibit 8, is flat or trending up,
8 takes during that time, the same time period, are
9 dropping; is that correct?

10 A. Yes.

11 Q. Okay.

12 A. Falling.

13 Q. Would it be fair to say that market
14 demand during this time period, 76 to at least 90
15 -- is 1990 your terminal day?

16 A. Yes. 1990 is that last point, yes.

17 Q. Has declined?

18 A. I don't know. I don't think market
19 demand has declined in that period, but I'm not
20 an expert on market demand.

21 Q. It takes a decline for this pool,
22 though?

23 A. The productive capacity of the pool has
24 declined.

25 Q. Well, your theoretical one is, but your

1 actual measured one shows that during this time
2 period, just 76 to 90, the actual measured
3 productive capacity is flat or trends upward?

4 A. I just don't know how to answer that
5 because I don't know. I'm sorry. I just don't
6 know how to answer that now.

7 MR. CAMP: No further questions.

8 EXAMINER STOGNER: Thank you, Mr.
9 Camp.

10 Mr. Carr, do you have any redirect?

11 MR. CARR: No, I don't. I move the
12 admission of UNOCAL Exhibit 17.

13 EXAMINER STOGNER: Are there any
14 objections?

15 MR. CAMP: No objection.

16 EXAMINER STOGNER: Exhibit No. 17 will
17 be admitted into evidence. Mr. Van Ryan, I'll go
18 ahead and turn it over to you.

19 MR. VAN RYAN: I have one more question
20 back to our P over Z versus cum plots.

21 FURTHER EXAMINATION

22 BY MR. VAN RYAN:

23 Q. Are you aware of what the line
24 pressures were in that area from 1974 until 1990?

25 A. No. The only thing I ever read was

1 from the previous transcript. All they said was
2 unequal pipeline pressures.

3 Q. Okay.

4 A. I do not know what that means as far as
5 true numbers in 74.

6 Q. Have pipeline pressures gone down in
7 the San Juan Basin and then come back up and gone
8 down again? Have we seen a trend like that?

9 A. I don't know. I know with the current
10 low pressure systems what these wells are going
11 into. But I don't know what was fluctuating in
12 the past.

13 Q. I was just wondering if we couldn't
14 also attribute some of this change in here to a
15 change in line pressure? Therefore, you're not
16 drawing your well down as much and therefore it
17 takes less time to build back up.

18 A. That's -- yes.

19 Q. I think that could have than an effect?

20 A. That has an effect.

21 MR. VAN RYAN: Okay. That's all I
22 have. I just wanted to verify.

23 EXAMINER STOGNER: I'm just going to
24 clean up some stuff.

25 EXAMINATION

1 BY EXAMINER STOGNER:

2 Q. There were some terminologies that
3 you used. This tight formation or tight
4 reservoirs --

5 A. Yeah.

6 Q. -- do you want to define "tight" for us
7 for future people looking this transcript over?

8 A. Well, I guess "tight" -- I guess
9 "tight," by definition, you know, some of these
10 have been designated by whoever does those tight
11 gas-sand designations. Now, that falls under .01
12 millidarcies.

13 "Tight" by my definition is low
14 permeability, let's say, which requires a well to
15 be hydraulically fractured, of which all these
16 need to be productive. And that's how I'm going
17 by as far as my definition.

18 Q. And then the tight formation people
19 that you referred to, I believe, was the Federal
20 Energy Regulatory Commission; is that correct?

21 A. I don't remember.

22 EXAMINER STOGNER: Just keep it in
23 perspective, for people 10, 20 years from now
24 reading this transcript, who those tight
25 formation people were.

1 As opposed to asking any questions
2 pertaining to some of the past previous orders as
3 alluded to in your Exhibit No. 4, Mr. Carr, I
4 will take administrative notice of those previous
5 cases in particular with the South
6 Blanco-Pictured Cliffs Pool.

7 I have no questions of this witness at
8 this time. Is there anything further?

9 MR. CARR: We have nothing further.
10 That concludes our direct presentation.

11 EXAMINER STOGNER: Any other questions
12 of this witness?

13 You may be excused.

14 Mr. Carr, does that --

15 MR. CARR: That concludes our direct
16 presentation in this case, Mr. Stogner.

17 EXAMINER STOGNER: Thank you, Mr.
18 Carr.

19 Mr. Camp.

20 MR. CAMP: I call Dick Lyon.

21 VICTOR D. LYON

22 Having been duly sworn upon his oath, was
23 examined and testified as follows:

24 EXAMINATION

25 BY MR. CAMP:

1 Q. Would you, please, state your name and
2 occupation for the record?

3 A. Victor D. Lyon, L-y-o-n, consulting
4 petroleum engineer.

5 Q. Mr. Lyon, have you previously given
6 expert testimony in front of this Division?

7 A. Yes, I have.

8 Q. On what matters have you given
9 testimony?

10 A. Well, just about every kind of case you
11 can think of. I testified a great deal about gas
12 prorationing and about the workings of gas
13 prorationing, as well as other matters involving
14 oil production and water disposal. And I've
15 testified as to most of those.

16 Q. And you are a petroleum engineer?

17 A. Yes, I am.

18 MR. CAMP: Are his credentials
19 satisfactory? I tender him as an expert
20 petroleum engineer.

21 EXAMINER STOGNER: Mr. Carr?

22 VOIR DIRE EXAMINATION

23 BY MR. CARR:

24 Q. Mr. Lyon, what areas of expertise are
25 you being qualified to testify to as to here

1 today? Prorationing? Is that what you're going
2 to be testifying to?

3 A. Well, that's what I intend to testify
4 about, is prorationing.

5 Q. And you're also an expert in general
6 oil and gas regulation in New Mexico?

7 A. Yes.

8 Q. Are you going to be testifying about
9 that today?

10 A. I don't think that's involved in this
11 case.

12 Q. So you'll be focusing just on
13 prorationing and your experience with that?

14 A. Yes.

15 MR. CARR: I have no objection to Mr.
16 Lyon testifying as to this. I may -- and I want
17 to warn you -- be objecting on grounds of Gas
18 Company standing to bring these questions to the
19 Commission. I could pursue that now, or perhaps
20 Mr. Lyon will be able to explain why they're here.
21 But I want you to know that I am going to be
22 challenging the testimony on those grounds. I
23 can do it now or later.

24 EXAMINER STOGNER: Mr. Camp?

25 MR. CAMP: I'd just as soon challenge

1 it now. It might save us all some time.

2 EXAMINER STOGNER: Okay. Challenge him
3 at this time, Mr. Carr.

4 MR. CARR: I'm going to have to ask Mr.
5 Lyon generally some questions about what Gas
6 Company's interest is in this proceeding.

7 MR. CAMP: If I might, I believe under
8 Statute 70-2-23, we are a person interested in
9 this matter. The basic presumption is words used
10 in statutory construction, words used unless
11 they're specifically defined or the contrary as
12 indicated, are to be understood in their normal
13 everyday meaning.

14 I looked up the definition of
15 interested, and that means to be affected or
16 concerned. We have gas transportation facilities
17 in this specific pool. That is one of the things
18 that is used in determining the allowables and
19 prorationing of pools.

20 And further we have numerous gas
21 purchase contracts in which we may be affected by
22 any changes in the prorationing system that
23 currently exists in the South Blanco-Pictured
24 Cliffs. I think that alone satisfies that
25 statute that says that any person, any person

1 interested in this matter shall be entitled to be
2 heard, and it's mandatory.

3 EXAMINER STOGNER: Mr. Carr, does Mr.
4 Camp's explanation satisfy you at this time?

5 MR. CARR: It goes part of the way.
6 When we talk about being interested in the
7 matter, I think it's important to understand what
8 being interested means. It means that you've got
9 an interest which will be affected.

10 And I can either now pursue whether or
11 not they have correlative rights or any waste
12 consideration that is valid, basic jurisdictional
13 points for your decision, or we can see what they
14 come up with and then we can explore those after
15 Mr. Lyon makes his presentation.

16 EXAMINER STOGNER: I'm a little
17 confused here, Mr. Carr. Are you challenging
18 what their interest is in the case?

19 MR. CARR: I am questioning whether or
20 not they in fact have an interest that entitles a
21 gas transporter to come in and challenge a matter
22 or become involved in a matter, which is a
23 production question, when they have no wells that
24 they operate, no wells that they produce, no
25 property interest that will be affected, no

1 correlative rights, no waste issue, nothing of
2 theirs that will be wasted.

3 They can't show that -- I believe that
4 we will see that they have no correlative rights,
5 that there is nothing of theirs that is subject
6 to waste, and that in fact they don't have any
7 interest in this proceeding except perhaps
8 collaterally, as Mr. Camp indicated, to watch out
9 for their gas purchase agreements, which I submit
10 is not a proper consideration or a proper
11 interest for a conservation proceeding.

12 EXAMINER STOGNER: Mr. Camp, I'd like a
13 response from you on that.

14 MR. CAMP: Sure. 70-2-23 talks or is
15 completely silent as to correlative rights or the
16 type of right that is going to be affected. His
17 characterization of a collateral is just kind of
18 a red herring. We have an interest that will be
19 affected. That's all that's necessary.

20 Further, whenever this Division sets
21 matters of conservation, that is a public right,
22 and there is a public interest in that matter.
23 It is not solely a matter between individuals,
24 between individual producers when you deal with
25 waste and production, setting production issues.

1 This isn't just a dispute as to a
2 Division order; this is going to be an
3 administrative decision on a whole productive
4 area. And, therefore, is a public right involved
5 in the conservation of natural resources. And we
6 appear because we are affected as much as any
7 other person in the state of New Mexico may be
8 affected by the decisions made as to the
9 conservation of a natural resource.

10 In addition, we have a direct interest
11 in this because of our gas purchase contracts.
12 In addition, we are a gas transportation facility
13 that is a very part of the allocation procedure
14 of 72-16.

15 MR. CARR: Mr. Examiner, I will explore
16 the exact nature of Gas Company's interest on
17 cross-examination.

18 EXAMINER STOGNER: Are you withdrawing
19 your motion at this time?

20 MR. CARR: I will not object at this
21 time.

22 EXAMINER STOGNER: In that case let's
23 continue, Mr. Camp.

24 DIRECT EXAMINATION (CONTINUED)

25 BY MR. CAMP:

1 Q. Mr. Lyon, what is the nature of your
2 testimony today?

3 A. The nature of my testimony is that I
4 think that there is reason to question why this
5 case is brought at this time and why particularly
6 in this pool.

7 Q. Why do you have a problem with it being
8 brought at this time?

9 A. Well, as I'm sure everybody in the room
10 is aware, about 18 months ago the Commission
11 changed its format in gas prorationing. Prior to
12 that time there was a monthly hearing, at which
13 nominations were read into the record, and
14 comments were taken from anybody who had any
15 input as to gas demand.

16 And then, based on the actual
17 production from the latest available data and the
18 status of the pool, over/underproduced, a
19 seasonal market demand factor was used to set the
20 allowable. Under the new rules, most of those
21 things still are considered, but the hearing
22 takes place twice a year, or two proration
23 schedules which are issued giving a monthly
24 allowable, which for each of the six months is
25 the same. And so there is that difference.

1 The problem, as I see it at this time,
2 is that in trying to make the changeover from the
3 one system to the other that there is an awful
4 lot that has fallen through the cracks. At about
5 the time we went into the new system, it became
6 apparent that the data that we were using for gas
7 prorationing from the C-111s was not complete; in
8 many cases it was inaccurate. So the database is
9 questionable.

10 Also when the rules were implemented,
11 the system of reclassifying wells broke down. So
12 there has been no well reclassifications, I
13 think, for the last year. And this is a very
14 important aspect of gas prorationing in that when
15 wells become -- have demonstrated that they
16 cannot produce the allowable, then they are
17 reclassified to marginal. And this allows the
18 higher producing wells, larger wells to set
19 higher allowables because their production is
20 higher. And this system has broken down.

21 When we sent out a monthly proration
22 schedule, we indicated the wells which were
23 excessively overproduced by an asterisk. And
24 this indicated that the well should be shut-in
25 until the well was within allowable limits of

1 overproduction. Those schedules don't go out
2 monthly anymore; they go out biannually, or twice
3 a year.

4 Also the Division had supplemented this
5 notice in the schedule by a letter that advised
6 people to shut in their wells because they were
7 excessively overproduced. This system has broken
8 down too.

9 And my evaluation of the situation is
10 that there is no system right now. I think very
11 soon we will be having a system, but the system
12 has not been permitted because of these failures
13 to demonstrate the viability of the new system.

14 The new system was devised to give
15 operators more flexibility to be able to know
16 what their allowables were for six months in
17 advance. And without the rest of the system
18 working, they do have those allowables, but there
19 has been no instruction from this office that I'm
20 aware of for people to shut in excessively
21 overproduced wells.

22 The wells have not been reclassified.
23 Consequently, the system has not been able to
24 demonstrate the flexibility to change as
25 conditions change, as market demand changes, to

1 make those changes because the number of
2 non-marginal wells is staying constant.

3 Q. And what's the significance
4 particularly to this application in these
5 failures of the present system at this time?

6 A. Well, another problem that we have is
7 lack of monthly production data, which we used to
8 get with the old monthly proration schedules. We
9 have requested that an abbreviated report be sent
10 out to producers and the people who are
11 interested so that they could build data for
12 specific purposes. And that data just is not
13 available.

14 And -- now, what was your question?

15 Q. Well --

16 A. Oh, about the timing.

17 Q. Yes.

18 A. Well, I'm disappointed that they're
19 asking that the pool be depronated at this time
20 when we lack the data to make an evaluation of
21 the need to depronate.

22 Q. Have you also undertaken a study of the
23 history of the South Blanco-Pictured Cliffs Pool
24 as it pertains to non-marginal units versus
25 marginal units?

1 A. Well, what I did was to look at the
2 South Blanco-Pictured Cliffs Pool and the other
3 prorated pools in the state. One of the things
4 that I wondered why it is being done at this
5 time, we have had several times in the past where
6 there were many fewer non-marginal wells in all
7 of these pools than there are now. I can
8 remember --

9 Q. Than there are now in the South
10 Blanco-Pictured Cliffs?

11 A. Yes. Yes. For instance, in May of
12 1981, in the South Blanco there were 80
13 non-marginal units. Today, according to the last
14 data which we have, which I have, which is the
15 April to September 92 gas proration schedule --

16 Q. Which you previously stated that has
17 some frailties as to the data accuracy?

18 A. Yes. The database, I'm sure, is
19 somewhat suspect. And the reclassifications have
20 not been done. But there are 326 non-marginal
21 proration units in that schedule.

22 And I might also show that in May of 81
23 there were 56, 57 non-marginal units in Basin
24 Dakota. There's 289 now or 277 in the
25 Mesaverde. There's 568 now. The Tapacito, there

1 were 12, and now there's 79.

2 And so it makes me wonder. Back in
3 those days, in the early- and mid-70s, I would
4 look at the continuing decline in non-marginal
5 wells in all the prorated pools. And I would
6 wonder: Do we need gas proration? Are we
7 getting the point that demand and supply are
8 equalizing?

9 And I would have just about -- well, I
10 had given some thought to suggesting that. And
11 then in 1986 all hell broke loose when the
12 minimum billing was removed from the pipeline
13 companies and --

14 Q. Are you referring to FERC Order 380?

15 A. Yes. And at that time we went from
16 very few non-marginal wells to a majority of
17 non-marginal wells, large numbers of non-marginal
18 wells. I would never have anticipated that
19 because it looked like we were getting the point
20 that we were just producing all-out. And I saw
21 no reason why it would change, but it did.

22 Q. And you attribute that change to the
23 softening of market demand or the lack of --

24 A. Well, there was a change in condition.
25 The contracts began to come under fire. They

1 were not able to sell the gas at the prices that
2 the FERC orders had authorized. And when the
3 spot market was implemented, everybody wanted to
4 buy the cheaper gas on the spot market. And so
5 it played hell with demand from conventional
6 gas.

7 But the same situation shows up in the
8 southeast pools; that many of those pools had far
9 fewer non-marginal wells in those days than they
10 do now.

11 Q. In your noting of the non-marginal
12 units, the changes for the Basin Dakota, the
13 Tapacito, and the Mesaverde, those are all
14 prorated pools?

15 A. Yes.

16 Q. And therefore the South Blanco-Pictured
17 Cliffs is also consistent with the picture that
18 occurs in the Basin Dakota, Mesaverde, and
19 Tapacito?

20 A. I'm sorry?

21 Q. In terms of the change of non-marginal
22 units?

23 A. Yes. They have all enjoyed substantial
24 increase in non-marginal units from the lower
25 point. I'm not sure that I found the lowest

1 point, but it was a point that certainly the
2 non-marginal units were much fewer than they are
3 today.

4 Q. Well, what's the significance of the
5 increase in non-marginal units? Is it your
6 opinion that the non-marginal units have to
7 decrease in order for a deproportioning to be
8 considered?

9 A. Well, the normal course of events in a
10 pool as it declines, you have fewer and fewer
11 non-marginal wells until you get down to one well
12 that is virtually setting its own allowable. And
13 then in a number of pools even those wells have
14 been reclassified to marginal so that they --
15 there's no non-marginal wells, but we still
16 continue to carry it on the gas proration
17 schedule.

18 And that may be an exercise in
19 futility, but if somebody comes up with -- or two
20 or three people go in and drill additional wells
21 or somebody works over wells that may create a
22 problem of protecting correlative rights, the
23 system is available there to take care of it.

24 Q. Did you also review the
25 under/overproduction status of wells in the South

1 Blanco-Pictured Cliffs?

2 A. Well, I did as to UNOCAL's wells. My
3 study showed that they operate 123 wells in the
4 pool; 14 are overproduced; a total of 72,910
5 Mcf. Now, that was as shown in this gas
6 proration schedule, which probably included data
7 through January of 92.

8 They also had 20 wells underproduced; a
9 total of 151,673 Mcf; and 89 wells which are
10 classified as marginal.

11 Q. So they had twice as many MCF
12 underproduced as overproduced?

13 A. Yes. A little more than that.

14 Q. What do you foresee as the market
15 demand for New Mexico gas on a statewide basis in
16 the near future?

17 A. I see no reason why market demand for
18 all gas out of New Mexico should decline. I am
19 concerned somewhat about the impact of the coal
20 seam gas.

21 Q. Why is that?

22 A. Well, the coal seam gas now is the
23 largest single supply of gas in the state and is
24 growing. And I'm told that there are several
25 hundred wells which have not been connected yet

1 so that the impact is still growing.

2 The New Mexico Oil & Gas Association
3 had a meeting to discuss the advisability of
4 looking into prorating that Basin Fruitland
5 pool. And there were so many things that were
6 taking place at that time, they felt that it was
7 not timely, because interconnections were being
8 made for movement of gas out of state, the
9 additional pipelines were being laid in
10 California, which would bring about a larger
11 market.

12 And it just was felt that until we
13 could show that the curtailment of production was
14 due to some factor other than pipeline capacity,
15 that they would not be able to evaluate the
16 impact of the coalbed methane.

17 One impact that certainly you must
18 consider is the fact that there is a tax credit
19 involved with the coalbed methane which could
20 possibly impact the price structure of gas, which
21 if wells are curtailed by market demand and
22 getting less money for the gas too could cause
23 some wells to be plugged prematurely perhaps.

24 Q. Well, in light of the increased
25 capacity of the Fruitland Basin, what would be

1 your -- and I guess it would have to be just an
2 estimate -- but would you foresee an increase in
3 marketed demand for the South Blanco-Pictured
4 Cliffs Pool for the next --

5 A. No, I don't.

6 Q. -- pick a time line, one to five years?

7 A. No. I really do not because I think
8 that probably any increase in gas demand is going
9 to be filled by the coalbed methane.

10 Q. So you see the demand staying at best
11 relatively constant for the South Blanco-Pictured
12 Cliffs pools for the next five years?

13 A. Well, I don't claim to be a prophet. I
14 just do not see anything on the horizon that
15 would cause an increase in demand from South
16 Blanco, but I can see a possibility of less
17 demand.

18 Q. Okay. Mr. Carr was kind enough to
19 provide us with this book of exhibits. Did you
20 have a chance to look through that at all?

21 A. Well, a little bit. I'm not a very
22 fast study. And I'd like to compliment their
23 witness on the quality of the study.

24 I was a little confused in his
25 discussion about the effect of the deliverability

1 test and its impact on feasibility of
2 compression.

3 Q. And why was that?

4 A. Well, I didn't understand exactly what
5 he was saying. I think that he was referring to
6 the fact that our deliverability determination is
7 based on a percentage of the shut-in pressure,
8 that if they were to increase the flow, the Q, in
9 a test, that under the pool rules you'd have to
10 extrapolate that Q back up to the theoretical
11 deliverability at the given percentage of the
12 shut-in pressure.

13 And if that isn't what he was saying,
14 that is what happens. That even though you
15 produce your well at a higher rate, you have to
16 extrapolate that back to the uniform percentage
17 of the shut-in pressure.

18 And, very likely, if you put a
19 compressor on a well, just because of the fact
20 that you're reducing the wellhead pressure, the
21 back pressure against the well, you're going to
22 produce more. And if you put it on a marginal
23 well, there's a good likelihood that the well
24 will become non-marginal and be limited like all
25 the other wells.

1 When he was talking about compression,
2 I wasn't sure whether they were talking about the
3 operator putting on compression or whether the
4 pipeline company was to put on compression. But
5 I did not understand all that he said in that
6 regard.

7 Q. Is there anything else that sticks out
8 in your mind as you go through it?

9 A. Well, I was glad that he discussed this
10 leveling out of the pressure in there. When I
11 saw that, I thought well, you know, that
12 indicates one of several things, either that
13 you've got a water drive in there that's
14 maintaining the pressure or these pressure points
15 that preceded it are very suspect.

16 And as I gather it, the wells can reach
17 a fair equilibrium pressure within the seven
18 days; whereas, before they could not. And
19 probably it has some impact on infill drilling
20 and the higher pressures from wells which are not
21 so depleted.

22 On Exhibit 6 where it has the sum of
23 the Pictured Cliffs Pool, I did not quite
24 understand the significance of comparing the
25 South Blanco to the sum of all of the other

1 pools. That doesn't say anything to me.

2 I think that's about all the comments I
3 have.

4 Q. Mr. Lyon, is it your opinion that this
5 Division, in ruling on orders that affect the
6 allowable production in a pool, must take steps
7 to prevent unreasonable discrimination between
8 other pools in the state of New Mexico?

9 A. Well, under the statute that is
10 provided for. I am aware of that provision, and
11 when I was Chief Engineer for the Division, I was
12 aware of it then. I am not in a position to
13 discuss at what point or under what circumstances
14 some action needs to be taken to prevent such
15 discrimination.

16 MR. CAMP: That concludes my
17 testimony.

18 EXAMINER STOGNER: Thank you, Mr.
19 Camp.

20 We're going to take a five-minute
21 recess, Mr. Carr, before I turn the witness over
22 to you.

23 [A recess was taken.]

24 EXAMINER STOGNER: Hearing will come to
25 order.

1 Mr. Carr, just for a little bit of
2 verification, one of your questions to Mr. Camp
3 -- to Mr. Lyon, I think it was at the beginning,
4 but, Mr. Lyon, you referred to FERC order I
5 believe it was 360; was that correct?

6 THE WITNESS: No, I didn't say that
7 number. Mr. Camp did.

8 MR. CAMP: FERC Order 380. That's the
9 one that did away with minimum billing
10 obligations of utilities.

11 EXAMINATION

12 BY EXAMINER STOGNER:

13 Q. I was wanting to try to allude to what
14 your answer was to the FERC Order 380. In trying
15 to write it down, I think you said that's when
16 all -- something broke loose.

17 By the way, Mr. Carr, since I do have
18 some problems with four letters words being
19 utilized, I will allow you two, if you would
20 like, in your closing statements. So I'll
21 prorate the cuss words in this particular case.

22 A. I think when I was writing letters to
23 the Director, trying to call attention to things
24 that might be needed to be done, I referred to it
25 as chaos.

1 Q. Perfect. I like that. But you
2 referred to FERC Order R-380 -- that's when chaos
3 broke loose -- and then you mentioned something
4 else. Could you allude a little bit more of what
5 order R-380 did in your testimony today?

6 A. Well, as you'll recall, the pipeline
7 companies had contracts with the producers, and
8 most of these were long-term contracts and they
9 specified a price. And on the basis of contracts
10 at the other end, at the consumer end, they had a
11 provision called minimum billing, which provided
12 a guaranteed revenue to the pipeline company for
13 the gas that they had contracted to deliver.

14 And when FERC outlawed the minimum
15 billing, then that guaranteed revenue was no
16 longer available, but they did not disturb the
17 contracts with the producer. So that the
18 pipeline was still obligated to take gas and pay
19 the contract price for the gas. And if they did
20 that for very long, they'd probably go bankrupt
21 because they weren't receiving the money, the
22 price for the gas at the other end. And that's
23 when the chaos broke out.

24 EXAMINER STOGNER: I appreciate you
25 straightening me out on that.

1 Okay. Mr. Carr, your witness, unless
2 you had any other questions, Mr. Camp.

3 Mr. Carr, your witness.

4 EXAMINATION

5 BY MR. CARR:

6 Q. Mr. Lyon, I do have a couple of
7 questions on Gas Company's interest in this
8 proceeding. Before that I would like to just
9 identify what your role is with Gas Company. You
10 have been retained by them, have you not?

11 A. Yes.

12 Q. And what do you do? Do you monitor Oil
13 Commission activity?

14 A. Yes.

15 Q. What does that entail? Does that
16 entail advising them on prorationing matters? Is
17 that part of it?

18 A. For my own information I look at all
19 the dockets to see the cases of interest. And
20 sometimes when I think that there's something
21 that is of interest to Gas Company, I will call
22 them. More often they call me and say we'd like
23 to talk to you about such-and-such a situation,
24 and so I talk to them.

25 Q. In your relationship with them, do you

1 also advise Gas Company of contractual matters or
2 involved in contractual questions, or is it
3 limited to regulatory kinds of issues?

4 A. No. The only thing I consult with Gas
5 Company about is regulatory matters.

6 Q. When did you find out about UNOCAL's
7 application in this case?

8 A. I saw it probably -- saw the docket,
9 oh, a week or ten days ago.

10 Q. Did you contact Gas Company at that
11 time?

12 A. No, I didn't.

13 Q. When did you contact the Gas Company on
14 this matter?

15 A. Well, they contacted -- they contacted
16 me more in connection with the hearing next
17 week.

18 Q. And when did that occur?

19 A. Monday.

20 Q. You indicated that you had made a study
21 of the South Blanco-Pictured Cliffs Pool. How
22 long have you had actually to study the pool?

23 A. Last night.

24 Q. What did you review? Just the
25 prorationing schedule?

1 A. Yes. Well, I also looked at some of
2 the old proration schedules just to get a
3 comparison of the current time to times in the
4 past when things looked bleak for -- well, where
5 there was perhaps some question as to the need
6 for gas prorationing.

7 Q. Was it just yesterday that it was
8 determined that you were going to appear in this
9 case?

10 A. Yes.

11 Q. That's why we just got a prehearing
12 statement yesterday?

13 A. Yes.

14 Q. The last time UNOCAL was before this
15 Commission with an allowable question, you also
16 appeared. At that time we talked about
17 correlative rights and waste. I don't want to
18 necessarily repeat all of that.

19 Does the Gas Company have any property
20 interest that you're aware of in the South
21 Blanco-Pictured Cliffs Pool?

22 A. Well, if you're talking about real
23 property, other than rights of way --

24 Q. Do they have any mineral interests?

25 A. I really don't know.

1 Q. Do they operate any well?

2 A. I don't know.

3 Q. Do you know of any right in production
4 that they have as an owner of production?

5 A. No, I really do not know.

6 Q. You know, as an expert in oil and gas
7 regulatory matters, you know that correlative
8 rights are the opportunity afforded to the owner
9 of each property in a pool to produce his fair
10 share.

11 A. Yes.

12 Q. Are you here today trying to protect
13 the correlative rights of Gas Company of New
14 Mexico?

15 MR. CAMP: This is really kind of
16 getting into just a strictly legal -- he's just
17 asking legal opinions of my petroleum engineer.
18 And I have a little bit of difficulty. Vic is a
19 very intelligent person and he can answer, but
20 he's asking him legal questions that are trying
21 to bind the company as to exactly how this
22 testimony is to be construed. And that's really
23 your job and our job.

24 If they want briefs on it or something,
25 that's fine. But this is really kind of -- that

1 is a legal question, and it calls for a legal
2 opinion, which he's not qualified to make.

3 EXAMINER STOGNER: Mr. Carr, I agree
4 with Mr. Camp.

5 MR. CARR: The only thing I would
6 suggest is this witness was qualified as an
7 expert in oil and gas regulation in the matters
8 concerning this Division. And if he wants to say
9 he doesn't know what correlative rights -- how
10 they're defined in statute, I think he can do
11 that.

12 But I can't imagine a person qualified
13 as an expert in the OCD who doesn't know what
14 correlative rights are as defined by our Oil &
15 Gas Act.

16 THE WITNESS: I don't think you asked
17 me that.

18 Q. (BY MR. CARR) Do you know what
19 correlative rights are?

20 A. Yes.

21 MR. CAMP: Just a second. Also Mr.
22 Carr spent some time to see if he was coming here
23 to talk about prorationing. He's talked about
24 prorationing. Now he's just -- there's a legal
25 argument. He'd made it before. He withdrew it

1 temporarily. He's coming back, I guess, to do it
2 now. But it's a legal argument of whether we
3 have standing or not. And it really doesn't have
4 very much to do with what Mr. Lyon is going to
5 testify as to.

6 I mean, it's pretty clear-cut. I gave
7 the basis for our standing. If Mr. Carr has a
8 problem with that, then he should attack it on
9 that. We don't have to spend any time on
10 correlative rights or anything else. I gave the
11 three reasons that I thought that we had standing
12 for this conservation measure.

13 MR. CARR: We can clarify this if
14 counsel will say you're not here with a
15 correlative rights concern.

16 MR. CAMP: I don't think that we are
17 here for a --

18 MR. CARR: Is that a no?

19 MR. CAMP: -- correlative rights
20 concern.

21 MR. CARR: Are you here for a waste
22 concern?

23 MR. CAMP: I think we are. Yes, we
24 are. We're here for a waste concern and a
25 conservation of natural resources concern, of

1 which this Division is hearing this matter on.

2 Q. (BY MR. CARR) Mr. Lyon, could you
3 summarize what Gas Company's concern is, what
4 kind of waste issue you're trying to identify
5 here?

6 A. The concern, I believe, is that you are
7 proposing to make a change in which they have
8 well connections, they have well contracts. And
9 I might point out that Gas Company is one of the
10 few, if not the only, gas transporter who is also
11 a purchaser in the state. This is what was the
12 result of the order, FERC order.

13 It has torn apart the system that
14 existed at that time. And all of the previous
15 gas purchasers, transporters, marketers, have
16 become simply transporters. They really don't
17 care what you do, what the Commission does. Gas
18 Company does because they are a purchaser with
19 contracts, and it affects the way they operate.

20 Q. Prorationing affects the way you
21 operate?

22 A. Yes.

23 Q. How does it do that?

24 MR. CAMP: Again he's getting into
25 legal questions as to our contracts. And he's

1 already said he's not consulted on our
2 contracts.

3 MR. CARR: No, I did not.

4 MR. CAMP: Yes, you did. You said:
5 How does it affect you, and how does it affect
6 your contracts. And --

7 MR. CARR: I said how does -- your
8 witness testified, I believe, that prorationing
9 affects the way you operate. You've stated
10 you're here because it affects you. I'm saying
11 how?

12 EXAMINER STOGNER: That is a question
13 in which I'd like to know the answer to.

14 MR. CARR: I don't see what's wrong
15 with that. I'd just like to know how.

16 MR. CAMP: Okay.

17 THE WITNES: Gas prorationing
18 allowables sets the measure of the pipeline's
19 responsibilities to take gas. And without it
20 then there's got to be some other measure when
21 people don't agree that a pipeline has complied.

22 Q. (BY MR. CARR) And that's why Gas
23 Company is concerned?

24 MR. CAMP: No. I think the prehearing
25 statement sets forth that he has, I think,

1 articulated one of the concerns. I think we have
2 -- if he wants to know my closing argument, it's
3 we have an interest as any person, as defined by
4 70-2-33, as any person in the conservation of
5 natural resources.

6 This Division is statutorily required
7 to not set allowables in excess of market
8 demand. Their own evidence shows that they're
9 going to increase production and the market
10 demand is not there. We have an interest in
11 that. We have an interest as to the operation of
12 our pipeline.

13 We have -- and I think it goes without
14 saying that shut-in notices and other things as
15 to the permissibility of wells connected to our
16 system to flow can affect us one way or the
17 other. And I think there has to be a
18 determination, and I believe that we have
19 standing to raise it, that this Division carry
20 out its duty to prevent unreasonable
21 discrimination between pools as required by
22 70-2-16(d).

23 MR. CARR: May it please the Examiner,
24 I will tell you right now I'm not going to object
25 to standing so Mr. Camp can quit worrying about

1 that. He said they was concerned that it would
2 cause waste, and I've said how. I've asked that
3 again, and Mr. Lyon has explained. And I said so
4 that's why you're concerned. I thought I would
5 get a yes, not another argument on standing. I'm
6 not going to argue standing.

7 MR. CAMP: Again waste is a legal term
8 that includes the concept of market demand.

9 MR. CARR: Will you stipulate then that
10 your witness is not here to testify about what is
11 meant by waste or correlative rights?

12 MR. CAMP: I think that he has
13 discussed what waste is. I think he has
14 discussed market demand concerns. And that is
15 part of the definition of waste.

16 MR. CARR: And is what he said
17 concerning Gas Company's concern about the
18 potential of this prorationing change, was that a
19 correct statement of Gas Company's concern why
20 they're here? That's what I'm asking.

21 MR. CAMP: Yes, that is one of them.
22 Yes.

23 MR. CARR: All right. That's all I
24 ask.

25 EXAMINER STOGNER: Do you have any

1 other questions, Mr. Carr?

2 MR. CARR: Yes, I do, Mr. Stogner.

3 EXAMINER STOGNER: It's not as to Gas
4 Company's standing, I would assume?

5 MR. CARR: We've got some other things
6 that Mr. Lyon has discussed that I'd like to
7 cross on, if I may.

8 EXAMINER STOGNER: Okay. At this point
9 I do recognize Gas Company's standing here
10 today. They have been a party to the C-111s.

11 MR. CARR: I don't intend to challenge
12 that or raise that again.

13 EXAMINER STOGNER: Okay.

14 MR. CARR: Four letter words or
15 otherwise.

16 EXAMINER STOGNER: You still have two
17 that are owed to you, so you might want to use
18 them.

19 MR. CARR: If I say "FERC" twice, will
20 that do it?

21 Q. (BY MR. CARR) Mr. Lyon, you stated, if
22 I understood your testimony, that the problem we
23 face right now with prorationing is the system
24 has really broken down at the moment; is that
25 correct?

1 A. That's my view, yes.

2 Q. And that we really don't have data, the
3 kinds of data we might have had at an earlier
4 time as we dealt with prorationing?

5 A. It isn't available to me.

6 Q. When we get in this situation, one of
7 the few things we have we can still look to is
8 the production rates of wells and pools; isn't
9 that right? We still have that?

10 A. Right -- well, you can go to the annual
11 report or the monthly statistical reports to get
12 it. We don't have the gas proration figures.

13 Q. We don't have those schedules, but we
14 do have production information, although we don't
15 have monthly sort of updates on where we are well
16 by well?

17 A. Right.

18 Q. When you looked at this and conducted
19 the review you have of the production trends in
20 the South Blanco-Pictured Cliffs Pool, I believe
21 you indicated that based on the data, admitting
22 there were some problems potentially with the
23 data, that there were approximately 326
24 non-marginal units in the pool at this time, or
25 at least the last time you had data?

1 A. That's what the schedule shows.

2 Q. Looking at the schedule or any other
3 information available to you, could you determine
4 or were you able to determine how many of those
5 wells were able to produce even 100 Mcf a day?

6 A. No, I did not -- did not look at that.

7 Q. Well, would it surprise you to know
8 that not even 50 of them came?

9 A. No -- or at least I don't know about
10 the capability, but I think that that wouldn't
11 surprise me to learn that 50 or less did not
12 produce.

13 Q. Now, other pools have been deprorated
14 in the past?

15 A. Yes.

16 Q. And to the extent that you may be
17 familiar with those, and you can tell me if
18 you're not, are you aware of any pool that got
19 down to just one non-marginal well before it was
20 deprorated?

21 A. Yeah. Four or five.

22 Q. Which one?

23 A. In the southeast.

24 Q. In the southeast?

25 A. Yeah.

1 Q. Any of these other Pictured Cliffs
2 pools hit that cutoff before they were
3 deprorated, or do you know?

4 A. I doubt it. But I also do not recall
5 exactly what the industry situation was at the
6 time that brought up that deproration. Times
7 change.

8 Q. In the prehearing statement filed and
9 in response to some questions from Mr. Camp, you
10 talked about non-discrimination between pools?

11 A. Yes.

12 Q. And if I understood your testimony, you
13 weren't really making a recommendation on that
14 today?

15 A. No.

16 Q. That's right. No, you were not making
17 a recommendation?

18 A. No, I was not making a recommendation,
19 and I wasn't alleging that there was any
20 unreasonable discrimination between pools.

21 MR. CARR: All right. That's all I
22 have.

23 EXAMINER STOGNER: Thank you, Mr.
24 Carr.

25 Mr. Camp, any redirect?

1 MR. CAMP: No, sir.

2 EXAMINER STOGNER: Mr. Van Ryan?

3 MR. VAN RYAN: None.

4 EXAMINER STOGNER: I have no other
5 questions of Mr. Lyon at this time. You may be
6 excused.

7 Do you have anything else or any other
8 witnesses?

9 MR. CAMP: No. No other witnesses.

10 EXAMINER STOGNER: Mr. Carr, do you
11 wish to recall your witness or have any other
12 witnesses?

13 MR. CARR: No, I do not. I have a
14 brief closing.

15 EXAMINER STOGNER: Okay. Mr. Camp,
16 I'll allow you to go first. And, Mr. Carr, I'll
17 allow you to finish up with a couple of four
18 letter words, if you'd like.

19 MR. CAMP: Just don't deprorate his
20 ability to use that.

21 MR. CARR: I don't know anymore whether
22 to say "deprorate" or "deproration,"
23 grammatically that is.

24 MR. CAMP: I think our position can be
25 succinctly put that their own evidence shows that

1 takes are declining from the South
2 Blanco-Pictured Cliffs Pool and that take is
3 reflective of the market demand in our opinion.

4 The productive capability is not
5 declining at that rate. And to deplete it at
6 this time, which they have testified will at
7 least temporarily increase production, means that
8 they've got to be taking the market demand away
9 from somebody else.

10 First of all, you shouldn't be doing it
11 because the market demand isn't there. But if
12 you did do it, then you'd fall into the
13 prohibition, or at least there needs to be an
14 inquiry by this Division into if there is a
15 finite market for all of northwestern New Mexico
16 gas, who are they taking it away from? And is
17 that reasonable, or is it unreasonable?

18 And everything that I've seen shows
19 that the market demand is going to remain
20 relatively stable. And there's a tremendous
21 increase of deliverability that's going to come
22 on from other sources of supply. And it's a
23 statutory requirement that we in setting
24 allowables shall prevent unreasonable
25 discrimination.

1 The takes aren't there. But they want
2 to increase production. Something has to give.
3 I believe that, first of all, it's unnecessary
4 because the market demand is not there. Second
5 of all, because if it is, if they can increase
6 their market share, it's going to have to be at
7 the expense of somebody else.

8 And then finally I think the point that
9 Mr. Lyon was trying to make is we really don't
10 have really good data right now to determine
11 whether they really are being adversely affected
12 by the proration rules. I believe that within a
13 fairly short time that data will become
14 available.

15 As we draw it up from the C-115s and
16 get another source of data, we will have that,
17 and at that time let's consider it, see how they
18 really are being affected by some good data. But
19 at this time at a minimum it's premature. And if
20 this Division thinks that it should go ahead, I
21 think that there at least should be some inquiry
22 into the effect on the market demand of other
23 pools that are nearby.

24 And I point this out because we are a
25 gas transportation facility that are connected to

1 almost, if not all those other Pictured Cliffs
2 pools, we serve those areas too. And that is
3 exactly what you're supposed to do under
4 70-2-16(d), is inquire into that area. Just make
5 sure that unreasonable discrimination is not
6 occurring. Thank you.

7 EXAMINER STOGNER: Thank you, Mr.
8 Camp.

9 Mr. Carr.

10 MR. CARR: May it please the Examiner,
11 UNOCAL is before you today seeking an order to
12 terminate prorationing in the South
13 Blanco-Pictured Cliffs Pool. We stand before you
14 having pooled every operator in the pool and
15 having not one dissenting vote.

16 The Gas Company has come in here today,
17 and they have basically testified that the system
18 is broke. I submit to you that is a good reason
19 to step outside prorationing right now. They
20 said they need more data; that we're working on
21 the C-115s.

22 I'll tell you right now, our Exhibit
23 No. 12 is a compilation of information from the
24 C-115s. That work has been done, and we're
25 standing before you at this point in time where

1 we've looked to the one thing we can rely on, the
2 one thing that we can count on, and that's
3 production information. And we've taken that and
4 translated it so that we can show you that we
5 have a low productivity reservoir and a reservoir
6 that is substantially depleted.

7 In looking at these two things and
8 comparing it to the precedent that was set in the
9 mid-1970s, we submit to you that we have made not
10 only a prima facie showing but a compelling
11 showing that the time has come to deplete this
12 field.

13 Mr. Lyon says that he is not going to
14 make a presentation or a recommendation
15 concerning discrimination between fields. His
16 attorney, however, keeps pointing to the fact
17 that that's a charge in the statute.

18 Well, I would submit to you that when
19 you look at the information that we've presented,
20 if there is discrimination between fields, it's
21 where you have pools collectively that have been
22 deplete or individually Pictured Cliffs pools
23 have been deplete in one pool.

24 And you can look at the South
25 Blanco-Pictured Cliffs, and you can see it's

1 performing the same way and that it appears to be
2 in the same reservoir. And if you deprorate some
3 and you apply allowable limitations in the other,
4 in the South Blanco, the pool that's being
5 discriminated against is South Blanco.

6 And if you look at the statutory charge
7 alone, I submit to you this pool must be
8 deprorated. The reason it wasn't in 1974 was
9 because of pressure variations in the pipelines
10 that were connected and taking from the field.
11 That doesn't exist anymore, so we're beyond
12 that.

13 This pool at that time, if you look at
14 our evidence, was producing at such a low rate
15 that it actually in all respects qualified for
16 deprorationing at that time, except for this
17 pipeline problem, and that now is gone. And in
18 the meantime the producing capability of average
19 wells in the pool has dropped from somewhere near
20 100 to down to about 24. So, if anything, the
21 case is more compelling today.

22 Gas Company didn't recommend you not
23 grant our application. They just puzzled that it
24 might be brought prematurely. We submit to you
25 that when you look at this record and when you

1 look at your statutory charges, that you'll find
2 you have to grant the application.

3 Your jurisdiction, whether it is in
4 prorating or compulsory pooling or approving an
5 unorthodox location, is to prevent waste. The
6 only response we have from Mr. Lyon on waste was,
7 well, it will affect it. This order could affect
8 the way they do business. I fail to see how that
9 meets a waste issue when what we're showing you
10 is that if you deprorate, we remove an obstacle
11 that will permit additional compression, will
12 permit enhanced recovery techniques to be
13 employed.

14 Now, we can't tell you that it happened
15 on this particular well in another pool that was
16 deprorated in 1974, but we have told you it was
17 an impediment to efficient practices now and
18 that, if you grant this application, these things
19 will take place and that the ultimate recovery
20 from the reservoir will be increased. That is a
21 waste prevention matter. And under your
22 statutory duty, we submit, on the waste issue,
23 you must grant the application.

24 As to correlative rights, how do you
25 look at correlative rights? Well, you take

1 production data; you take the best information
2 you have; and you prepare volumetric
3 calculations. And you say, in an old reservoir
4 at these low producing rates with these low
5 pressures, you can deplete the best well in the
6 pool, and you can take the cap off, and it cannot
7 drain the acreage dedicated to it.

8 I submit to you in that circumstance we
9 could not be violating the right of any operator
10 in the pool or any owner in the pool to produce
11 his just and fair share of the reserves. On the
12 correlative grounds alone you must grant this
13 application.

14 We've reviewed for you the benefits,
15 and the benefits were simply encouragement of
16 future development, avoidance of unnecessary
17 curtailment of a few good wells, maintaining a
18 market share, and avoiding ridiculous unnecessary
19 paperwork.

20 On each and every one of these points,
21 we've carried the burden, and we stand before you
22 now asking you to follow the statute and grant
23 this application.

24 I have been granted the opportunity by
25 the Examiner to use four letter words twice, and

1 I will say, "FERC," "FERC" in closing.

2 EXAMINER STOGNER: Thank you, Mr.

3 Carr.

4 Does anybody else have anything further
5 in Case 521 at this time?

6 Just as a matter of record, was there
7 an Exhibit No. 16?

8 MR. CARR: There was no Exhibit 16.

9 EXAMINER STOGNER: Let the record show
10 there were Exhibits 15 and 17 but no 16.

11 As alluded to earlier, there was an
12 advertisement error in the Observer. This case
13 will be called on August 20, 1992. I don't
14 expect any additional testimony to be given at
15 that time. An order would then be subsequently
16 issued. However, I'd like to take advantage,
17 since we have two ex-OCD or OCC employees here,
18 I'd like a rough draft between now and then, by
19 August 20 from both parties for me to consider
20 in the case. I'll take advantage of Mr. Carr's
21 and Mr. Lyon's writing abilities in writing
22 orders.

23 With that I will conclude this
24 particular case. Let's take a ten-minute
25 recess. We've got two additional cases to

1 consider, nomenclature and the Barber Oil.

2 Thank you gentlemen.

3 [And the proceedings were concluded.]

4
5
6
7
8
9
10
11
12
13 I do hereby certify that the foregoing is
14 a complete record of the proceedings in
the Examiner's hearing of Case No. 10521,
heard by me on 6 August 1992.

15
16  Examiner
Oil Conservation Division


1 CERTIFICATE OF REPORTER

2
3 STATE OF NEW MEXICO)
4) ss.
5 COUNTY OF SANTA FE)

6 I, Debbie Vestal, Certified Shorthand
7 Reporter and Notary Public, HEREBY CERTIFY that
8 the foregoing transcript of proceedings before
9 the Oil Conservation Division was reported by me;
10 that I caused my notes to be transcribed under my
11 personal supervision; and that the foregoing is a
12 true and accurate record of the proceedings.

13 I FURTHER CERTIFY that I am not a
14 relative or employee of any of the parties or
15 attorneys involved in this matter and that I have
16 no personal interest in the final disposition of
17 this matter.

18 WITNESS MY HAND AND SEAL AUGUST 20,
19 1992.
20

21
22 
23 _____
24 DEBBIE VESTAL, RPR
25 NEW MEXICO CSR NO. 3

NEW MEXICO OIL CONSERVATION DIVISION

STATE OF NEW MEXICO

CASE NO. 10521

IN THE MATTER OF:

The Application of Union Oil Company
of California, d/b/a UNOCAL, for
termination of gas prorationing in
the South Blanco-Pictured Cliffs Pool,
Rio Arriba, Sandoval, and San Juan
Counties, New Mexico.

BEFORE:

DAVID R. CATANACH

Hearing Examiner

State Land Office Building

August 20, 1992

REPORTED BY:

DEBBIE VESTAL
Certified Shorthand Reporter
for the State of New Mexico

ORIGINAL

1 EXAMINER CATANACH: And at this time
2 I'll call Case 10521, application of Union Oil
3 Company of California, d/b/a UNOCAL, for
4 termination of gas prorationing in the South
5 Blanco-Pictured Cliffs Pool, Rio Arriba,
6 Sandoval, and San Juan Counties, New Mexico.

7 Again I understand this case was heard
8 on August 6 and was readvertised -- I'm sorry.
9 It was not advertised in a certain newspaper and
10 had to be continued for this time.

11 Are there additional appearances in
12 this case at this time?

13 There being none, Case 10521 will be
14 taken under advisement.

15 [And the proceedings were concluded.]
16
17
18

19 I do hereby certify that the foregoing is
20 a complete record of the proceedings in
21 the Examiner hearing of Case No. 10521,
22 heard by me on August 20 1982.

23 David R. Catanach, Examiner
24 Oil Conservation Division
25


CERTIFICATE OF REPORTER

STATE OF NEW MEXICO)
) ss.
COUNTY OF SANTA FE)

I, Debbie Vestal, Certified Shorthand Reporter and Notary Public, HEREBY CERTIFY that the foregoing transcript of proceedings before the Oil Conservation Division was reported by me; that I caused my notes to be transcribed under my personal supervision; and that the foregoing is a true and accurate record of the proceedings.

I FURTHER CERTIFY that I am not a relative or employee of any of the parties or attorneys involved in this matter and that I have no personal interest in the final disposition of this matter.

WITNESS MY HAND AND SEAL AUGUST 24,
1992.



DEBBIE VESTAL, RPR
NEW MEXICO CSR NO. 3