

NEW MEXICO OIL CONSERVATION DIVISION

STATE OF NEW MEXICO

CASE NO. 10533

IN THE MATTER OF:

The Application of BTA Oil Producers
for directional drilling and an
unorthodox bottomhole gas well
location, Eddy County, New Mexico.

BEFORE:

DAVID R. CATANACH

Hearing Examiner

State Land Office Building

August 20, 1992

REPORTED BY:

DEBBIE VESTAL
Certified Shorthand Reporter
for the State of New Mexico

ORIGINAL

A P P E A R A N C E S

FOR THE APPLICANT:

CAMPBELL, CARR, BERGE & SHERIDAN, P.A.
Post Office Box 2208
Santa Fe, New Mexico 87504-2208
BY: WILLIAM F. CARR, ESQ.

FOR MARATHON OIL COMPANY:

KELLAHIN & KELLAHIN
Post Office Box 2265
Santa Fe, New Mexico 87504-2265
BY: W. THOMAS KELLAHIN, ESQ.

I N D E X

Page Number

Appearances

2

WITNESSES FOR THE APPLICANT:

1. KEITH LOGAN

Examination by Mr. Carr

5

Examination by Mr. Kellahin

17

Ex. by Examiner Catanach

20, 24

Certificate of Reporter

28

E X H I B I T S

Page Identified

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

Exhibit No. 1	8
Exhibit No. 2	10
Exhibit No. 3	12
Exhibit No. 4	
Exhibit No. 5	15

1 EXAMINER CATANACH: Call the hearing
2 back to order. At this time we'll call Case
3 10533, application of BTA Oil Producers for
4 directional drilling and an unorthodox bottomhole
5 gas well location, Eddy County, New Mexico.

6 Are there appearances in this case?

7 MR. CARR: May it please the Examiner,
8 my name is William F. Carr with the law firm,
9 Campbell, Carr, Berge & Sheridan. We represent
10 BTA Oil Producers. And I have one witness.

11 EXAMINER CATANACH: Other appearances?

12 MR. KELLAHIN: Mr. Examiner, I'm Tom
13 Kellahin, of the Santa Fe law firm of Kellahin &
14 Kellahin, appearing on behalf of Marathon Oil
15 Company. And I do not have any witnesses today.

16 EXAMINER CATANACH: Any other
17 appearances?

18 Will the witness, please, stand and be
19 sworn in.

20 **KEITH LOGAN**

21 Having been duly sworn upon his oath, was
22 examined and testified as follows:

23 EXAMINATION

24 BY MR. CARR:

25 Q. Will you state your full name and place

1 of residence?

2 A. Keith Logan. I live in Midland, Texas.

3 Q. By whom are you employed?

4 A. BTA Oil Producers.

5 Q. And in what capacity?

6 A. As a reservoir engineer.

7 Q. Mr. Logan, have you previously
8 testified before this Division?

9 A. Yes, I have.

10 Q. At the time of that prior testimony,
11 were your credentials as a petroleum engineer
12 accepted and made a matter of record?

13 A. Yes, they were.

14 Q. Are you familiar with the application
15 filed today on behalf of BTA Oil Producers?

16 A. Yes, I am.

17 Q. Are you familiar with the subject well
18 and BTA's plans to directionally drill this well?

19 A. Yes, I am.

20 MR. CARR: Are the witness'
21 qualifications acceptable?

22 EXAMINER CATANACH: They are.

23 Q. (BY MR. CARR) Mr. Logan, would you
24 briefly state what BTA seeks with this
25 application?

1 A. We are seeking approval to
2 directionally drill our existing 9201 JV-P Indian
3 No. 1 well, which is located 1650-1650 from the
4 north and east line of Section 20 of 22 South and
5 23 East in Eddy County, New Mexico, and kick it
6 off at approximately 5400 feet and deviate to the
7 northeast or bottomhole location of 1300 feet
8 from the north and east line.

9 Q. What is the current status of this
10 well?

11 A. We are currently just -- we are pumping
12 right now water off of it.

13 Q. When was it drilled?

14 A. Well, it was actually drilled in --
15 started drilling in March. We got to TD, but the
16 original TD was in the Morrow in May of this
17 year.

18 Q. And the well is currently producing
19 water?

20 A. Correct.

21 Q. Has there been a gas show?

22 A. Yes.

23 Q. Is this a commercial well?

24 A. No, it is not.

25 Q. And in what pool is the well completed?

1 A. It would be completed within the Indian
2 Basin-Upper Penn.

3 Q. What are the spacing requirements in
4 that pool?

5 A. Okay. It's on 640-acre spacing.

6 Q. What would be a standard well location
7 setback from the outer boundary?

8 A. No closer than 1650 from any boundary
9 -- well, from two boundaries.

10 Q. Let's go to what has been marked as BTA
11 Exhibit No. 1. Would you identify that, please?

12 A. Okay. Exhibit No. 1 is really a
13 combination of both a structure map and it also
14 includes production from wells on the map within
15 the Indian Basin-Upper Penn Pool. And, as you
16 can see the field, this is a southern extension
17 of the field.

18 You do have wells to the east of the
19 location also that did produce quite a bit of gas
20 from the Upper Penn. The well in 21, of course,
21 made 12 Bcf and the one in 22 made 10. But, of
22 course, the wells to the north are by far the
23 better wells in the field.

24 What I'm showing here, structurally we
25 came in at a minus 3054, which put us

1 significantly high to the well in Section 21,
2 which is still making gas but is making some
3 water. And, you know, we are quite a bit up-dip
4 to that, and when we drilled the well, we found
5 from RFT pressures that we were in communication
6 with the main reservoir at 1400 pounds.

7 Q. Now, on what interval have you
8 contoured?

9 A. Well, this is the top of the Upper
10 Penn.

11 Q. All right. And the subject well is
12 shown in the north half of 20?

13 A. Correct.

14 Q. The surface location is indicated and
15 the proposed bottomhole location has a red circle
16 around it?

17 A. Red circle, correct.

18 Q. Who owns the acreage or operates the
19 acreage north, northeast, and east of this
20 property?

21 A. Okay. North and northeast Chevron
22 operates, but Marathon Oil has a large interest
23 in both wells. The well to the east is operated
24 by Amax.

25 Q. How did BTA actually acquire its

1 interest in Section 20?

2 A. The north half of Section 20 was by
3 farmout from Chevron. The south half was by
4 farmout from Mobil.

5 Q. If you're able to make a successful
6 completion in the Indian Basin-Upper Penn, would
7 you communitize the entire Section 20 --

8 A. Right.

9 Q. -- for a standard unit?

10 A. Right.

11 Q. You indicated that, although the well
12 was producing water structurally, you are high to
13 wells to the east?

14 A. Correct -- well, right, to the east and
15 northeast.

16 Q. Let's go now to what has been marked as
17 BTA Exhibit No. 2, your cross-section, and I
18 would ask you to review this for Mr. Catanach.

19 A. Okay. The map for the cross-sections
20 on the far right side that -- what this is is a
21 structural cross-section north-south, okay, going
22 north-south including the two wells in Section 16
23 and 17, which are two really good producing wells
24 extending south to our location and then going to
25 the dry hole in Section 21 and also the producer

1 in Section 21 and then the dry hole down in 28.

2 And on the left side, of course, that
3 is the well in the Section 17, which has made
4 well over 30 Bcf. And as you come down, of
5 course, you are going down-structure, and you
6 come to the well in Section 16. I just
7 extrapolated these in from a structural
8 standpoint. And you come down to our location, a
9 third well.

10 What encouraged us about what we found
11 here was we found clean dolomite. It had good
12 porosity for this area. And the fact that we ran
13 RFT pressures on it and got several that
14 confirmed that we were tied in with the main
15 reservoir and we were high to wells that, you
16 know, still produced gas, we felt like we had a
17 very good shot at making a gas well there.

18 As you continue down here, the well to
19 the east, which is the dry hole, was structurally
20 flat to us. But, as you can see, what I've got
21 colored in green, the pay quality or the clean
22 dolomite was just not in existence. It was very
23 ratty looking to me. You had shales intermixed
24 in there. And they did have shows of gas on that
25 well, but we're not able to produce it.

1 Q. In drilling the well did you use
2 freshwater?

3 A. We used freshwater.

4 Q. And what kind of volumes did you use?

5 A. Well, we had a water well when we were
6 drilling it. In fact, since we were taking it to
7 the Morrow, we drilled this section and logged it
8 and continued to drill and then ran pipes. So we
9 figured the zone itself was open for about five
10 days with having just freshwater on it,
11 freshwater sitting on top of 1400 pounds.

12 There was very good indications that
13 you would lose fluid because it was going to go
14 into that 1400 pounds. And we think we could
15 have lost as much as 20,000 barrels.

16 Q. Now, by directionally drilling to the
17 proposed unorthodox location, what is it that BTA
18 hopes to achieve?

19 A. We want to get away from this wellbore,
20 and we also want to gain some structure. We --

21 Q. Let's move to BTA Exhibit No. 3. Could
22 you identify that and review it for the
23 Examiner?

24 A. Okay. Exhibit No. 3 is a map showing
25 the "A" on Exhibit No. 3 -- "A" on Exhibit No. 3

1 is the subsea elevation of the top perf and the
2 bottom perf.

3 Q. Now, you have that for each well in the
4 immediate area except the subject well?

5 A. Correct.

6 Q. And then what does the "B" indicate?

7 A. The "B" indicates the current gas
8 producing rate, current water producing rate.

9 Q. And, Mr. Logan, the figures for the
10 subject well were just inadvertently omitted from
11 the exhibit; is that correct?

12 A. Correct.

13 Q. What is the perforated interval in the
14 BTA well in the north half of Section 20?

15 A. Okay. The top perforation is at a
16 minus 3054, and the bottom perforation is at
17 minus 3145.

18 Q. And how does this interval compare with
19 the offsetting wells?

20 A. Well, if you look to the wells to the
21 east and, say, like, the well in 15 and the well
22 in 21, it's telling me that our bottom
23 perforation, you know, was still above their
24 bottom perforation. And the one in 21 is
25 completely below our bottom perforation. And

1 they are still making some gas. They are making
2 water also.

3 The well in 15, though, the bottom
4 perforation is at minus 3303, which is more than
5 150 feet below our bottom perforation. And they
6 are making gas almost water-free.

7 Q. Mr. Logan, what are the producing rates
8 in the BTA well in the north half of 20?

9 A. Well, essentially what we're making,
10 we're making very little gas, but we are making
11 -- we've got a pumping unit on it, a gas-operated
12 pumping unit. And we are making enough gas to
13 run it, but we're making over 400 barrels of
14 water a day. So we know we've got permeability.

15 Q. But you're not producing gas?

16 A. Not in commercial quantities, no.

17 Q. Do you recommend that a penalty be
18 imposed on the proposed unorthodox well location?

19 A. Well, we have discussed this with
20 Chevron and have agreed or had agreed to a 21 --
21 roughly a 21 percent penalty.

22 Q. Have subsequently you been in
23 negotiations with Marathon to try and stipulate a
24 penalty to be imposed on this well due to its
25 unorthodox location?

1 A. Yes, we have.

2 Q. And what penalty is that?

3 A. It's 32-1/2 percent.

4 Q. Does BTA recommend that that penalty be
5 imposed on the well at this proposed bottomhole
6 location?

7 A. Yes, we do.

8 Q. And against what should this penalty
9 actually be applied?

10 A. Against the allowable.

11 Q. Now, the 21 percent penalty was based
12 just on distance encroachment toward the offset
13 property?

14 A. Right. The 1300 over the 1650.

15 Q. And the 32.5 percent penalty was what?

16 A. Was based on negotiations.

17 Q. Will BTA conduct a directional survey
18 to determine the exact location of the bottomhole
19 of this well as required by Division Rule 111?

20 A. Yes, we will.

21 Q. Is Exhibit No. 5 a copy of an affidavit
22 confirming that notice of today's hearing has
23 been provided to offsetting operators as required
24 by OCD rule?

25 A. Yes, it is.

1 Q. And the operators are identified, and
2 the notice letters are attached?

3 A. Correct.

4 Q. In your opinion will approval of this
5 application and completion of the well at the
6 proposed unorthodox bottomhole location enable
7 BTA, if the well is successful, to recover
8 reserves that otherwise would not be recovered?

9 A. Yes.

10 Q. And that would prevent waste?

11 A. Correct.

12 Q. In your opinion will approval of the
13 location and imposition of a penalty of 32-1/2
14 percent enable BTA to produce the well without
15 impairing the correlative rights of other
16 interest owners in the pool?

17 A. Yes, it will.

18 Q. Were Exhibits 1, 2, 3, and 5 either
19 prepared by you or compiled under your direction?

20 A. Yes, they were.

21 MR. CARR: At this time, Mr. Catanach,
22 we move the admission of BTA Exhibits 1, 2, 3,
23 and 5.

24 EXAMINER CATANACH: Exhibits 1, 2, 3
25 and 5 will be admitted as evidence.

1 MR. CARR: That concludes my
2 examination of Mr. Logan.

3 EXAMINER CATANACH: Mr. Kellahin.

4 EXAMINATION

5 BY MR. KELLAHIN:

6 Q. Mr. Logan, a couple of questions for
7 clarification. On the cross-section that we have
8 in front of us, when we look at well No. 4, which
9 is the Hanagan well in the northwest of 21,
10 Exhibit 3 shows that to be a dry hole?

11 A. Yes.

12 Q. In looking at the test information on
13 that well, it appears that that well did not
14 recover formation water in any of the tests. Did
15 I read that right?

16 A. Not that has been reported.

17 Q. Okay.

18 A. I don't know of any.

19 Q. When we look at your well, No. 3, did
20 you selectively perforate that well from the
21 highest perforations down to the deepest
22 perforations, or were all these perforations done
23 at the same time?

24 A. They were done at the same time. They
25 were not, you know, each tested separately. No.

1 Q. Do you have any opinion about where the
2 gas-water contact might be in terms of Exhibit
3 No. 3, the structure map?

4 A. Well, the well I'm really keying off of
5 for that respect is the well in the northeast of
6 21, being that the top fits at a minus of 3197.
7 Its top perf is at minus 3204 and bottom perf at
8 minus 3348. I think it's going to be somewhere
9 in the 32 -- minus 3200 range is what we're
10 looking at, or I don't think we ever would have
11 drilled the well in the first place.

12 Q. The well in the northeast of 21, it is
13 water-free gas production?

14 A. It is not water-free, no.

15 Q. Where do you think the -- what's the
16 highest known point of water production in that
17 well?

18 A. Well, I'd say the highest known point
19 would have to be the top perforation.

20 Q. Okay.

21 A. I mean, that would be the, I think, the
22 worst-case scenario, is to put it at the very
23 top, which would still put it right around the
24 3200, minus 3200 point.

25 Q. And your explanation for the water

1 production in your well is that this may be load
2 water that was in the well that affected the
3 ability of that well to produce gas?

4 A. Well, we felt it was load water for a
5 long time. I can't explain what -- I think we've
6 given it every shot and to this point have made a
7 lot of water beyond the load point. And we just
8 feel like this is the only alternative we have at
9 this point.

10 Q. Why are you proposing to move to the
11 unorthodox location as opposed to a location that
12 would be more standard?

13 A. Well, I think if we're going to risk --
14 I mean, this location has been sitting out here
15 for 20 years. If we're going to risk the money
16 to deviate in any direction, I think we ought to
17 be moving up-structure.

18 Q. And so the redrilling of the well to a
19 new bottomhole location is intended to gain
20 structural position?

21 A. Yes. I definitely think we're looking
22 to do that also.

23 Q. Will you have the ability to control
24 the wellbore to hit a bottomhole target?

25 A. Yes, we will.

1 Q. What is your proposed bottomhole radius
2 target that you want to stay within?

3 A. Well, the rules state within 50 feet.

4 Q. And is that a standard that you believe
5 you can satisfy in executing the redrill of the
6 well?

7 A. Definitely.

8 MR. KELLAHIN: No further questions,
9 Mr. Examiner.

10 EXAMINATION

11 BY EXAMINER CATANACH:

12 Q. Mr. Logan, how much water have you
13 produced to date?

14 A. Roughly 40,000 barrels.

15 Q. And a load was 20,000 barrels?

16 A. That is our estimate.

17 Q. Has there been any attempt made to try
18 and isolate perforations to see where the water
19 was coming from?

20 A. Well, we did run a production log just
21 to get an idea. And, you know, we're getting the
22 main flow through the -- or main entry through
23 the higher porosity intervals. That's, I mean,
24 which if you were to, you know, put water in, of
25 course, it's going to go where it's easiest to go

1 into. And we got our best RFT pressures where we
2 had our highest porosity there towards the base.
3 But we have not done anything to isolate each
4 perforation.

5 Q. How much structural position will you
6 gain with the new bottomhole location?

7 A. I don't think we're going to gain more
8 than 25 feet personally.

9 Q. You mentioned that one of the primary
10 reasons you wanted to directionally drill was to
11 get away from the wellbore. Why is that?

12 A. Well, you put so much water in it and
13 you've taken so much out, and we've done our best
14 guess how far the water might have gone. But, of
15 course, it's not going to be a perfect circle
16 either so --

17 Q. So you feel like that distance away
18 from the wellbore will get you clear of the
19 water?

20 A. Well, we're not even sure of that at
21 this point. I wish we were. There's no magic in
22 500 feet at this point. But we want to get far
23 enough away, and, you know, we also felt like a
24 penalty might be a possibility and wanted to keep
25 that to a minimum.

1 Q. How long has the well been pumping?

2 A. Well, we swabbed on it for about two
3 months. And we've been pumping on it for at
4 least a month.

5 Q. You don't consider staying on the
6 present wellbore and continued pumping an
7 alternative at all?

8 A. Well, I think we've done everything we
9 can at this point. I mean, I would have thought
10 we would have shut down a long time back, you
11 know, when we had recovered what we thought was
12 all we could have lost into it. But there comes
13 a point in time you've got to do something
14 different.

15 Q. You don't think it's going to do any
16 good to stay on the well?

17 A. No, I don't.

18 Q. Okay. The proposed production penalty,
19 as far as you understand, has been agreed to by
20 BTA and by Marathon and by Chevron?

21 A. Yes.

22 Q. That's not a question here; that's been
23 agreed to?

24 A. That has been agreed to.

25 Q. You said that that was negotiated.

1 What are the factors that were used in those
2 negotiations?

3 A. Well, I'll have to say that I was not
4 really involved in those negotiations. I mean, I
5 had something to do with the 21 percent with
6 Chevron, and I understood that from a distant
7 standpoint. But I was not involved in the
8 negotiations with Marathon.

9 EXAMINER CATANACH: I believe that's
10 all I have.

11 MR. CARR: Mr. Catanach, that's all we
12 have. Mr. Kellahin, I think, may want to make a
13 statement in regard to the negotiation on the
14 penalty and I can respond to that as well.

15 EXAMINER CATANACH: Okay.

16 MR. KELLAHIN: Mr. Examiner, Marathon
17 thought it important to have two components to
18 the penalized allowable for the well, not only
19 one based upon the physical encroachment of the
20 well towards the offsetting properties, but to
21 take into account what Marathon believed was
22 nonproductive acreage within the spacing unit.

23 We calculated a penalty for the
24 proposed well that approached 70 percent and, as
25 a result of negotiations and compromise with the

1 parties, have settled for an arbitrary 32.5
2 percent. But the change in percentages was to
3 address our concern about having nonproductive
4 acreage dedicated to the well.

5 The end result of the negotiations was
6 an agreement on the level of 32.5 percent for the
7 production penalty and does not necessarily
8 reflect what the parties may believe to be the
9 actual productive acreage.

10 MR. CARR: Just by way of response,
11 Marathon had some very definite figures that they
12 were proposing as to the number of productive
13 acres, and we couldn't agree on that figure. But
14 when the penalty number was proposed, without
15 agreeing to the underlying calculation, we agreed
16 that it would permit us to go forward with the
17 development of the property by directional
18 drilling. And so we did agree to recommend to
19 you that figure, and that's what we've done.

20 CONTINUED EXAMINATION

21 BY EXAMINER CATANACH:

22 Q. Let me ask Mr. Logan if BTA has an
23 opinion on productive acreage within the
24 section.

25 A. Based on the well in Section 21, the

1 fact that it appears that we're -- you know,
2 we're above what I think could be the gas-water
3 contact at minus 3200 feet. We have continually
4 gotten gas shows on our well.

5 Q. So you contend that all of Section 20
6 is productive?

7 A. In my opinion, yes, it could be.
8 That's all I can say at this point, because we've
9 got a wellbore there that we really don't know
10 what's happened to it. I'm just saying it is a
11 possibility, yes, that the whole section is
12 productive.

13 Q. Mr. Logan, do you know what the
14 allowable is running in the Indian Basin-Upper
15 Penn Pool?

16 A. I'm guessing around 5 million a day,
17 something like that.

18 Q. Do you think the production penalty is
19 going to have an effect on the well, I mean, as
20 far as reducing its production?

21 A. Well, I do. And the reason I say that
22 is because I think we're taking a big risk to
23 even do what we're doing right now. And I think
24 we've got to have some reason to go in there and
25 do it.

1 If we were, you know, had a severe
2 production penalty, I don't know that we -- we've
3 spent a lot of money pumping water, and I think
4 we've done everything we can to make a well out
5 of it. And I think the penalty, as set right
6 now, is fair as proposed.

7 Q. What I'm saying, though, the penalty is
8 not based on the well's ability to produce.

9 A. Yes, I know that.

10 Q. And if you come in at a rate less than
11 the allowable, the penalty may not have an effect
12 at all on your producing rate. You may still be
13 able to produce the well at full capacity.

14 A. Well, I do understand that.

15 Q. I guess Marathon and Chevron understand
16 that as well.

17 MR. KELLAHIN: Mr. Examiner, sometimes
18 that is a hotly contested item. In this instance
19 the parties that negotiated this penalty
20 understand the allowable against which that
21 penalty will be paid.

22 EXAMINER CATANACH: Okay. I have
23 nothing further.

24 MR. CARR: I have nothing further.

25 EXAMINER CATANACH: There being nothing

1 further, Case 10533 will be taken under
2 advisement.

3 [And the proceedings were concluded.]
4
5
6
7
8
9
10
11

12 I do hereby certify that the foregoing is
13 a complete record of the proceedings in
14 the Examiner hearing of Case no. 10533,
15 heard by me on August 20 1992.
16 David R. Litant, Examiner
17 Oil Conservation Division
18
19
20
21
22
23
24
25


CERTIFICATE OF REPORTER

STATE OF NEW MEXICO)
) ss.
COUNTY OF SANTA FE)

I, Debbie Vestal, Certified Shorthand Reporter and Notary Public, HEREBY CERTIFY that the foregoing transcript of proceedings before the Oil Conservation Division was reported by me; that I caused my notes to be transcribed under my personal supervision; and that the foregoing is a true and accurate record of the proceedings.

I FURTHER CERTIFY that I am not a relative or employee of any of the parties or attorneys involved in this matter and that I have no personal interest in the final disposition of this matter.

WITNESS MY HAND AND SEAL AUGUST 24,
1992.


DEBBIE VESTAL, RPR
NEW MEXICO CSR NO. 3