

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

STATE OF NEW MEXICO  
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT  
OIL CONSERVATION DIVISION  
CASE 10,653

EXAMINER HEARING


IN THE MATTER OF:

Application of Armstrong Energy Corporation for  
special pool rules, Lea County, New Mexico

TRANSCRIPT OF PROCEEDINGS

**ORIGINAL**

BEFORE: DAVID R. CATANACH, EXAMINER



STATE LAND OFFICE BUILDING  
SANTA FE, NEW MEXICO  
January 7, 1993

## A P P E A R A N C E S

FOR THE DIVISION:

ROBERT G. STOVALL  
Attorney at Law  
Legal Counsel to the Division  
State Land Office Building  
Santa Fe, New Mexico 87504

FOR THE APPLICANT:

CAMPBELL, CARR, BERGE & SHERIDAN, P.A.  
Attorneys at Law  
By: WILLIAM F. CARR  
Suite 1 - 110 N. Guadalupe  
P.O. Box 2208  
Santa Fe, New Mexico 87504-2208

\* \* \*

	I N D E X	
		Page Number
1		
2		
3	Appearances	2
4	Exhibits	4
5	ROBERT M. BOLING	
6	Direct Examination by Mr. Carr	5
7	Examination by Examiner Catanach	22
8	BRUCE STUBBS	
9	Direct Examination by Mr. Carr	25
10	Examination by Examiner Catanach	44
11	Certificate of Reporter	54
12	* * *	
13		
14		
15		
16		
17		
18		
19		
20		
21		
22		
23		
24		
25		

## E X H I B I T S

1		
2	APPLICANT'S EXHIBITS:	
3	Exhibit 1	8
4	Exhibit 2	16
5	Exhibit 3	18
6	Exhibit 4	19
7	Exhibit 5	7
8	Exhibit 6	28
9	Exhibit 7	31
10	Exhibit 8	32
11	Exhibit 9	33
12	Exhibit 10	35
13	Exhibit 11	37
14	Exhibit 12	37
15	Exhibit 13	39
16	Exhibit 14	43
17	Exhibit 15	43
18	Exhibit 16	44

\* \* \*

19  
20  
21  
22  
23  
24  
25

1           WHEREUPON, the following proceedings were had  
2 at 11:12 a.m.:

3           EXAMINER CATANACH: At this time we'll call  
4 Case 10,653. Application of Armstrong Energy  
5 Corporation for special pool rules, Lea County, New  
6 Mexico.

7           Are there appearances in this case?

8           MR. CARR: May it please the Examiner, my  
9 name is William F. Carr with the Santa Fe law firm  
10 Campbell, Carr, Berge & Sheridan.

11           We represent Armstrong Energy Corporation,  
12 and I have two witnesses.

13           EXAMINER CATANACH: Any other appearances?  
14 Will the two witnesses please stand to be  
15 sworn in?

16           (Thereupon, the witnesses were sworn.)

17                     ROBERT M. BOLING,  
18 the witness herein, after having been first duly sworn  
19 upon his oath, was examined and testified as follows:

20                             DIRECT EXAMINATION

21 BY MR. CARR:

22           Q. Will you state your name for the record,  
23 please?

24           A. Robert Michael Boling.

25           Q. Where do you reside?

1 A. Roswell.

2 Q. By whom are you employed and in what  
3 capacity?

4 A. I'm an independent petroleum geologist,  
5 retained by Armstrong Energy to testify before the  
6 Commission in this case.

7 A. As part of your employment with Armstrong  
8 Energy Corporation, have you made a geological study of  
9 the area which is the subject of this Application?

10 A. I have.

11 Q. Have you previously testified before the New  
12 Mexico Oil Conservation Division?

13 A. I have.

14 Q. At the time of that testimony, were your  
15 credentials as a petroleum geologist accepted and made  
16 a matter of record?

17 A. They were.

18 Q. Are you familiar with the Application in this  
19 case which has been filed on behalf of Armstrong Energy  
20 Corporation?

21 A. I am.

22 MR. CARR: Are the witness's qualifications  
23 acceptable?

24 EXAMINER CATANACH: Yes, they are.

25 Q. (By Mr. Carr) Mr. Boling, would you briefly

1 state what Armstrong seeks in this case?

2 A. We seek to promulgate special rules for the  
3 Northeast Lea-Delaware field.

4 More specifically, we seek to increase the  
5 allowable from 107 barrels a day to 300 barrels a day.

6 Q. Initially I'd like you to go out of order,  
7 refer to what has been marked as Armstrong Exhibit  
8 Number 5.

9 Would you identify this and review what this  
10 shows for Mr. Catanach?

11 A. I will. Exhibit Number 5 shows in stipple  
12 the 480-acre Northeast Lea-Delaware field, which was  
13 formed in 1986.

14 There are three operators presently operating  
15 in the unit: Pennzoil in the southeast southeast of  
16 Section 35, Township 19 South, 34 East, with their  
17 Mescalero Ridge Unit Number 3 well; Harken Exploration  
18 in the northwest of the southeast of Section 2, 20-34,  
19 their Mobile State Number 1 well; and Armstrong Energy  
20 in the northeast of the southwest of Section 2, 20-34,  
21 in the Mobil Lea State Number 1.

22 Q. These are the only current operators or  
23 current wells in the pool at this time?

24 A. That is correct.

25 The exhibit also shows all the Delaware wells

1 within a mile of the subject well, the Armstrong well.

2 The Northeast Lea field is subject to  
3 statewide rules, 107 barrels a day allowable, 2000-to-1  
4 gas/oil ratio, which gives an allowable of 214,000  
5 cubic feet a day.

6 Q. Are you going to review the geological  
7 characteristics of this pool, and then we will have  
8 another witness to discuss engineering aspects?

9 A. Yes, I am.

10 Q. Let's go to what has been marked as Armstrong  
11 Exhibit Number 1. I'd ask you to first identify that  
12 and then review the information on this exhibit for Mr.  
13 Catanach.

14 A. Okay. Exhibit Number 1 is a stratigraphic  
15 cross-section that runs from the northeast on the  
16 right, the southwest on the left --

17 EXAMINER CATANACH: Hang on a second.

18 THE WITNESS: Okay. You need some help?

19 EXAMINER CATANACH: Got it.

20 THE WITNESS: Okay. Northeast on the right,  
21 southwest on the left, includes all the wells that are  
22 currently producing in the Northeast Lea field and all  
23 wells that have the subject reservoir productive in  
24 them, plus two wells that show the terminus of the  
25 stratigraphic limits of the producing interval in our

1 subject well.

2 To begin with, on the right is the Pennzoil  
3 Mescalero Ridge Unit Number 3 well. This was the  
4 discovery well that initiated the Northeast Lea field.

5 It is -- Let me state that there are four  
6 sand intervals that I have correlated on this cross-  
7 section. I correlated the bases of all these  
8 intervals, and I'll refer to them as the first sand,  
9 second sand, third sand -- which is the producing  
10 interval in our well -- and the fourth sand.

11 I might state for the record that within the  
12 general area of this cross-section, every one of those  
13 sands is a productive reservoir, or appears to be.  
14 There are shows or production established in every one  
15 of these sands that lie immediately on top of each  
16 other.

17 Back to the Mescalero Ridge Unit Number 3  
18 well.

19 As you can see, the perforations are from  
20 5780 to 5805, which is in a carbonate interval but is  
21 equivalent stratigraphically to where the second sand  
22 would be. The second sand has -- We've reached the  
23 point of no deposition of the second sand, but the  
24 porosity is present in the carbonate, which is  
25 limestone here.

1           This well was completed in 1986 for initial  
2 production flowing of 64 barrels a day. It's produced  
3 about 24,000 barrels and is currently producing about  
4 five barrels a day.

5           Interesting, two other things to note on the  
6 Pennzoil well is that you can see the base of the first  
7 sand, which is the first correlation mark up there,  
8 there's a remnant of the first sand present, but tight.  
9 So we're beyond the productive limits of the reservoir  
10 in the first sand at that point.

11           If you go down to the third, the datum base  
12 of the producing interval, you'll see that the only  
13 thing left of that third sand interval is the gamma-ray  
14 indication of more radioactivity. But there's no  
15 porosity to speak of in that sand. It's tight sand.  
16 That is the northeast stratigraphic limit of the  
17 reservoir, the productive reservoir.

18           You will see below that the fourth sand  
19 interval is also tight, but present.

20           So this is my control, my trapping mechanism  
21 for the overall accumulation that we're going to talk  
22 about that covers two and a half sections out here on  
23 the northeast updip side.

24           The second well from the right is the  
25 Armstrong Energy Corporation West Pearl State Number 1,

1 which is in the northeast northeast of 2.

2 This well is currently producing out of the  
3 Bone Spring at a rate of about 12 barrels a day. It is  
4 this week being plugged back, and a completion attempt  
5 will be made in the third sand interval in this well,  
6 which falls at approximately 5900 feet.

7 You can see that from one location to the  
8 next -- We've moved one location. We have now a sand  
9 that's got 24 feet of porosity greater than 15 percent.  
10 It's got shows of gas and oil. We have good  
11 fluorescence, we have a zone that we anticipate will be  
12 productive in this wellbore.

13 The stippled line, by the way, that is  
14 crossing this cross-section is the oil/water contact  
15 that we've determined for the producing interval  
16 through both observation and calculation, and I'll talk  
17 -- As I get to the wells where we encountered the  
18 interval, I'll talk about how we got that oil/water  
19 contact established.

20 But as you can see, the zone in the Armstrong  
21 Energy Corporation West Pearl State 1 well clearly lies  
22 above the oil/water contact, which is a minus 2269.

23 The third well is the Harken Energy  
24 Corporation Mobil State Number 1.

25 It's completed from 5626 to 5695. It was

1 completed in 1988 for initial production of 112 barrels  
2 a day. Its cumulative production is about 68,000  
3 barrels. It's currently making about 17 barrels a day,  
4 and some water.

5           Interestingly enough, you see again, you move  
6 one location from the -- two locations from the  
7 Armstrong well over to the Harken well, you see the  
8 first sand goes from a remnant with no porosity,  
9 effective porosity, in the Armstrong well, to a zone  
10 that's 66 feet thick with porosity greater than 15  
11 percent.

12           And the second interval develops also. Again  
13 in the Armstrong well to the northeast, only a remnant  
14 of porosity, zero porosity. We come -- The sand is now  
15 86 feet thick, two locations away.

16           The producing interval in this well -- The  
17 third sand, which is our producing interval, is marked  
18 there. And as you can see, it lies just below the  
19 oil/water contact, within a foot or two of the  
20 oil/water contact. We anticipate that this zone is  
21 wet. There's 18 feet of porosity greater than 15  
22 percent in that well.

23           As we move over to the subject well, the  
24 Armstrong Energy Corporation Mobil Lea State Number 1,  
25 you'll see that the first sand has thinned in terms of

1 net porosity isopach from 66 feet to about ten. This  
2 is one location west.

3 The second zone has increased. It's 110 feet  
4 thick, porosity, we had shows all through -- We had  
5 shows in the ten feet in the first zone, we had shows  
6 all through this 110-foot interval.

7 The subject interval, our productive  
8 interval, has gone from 18 feet thick one location away  
9 in the Harken to 86 feet thick with 60 productive feet  
10 of reservoir in the well.

11 And the fourth interval has thickened  
12 slightly and is wet in the Armstrong Energy Corporation  
13 well.

14 The fifth well there is the Spectrum 7 Mobile  
15 State Number 2 well, dry hole, in the southeast  
16 southwest of Section 2.

17 You see that the first sand thickened back  
18 up. There's 20 feet of porosity greater than 15  
19 percent in that well.

20 We have approximately the same amount of  
21 second sand.

22 The third sand interval, 76 feet thick, so we  
23 lost a little sand.

24 And the fourth is approximately the same.

25 Now, when we were drilling the Mobil Lea

1 State Number 1 well, we drilled into this third sand, #  
2 the productive interval, and lost shows. We drilled 60  
3 feet of shows, and lost shows just like that. And when  
4 we calculated that point at which we lost the shows, it  
5 came out to a minus 2269. So at that time that was my  
6 initial indication that that may be the oil/water  
7 contact.

8 When I went in to remap this area after the  
9 well was drilled and looked at this Spectrum 7 Number 2  
10 well, I noticed that the upper 20 feet of that  
11 reservoir exhibited similar resistivity and porosity  
12 characteristics as our well did. And in fact, there  
13 was a transition zone in that well. And when I went  
14 back and calculated the point at which it became 60-  
15 percent water saturated, which we think is effectively  
16 not productive, that came out to minus 2268.

17 So it looks to me like there's 20 feet of  
18 productive reservoir in that well that was never tested  
19 for some reason. I don't know what happened. But we  
20 have two indications there that the oil/water contact  
21 is at minus 2269.

22 The next well is the Read & Stevens North Lea  
23 Federal Number 7 well, which was drilled in the  
24 southwest of the northeast of Section 10.

25 As you can see, the second zone is quite

1 thick. This well had shows in the first interval,  
2 which is not shown entirely on this cross-section up  
3 there. Above 5700 they had a show in this thick sand,  
4 in the second zone. And then in the third interval  
5 they perforated from 5942 to 5962. They pumped two  
6 weeks on that and pumped a hundred percent water.

7           You'll see that the top of that interval  
8 falls at a minus 2289, another indication that the  
9 oil/water contact is above minus 2289 someplace,  
10 indicating that the minus 2269 is somewhere near where  
11 the oil/water contact is.

12           I might just say that in our well, the  
13 Armstrong Energy Corporation Mobile Lea State, when we  
14 produced that well, the first five days that well made  
15 1406 barrels. It made 564 barrels the first day.

16           The next well is Read & Stevens North Lea  
17 Federal Number 6. It's in the northwest northeast of  
18 Section 10.

19           Again, first zone is very thick. It's not  
20 all on this cross-section. Show in that zone.

21           Anemic show in the second zone, about the  
22 same thickness.

23           Their third zone, the top was encountered at  
24 5890. They perforated 5900 to 5920, IP'd that well at  
25 117 barrels a day. When we looked at the resistivity

1 log and porosity log on this well and calculated the  
2 water saturation, we could actually see the transition  
3 zone about 15 feet thick in this well. And we  
4 calculated that that point at which we achieved the 60-  
5 percent water saturation or nonproductivity was again  
6 minus 2269, another indication that that is the  
7 oil/water contact.

8 The last well is the North Lea Federal Number  
9 5, which is in the northeast of the northwest of 10,  
10 one location west of the Number 6.

11 And you'll see that the productive interval  
12 is completely gone. This is the stratigraphic limit on  
13 the southwest side of the reservoir.

14 Q. (By Mr. Carr) Mr. Boling, would you now go  
15 to what has been marked Armstrong Exhibit Number 2,  
16 your structure map on the base of the productive  
17 interval, and review the major structural  
18 characteristics of the Delaware in this area?

19 A. Okay, Number 2 is -- As Mr. Carr stated, this  
20 is a structure map on the base of the productive  
21 interval across this five-section area.

22 The two -- There are two features that are  
23 significant on this map.

24 The first is, you see a depositional low spot  
25 or a low spot running from the northeast up in 35 down

1 across to -- and snaking across the northwest quarter  
2 of 11 and dumping into the depositional low, which is  
3 in the southeast quarter of 10 and southwest quarter of  
4 11.

5 There's a minor depositional low coming down  
6 across the southeast -- southwest quarter of 3 and  
7 crossing Section 10, terminating in the same  
8 depositional low in the southwest quarter of 10 and  
9 southwest quarter of 11. These are the migratory  
10 pathways that the sands are going to follow when they  
11 become deposited.

12 The other thing to note is that updip, at  
13 least in Section 2, is just to the northwest. And you  
14 see that updip in Section 3 is to the northeast. This  
15 is indicating a strong nosing feature in Section 3 and  
16 2. And in fact, this is along a high trend that runs  
17 for about three or four townships northwest/southeast  
18 and has Devonian production established at depth and  
19 several -- Bone Spring production to the north of us on  
20 structures.

21 So that structural feature is well documented  
22 in several geologic horizons and is expressed here as a  
23 long, large northwest-southeast trending nose.

24 The other important feature to note is down  
25 in Section 11, approximately in the east half of 11, in

1 the east half, west half, there is another small high.  
2 What this has done, between the flank of the nose in  
3 Section 2 and the small high in 11 you have the  
4 depositional -- you have barriers to deposition.

5 So as the sand starts pouring down this low  
6 spot up in 35 and comes down into 2, it hits the  
7 barrier in 11 and the updip barrier in 2, and it acts  
8 as a funnel to funnel the sand right into these low  
9 spots that we see in the southeast quarter of 2 and  
10 down into 10.

11 And to a minor, lesser degree, the same thing  
12 is going to happen over in Section 3 and 10, in this  
13 depositional low that crosses 10. The effect is not as  
14 dramatic. So what we would expect is that we would get  
15 thicker sand accumulations over in 2 and 35 -- or in 2  
16 than in 10, but the sand should be present.

17 Q. All right. Let's go now to your next  
18 structure map, Exhibit Number 3.

19 A. Yes. The next structure map is a map made on  
20 the top of the productive interval, and this map was --  
21 The blue indicates our approximate oil/water contact,  
22 minus 2269.

23 We had to make a map on the top, because if  
24 we had put the oil/water contact on the base, it would  
25 have appeared that our well was wet, because the base

1 is below the oil/water contact, but most of the  
2 reservoir is above it. So we had to make one on the  
3 top to give you a clear indication of where the  
4 oil/water contact is relative to the subject wells.

5 This map would indicate that the southwest  
6 quarter of 2, possibly the south half of the northwest  
7 quarter of 2, portions of the northeast quarter of 2,  
8 the north half of the northeast of 10 and the south  
9 half of the southeast of 3, are all going to be  
10 productive in this reservoir. They all occur --  
11 portions of that sand reservoir occur above minus 2269.

12 Q. All right. Let's go to the net porosity  
13 isopach, Exhibit 4.

14 A. The net porosity isopach map, Exhibit 4,  
15 basically shows the effective productive area of the  
16 sand based on porosity. And what we see here is what  
17 we expect to see.

18 There in Section 2, in the southwest quarter,  
19 the depositional thick, 90 feet of porosity, just where  
20 you would expect to find it, wedged between the high in  
21 11 that acts as a barrier to deposition and the flank  
22 of the nose in 2 and 3 that act as barriers to  
23 deposition.

24 That's where the thick is going to be, that's  
25 where it occurs, and it comes on down to the lowest

1       depositional point out here, which is the southeast  
2       quarter of 10 and southwest quarter of 11.

3               If you use this map plus the base map, you  
4       can determine at which point you've lost your  
5       reservoir, and you're not going to have any more  
6       productive locations.

7               These two maps are the ones that indicate the  
8       production in the areas that I previously mentioned, in  
9       3, 10 and 2.

10              Q.    Mr. Boling, what conclusions have you been  
11       able to reach about this portion of the Delaware from  
12       your geologic study?

13              A.    Well, there's several conclusions.

14                    This is a -- These four sand intervals are  
15       separate reservoirs. They're not vertically connected.

16                    We know that because we have oil in  
17       reservoirs that have water above them and oil above  
18       that, so we don't -- And that's exhibited in -- most  
19       specifically, in the North Lea Number 6 well where  
20       that's very evident. And in fact, they had oil in the  
21       third zone, water in the second zone, oil in the first  
22       zone, and there's another zone before that that's got  
23       oil in it, that's not present over in Section 2.

24                    These are all separate reservoirs, and they  
25       all -- There's not a well out here, with the exception

1 of the Pennzoil well, that has not been completed with  
2 the capability of producing more than the top allowable  
3 depth bracket at this point, 107 barrels a day.

4 Read & Stevens has wells that they've  
5 maintained 100 barrels a day consistently because  
6 that's the allowable, but they have other reservoirs  
7 that could be exploited if the allowable were higher.

8 In our case, I know that what's going to  
9 happen is, when we drill the next well we're going to  
10 move updip from this well. And when we do that, if the  
11 reservoir capacity to deliver, the productive capacity,  
12 is the same, is dynamic, and it's the same updip as it  
13 is in this well and it's linear, we're going to move  
14 updip and we're going to have 40 feet of reservoir  
15 left.

16 We have 60 feet of reservoir in this well  
17 that's capable of making 350 or 400 barrels a day. We  
18 go updip, we're going to have 40 feet of reservoir. If  
19 the dynamic of the reservoir is linear, that well is  
20 going to make 250 to 300 barrels a day. But the fourth  
21 interval that's wet in our well will be updip. It will  
22 be productive, and we'll test it first.

23 So we have a sort of unique situation here.  
24 We have four extremely high quality reservoirs in terms  
25 of lithology and deliverability capacity that all can

1 be exploited, and in some cases we're going to have  
2 three of those quality reservoirs that are productive  
3 in the same wellbore.

4 Q. Will Armstrong also call an engineering  
5 witness to discuss the efficiencies or inefficiencies  
6 of producing these multiple zones under one allowable?

7 A. Yes, we will.

8 Q. Were Exhibits 1 through 4 prepared by you?

9 A. Yes, they were.

10 MR. CARR: Mr. Catanach, at this time I would  
11 move the admission of Armstrong Energy Corporation  
12 Exhibits 1 through 4.

13 EXAMINER CATANACH: Exhibits 1 through 4 will  
14 be admitted as evidence.

15 MR. CARR: That concludes my direct  
16 examination of Mr. Boling.

17 (Off the record)

18 EXAMINATION

19 BY EXAMINER CATANACH:

20 Q. Your Exhibit Number 4, is that just the net  
21 sand in the third --

22 A. Yes.

23 Q. -- in the producing interval?

24 A. Correct.

25 Q. Okay. Would you expect that Spectrum Mobil

1 State Well Number 2 to be productive in that zone?

2 A. Yes, I do.

3 Q. Do you anticipate that any of the remaining  
4 intervals will be as prolific as that third sand?

5 A. Well, that's -- The second sand is the only  
6 one that has not been tested in the area, production  
7 tested, even though we have shows.

8 It's kind of an enigma because it's quite  
9 thick in our well, we had shows all through it. It's  
10 quite thick in Read & Stevens' Well Number 6,  
11 northwest, northeast of 10. It's actually 20 feet  
12 higher, the top is, in their well, and their shows were  
13 different from ours.

14 Mud logs are not quantitative, but I would  
15 expect that at some point where we can encounter  
16 production into the second sand, it will be as  
17 prolific, yes.

18 With the exception -- With this one  
19 overriding exception: The grain size in the second  
20 sand versus the third sand is dramatically finer. When  
21 we look at these rocks in microscopic samples in the  
22 cuttings, there are two characteristics here that are  
23 unique.

24 They're very clean sands, which is unusual  
25 for the Delaware. We're very close to the source.

1           And the grain size differentiation between  
2 the second sand and the third sand is dramatic. The  
3 third sand is big grain size for the Delaware, and I  
4 think that's one of the reasons we have such  
5 deliverability in that sand.

6           But the second sand has a lot more vertical  
7 thickness over the area. So even though it's finer  
8 grain, the deliverability may be restricted because --  
9 the permeability may be less, because the grain size --  
10 we have a lot more H, and it's going to be --  
11 Someplace, it's going to be a hell of a reservoir too.

12           And we know the first sand -- I don't know.  
13 Read & Stevens has completed four wells in that first  
14 sand, and I know that they've had wells that -- What's  
15 your best conclusion? 147 barrels a day?

16           So prolific reservoirs, yes.

17           Q. Okay. Would you expect all four reservoirs  
18 to be productive within about the same horizontal  
19 interval, I mean the same geographic interval?

20           A. Yeah, I've mapped all these sands  
21 individually across nine sections, and the third and  
22 fourth sands are going to be restricted to this area of  
23 the east half of 10 and 2.

24           They're not present in the west half of 10 or  
25 in 3 or around the corner in Section 9 or 4.

1           So this is the limit of the third and the  
2 fourth sand, right here.

3           The second sand, much greater lateral  
4 distribution. It goes around in 10 and up into 3, and  
5 it's thicker over there, it's consistently thick over  
6 there.

7           And the first sand is in fact much more  
8 widespread. It actually goes on up north of here, up  
9 into Section 33, up into the township to the north.

10          The productive portions of those reservoirs  
11 appear to lie -- of all those reservoirs -- appear to  
12 lie in these Sections 2, 3 and 10.

13          EXAMINER CATANACH: That's all I have.

14          MR. CARR: At this time we would call Mr.  
15 Stubbs.

16                         BRUCE STUBBS,  
17 the witness herein, after having been first duly sworn  
18 upon his oath, was examined and testified as follows:

19                                 DIRECT EXAMINATION

20          BY MR. CARR:

21                 Q.    Would you state your name for the record,  
22 please?

23                 A.    Bruce A. Stubbs.

24                 Q.    And where do you reside?

25                 A.    I live in Roswell, New Mexico.

1 Q. By whom are you employed and in what  
2 capacity?

3 A. I'm a consulting petroleum engineer. I've  
4 been retained by Armstrong Energy to review the  
5 Northeast Lea-Delaware.

6 Q. And you've made an engineering study of the  
7 area?

8 A. Yes, I have.

9 Q. And you've prepared certain exhibits for  
10 presentation here today?

11 A. Yes, I have.

12 Q. Have you previously testified before the New  
13 Mexico Oil Conservation Division?

14 A. Yes, I have.

15 Q. At the time of that testimony were your  
16 credentials as a petroleum engineer accepted and made a  
17 matter of record?

18 A. They were accepted.

19 Q. Are you familiar with the Application filed  
20 in this case on behalf of Armstrong Energy Corporation?

21 A. Yes, I am.

22 MR. CARR: Are the witness's qualifications  
23 acceptable?

24 EXAMINER CATANACH: They are.

25 Q. (By Mr. Carr) Mr. Stubbs, let's go to

1 Exhibit Number 5 that Mr. Boling referenced in his  
2 testimony. Again, I'd like you to identify that and  
3 then in a little more detail review for Mr. Catanach  
4 what it shows.

5 A. Exhibit 5 is a one-mile radius around the  
6 Armstrong Energy well. It shows all the Delaware  
7 producing wells in that one-mile radius.

8 It also shows in the shaded area, the 480  
9 acres that are attributed to the Northeast Lea-Delaware  
10 field.

11 Q. Are there any additional Delaware wells east  
12 of the acreage that is shown on this plat but within a  
13 mile of the pool?

14 A. No, we did a -- We pulled the records on all  
15 the wells, all producing wells in the nine sections  
16 surrounding that well, and they're in the pages  
17 attached to that first page, and there are no Delaware  
18 wells to the east of Section 2.

19 Q. What are the attachments to the initial plat  
20 in Exhibit Number 5?

21 A. Those are the listings of all the  
22 penetrations or all the producing wells in the nine  
23 sections surrounding the Armstrong Energy well.

24 Q. And those wells are indicated by a dark  
25 arrow?

1           A.    Yeah, the Delaware wells are highlighted by a  
2 dark arrow.

3           Q.    Let's move now to what has been marked as  
4 Armstrong Exhibit Number 6.  Would you identify and  
5 review this, please?

6           A.    Number 6 is a Delaware well summary, just so  
7 everybody can keep straight which zones we're talking  
8 about.

9                    The first well is the Armstrong Energy Mobil  
10 Lea State well, producing out of the third sand at over  
11 100 barrels per day.

12                   The second well is the Mescalero Ridge up in  
13 Section 35.  As Mr. Boling stated, it's producing out  
14 of a limestone.  It's produced 23,000, almost 24,000  
15 barrels to date and is presently producing about five  
16 and a half barrels per day.  And that interval is  
17 equivalent to what we're calling the second sand.

18                   Next well is the Mobil State, which is --  
19 Mobil State Number 1, which is the Harken well.  It's  
20 the east offset to the Armstrong Energy well.  This is  
21 a first sand completion.  It's cum'd about 70,000  
22 barrels.  They tested the third sand, and it was wet in  
23 that particular wellbore.

24                   The next well, the Mobil State Number 2, is  
25 the south offset to the Armstrong Energy well.  It

1 tested the first sand, and it was found to be wet. And  
2 as Mr. Boling stated, the third sand, which is the  
3 equivalent sand the Armstrong Energy well is completed  
4 in, appears to have about 20 percent -- or 20 feet of  
5 porosity that should be productive. And I'm kind of at  
6 a loss why they didn't test it.

7 The next three wells, the North Lea Federal  
8 1-Y, Number 2, and Number 3, are Morrow gas wells.  
9 I've looked at those logs, and what we find on those  
10 logs confirms what Mr. Boling has discussed as far as  
11 the oil/water contact. All three of those wells -- or  
12 two of those wells are -- the third sand falls below  
13 the oil/water contact. The North Lea Federal Number 2,  
14 which is the far west well, have a facies change, and  
15 the third sand disappears and turns to a lime.

16 The North Lea Federal Number 4 is a first  
17 sand completion. It's presently producing about 85  
18 barrels a day.

19 And Number 5 is a -- has been completed in  
20 three different intervals. The fourth sand was 6000  
21 feet. The third sand equivalent, which is a lime in  
22 that particular well, and then the first sand. And  
23 that well is capable of making over a hundred barrels a  
24 day.

25 The fourth sand produced about 72 barrels a

1 day. The middle zone, the lime zone, produced over 50  
2 barrels a day. And the first sand is producing over  
3 107 barrels a day.

4 One comment on Number 5, and we'll discuss it  
5 a little bit more later, has had two casing leaks in  
6 the Seven Rivers Reef interval, and that gives us all  
7 some concern in this whole area.

8 North Lea Federal Number 6 is completed in  
9 the third sand, which is the same sand that the  
10 Armstrong Energy Well is completed in, and is also  
11 capable of producing over 107 barrels a day.

12 And as Mr. Boling discussed, the North Lea  
13 Federal Number 7 tested the third sand, but it's below  
14 the oil/water contact.

15 Next two wells, the Mark Federal Number 1 and  
16 Number 2, are on the west side of Section 3. They're  
17 first-sand completions, and both of those wells are  
18 capable of over 100-barrels-a-day production.

19 The last two wells are two kind of  
20 insignificant Delaware wells that kind of give you the  
21 boundaries on the south and to the west.

22 The Powell Federal Number 1 is in Section 4,  
23 which is west of the Read & Stevens wells, and it's a  
24 pretty poor well, making about nine barrels a day,  
25 eight barrels of water.

1 Union Federal A Number 2 is in the southwest  
2 of Section 10, making nine barrels a day and 75 barrels  
3 of water.

4 Q. And this exhibit basically confirms that  
5 we're dealing with multiple pay zones in this portion?

6 A. Yeah, there's at least four pay zones in this  
7 area.

8 Q. All right. Let's go to your production  
9 curves, Exhibit Number 7, and I'd ask you to review  
10 these for Mr. Catanach.

11 A. These are the decline curves for the wells in  
12 the Northeast Lea-Delaware field.

13 The first curve is just a summary, and -- of  
14 the two wells, the Pennzoil well and the Harken well --  
15 and they've cum'd to date 93,583 barrels.

16 Then there's two separate curves for -- or  
17 one separate curve for each well, plus the daily  
18 production or monthly production figures.

19 The first one is the Pennzoil well up in  
20 Section 35, producing out of that carbonate equivalent  
21 to the second sand, and it started producing about 30  
22 barrels a day and has since declined down to about five  
23 and a half or six barrels a day.

24 Q. How do these wells actually compare to the  
25 Armstrong well?

1           A.    They -- Productivity-wise, they're not even  
2           in the same class.  They more or less describe or  
3           determine the edge of the reservoir, in my opinion.

4           Q.    Let's now go to the Mobil Lea State Number 1  
5           well, your Exhibit Number 8, and I'd ask you to review  
6           that information for Mr. Catanach.

7           A.    Okay, the Mobil Lea State Number 1 was frac'd  
8           and put on production October 28th, and this is a daily  
9           production test from that well.

10                   As you can see, the first week or two they  
11           didn't know exactly what they had, and the first few  
12           days it made over 500 barrels a day.  And they kind of  
13           got it under control and it leveled out, and then  
14           requested an exception from the OCD to produce it at  
15           twice allowable, and that's what they were shooting for  
16           at around 200 barrels a day.  We had one period from  
17           about the 10th of December to a little after the 15th  
18           that we tested it at 275, 300 barrels a day.

19                   What we were looking for during these tests  
20           was any indication that we were bleeding off excess  
21           reservoir energy or influencing water-coning or  
22           anything like that.

23                   And now the next curve is the oil- and water-  
24           cut percentages.  As you can see, the oil cut has been  
25           around 89 percent, and the water cut's been about 11

1 percent, and no real changes during any of the tests  
2 that we performed.

3 Third curve is the gas/oil ratio, and the  
4 gas/oil ratio has pretty well leveled out at 300  
5 standard cubic feet per barrel.

6 Q. Basically, what this shows is, pulling the  
7 well at this rate you're not increasing the water cut?

8 A. We're not increasing the water cut, and it  
9 doesn't appear like the gas/oil ratio is increasing  
10 either.

11 Q. And what does this tell you about the  
12 possibility for causing reservoir damage by producing  
13 the well at the higher rate?

14 A. It looks like the well is capable of high-  
15 rate production without damage to your reservoir.

16 Q. Let's move to Exhibit Number 9. Could you  
17 identify this and then briefly review what it shows?

18 A. This is a calculation I did to derive a  
19 productivity index for this particular reservoir.

20 On December 17th, we ran a production test of  
21 283 barrels a day, water production of 36 barrels,  
22 fluid level was at 48 joints, and casing pressure was  
23 220 pounds.

24 The casing on this well has been shut in.  
25 We're not closing flowing gas off the casing, so it's

1 remained static.

2           Also, I might mention that on January 1st we  
3 shot another fluid level, and it was still at 48  
4 joints. So that means the fluid level in the annulus  
5 is about 1488 feet.

6           To calculate a flowing bottomhole pressure I  
7 used 38-degree gravity API oil gradient of .38 p.s.i.  
8 per foot to the middle of the zone at 5905, gives me a  
9 hydrostatic pressure of 1722 plus the casing pressure  
10 of 220, gives us a flowing bottomhole pressure of 1942  
11 pounds.

12           Calculated a static bottomhole pressure from  
13 a drill stem test that was run on the North Lea Federal  
14 Number 3, and also compared it to a drill stem test  
15 that was run in this zone in the Harken well. It  
16 appears that the bottomhole pressure gradient is about  
17 .43 p.s.i. per foot, which yields a bottomhole pressure  
18 of about 2539.

19           So we're running -- We're producing 283  
20 barrels of oil and 36 barrels of water with a pressure  
21 drop from 2539 to 1942, yields .53 barrels of fluid per  
22 p.s.i.

23           If we're able to pump this well off and  
24 maintain just 100 p.s.i. pump intake pressure, the well  
25 is capable of producing over 1300 barrels of fluid a

1 day, being about 1156 barrels of oil and 147 barrels of  
2 water.

3 So at a production rate of 300 barrels a day,  
4 we're just barely lowering the bottomhole pressure by  
5 about 24 percent. We're not pulling the well very hard  
6 at all at that point.

7 Q. Let's go now to Exhibit Number 10. Would you  
8 identify the graphs that together comprise Exhibit  
9 Number 10?

10 A. Okay, Exhibit Number 10 is production decline  
11 curves for the Read & Stevens wells, the Powell wells  
12 -- or the Powell Federal well and the Union Federal  
13 well, and then the last about five or six curves are  
14 just some good Delaware wells located in Lea County.

15 And what I want to show in this is that the  
16 wells are capable, the Mark Federal wells are capable  
17 of producing over 100 barrels a day.

18 The first one is Mark Federal Number 1, and  
19 it's over 3000 barrels a month.

20 Mark Federal Number 2 has produced over 3000  
21 barrels a month.

22 North Lea Federal Number 4 is now producing  
23 over 3000 barrels a month. It had a pump change. That  
24 dip is a pump change that was made on that particular  
25 well.

1           The North Lea Federal Number 5 has just been  
2 recompleted in those additional zones and the casing  
3 leak fixed, and it's up to 3000 barrels a month.

4           And then these two kind of poor wells, the  
5 Powell Federal in Section 4, Union A Federal in the  
6 southwest of Section 10, as you can see, that's again  
7 kind of showing the edge of the reservoir, not near the  
8 productivity that we're experiencing up in Section 2 in  
9 the North Lea Number 6.

10           And the last group of curves are some good  
11 Delaware wells, just typical good Delaware wells  
12 located in Lea County. I want to show that it is  
13 possible for these things to produce for a long period  
14 of time at 100 barrels a day.

15           The first one is a Cotton Draw well in the  
16 Paduca (Delaware), and it produced five years at 3000  
17 barrels a month or a hundred barrels a day.

18           And the next Cotton Draw well produced over  
19 eight years at 3000 barrels a month.

20           And then the next three curves are some Inca  
21 Federal wells over in the Shugart field that are  
22 operated by Siete Oil Company, and again they produced  
23 two or three years at a hundred barrels a day before  
24 they showed any kind of decline.

25           Q.    What is the reservoir drive mechanism you

1 anticipate in the subject portion of the Delaware?

2 A. I feel like in this area, because of the  
3 better permeabilities, we're probably going to have a  
4 combination of solution gas drive and a water drive,  
5 and that's -- As you can see in the decline curves on  
6 some of the Cotton Draw wells, that they're more or  
7 less constant rate, being that they start out at about  
8 3000 or 4000 barrels of fluid a day, 3000 oil and some  
9 water, and then they end up toward the end of their  
10 life making 3000 water and some oil.

11 So I think we have a similar situation here  
12 with a water leg to the south and enough permeability  
13 where we can see the effects of that water leg.

14 Q. Would you identify what has been marked as  
15 Armstrong Exhibit Number 11?

16 A. This is a volumetric analysis of the third  
17 sand in the Armstrong Energy well, trying to get an  
18 idea of what the recovery might be for 40 acres in that  
19 particular reservoir, and came up with a number of  
20 261,000 barrels.

21 Q. Let's move right on into Exhibit Number 12,  
22 and I'd like you to first explain what this is and then  
23 review it.

24 A. Okay, this is a proposed -- or a decline  
25 curve. I think this well could possibly produce -- the

1 way it possibly would produce at 107 barrels a day.

2 Using the 260-plus-thousand barrels ultimate  
3 recovery, it would produce about five years and then  
4 start some kind of decline. And I've run economics on  
5 that scenario, holding the rate constant for 5.4 years  
6 and 107 barrels a day, and then declining it.

7 And then the second curve is what would  
8 probably happen at a higher rate, 300-barrel-a-day  
9 allowable. It would probably produce for about a year  
10 and then go on approximately the same decline.

11 Q. How do the payouts compare under each of  
12 these allowable scenarios?

13 A. The payout at 107 barrels a day is about .82  
14 years, and of course increasing the rate by a factor of  
15 three reduces the time by about -- to about one-third  
16 or .28 years.

17 Q. Why is this significant, other than just  
18 recouping your investment more quickly?

19 A. Well, it's significant for a couple reasons.  
20 We want to recoup the investment early on so  
21 we have money to invest in the next well.

22 It also by a higher allowable is a much more  
23 efficient recovery of the reserves, because you shorten  
24 the life of the prospect or shorten the life of that  
25 particular zone from -- in this case, from 9.6 years to

1 6.7 years, so you save three years of lease operating  
2 expenses.

3 And by having a higher allowable, you would  
4 be more encouraged to complete the additional pay zones  
5 in the area.

6 Q. Have you experienced any kind of physical  
7 problem with the wells in this area that would --  
8 corrosion, anything of that nature?

9 A. Well, I mentioned a while ago the concern we  
10 have about the Seven Rivers Reef interval. It is a  
11 very porous, lost-circulation zone that has lots of  
12 corrosive water moving around in it. And it not only  
13 causes problems drilling, but it has caused casing  
14 problems in the North Lea Federal Number 5, which has  
15 had casing leaks.

16 It is possible that if the life of these  
17 wells were drug out too long, that you could have a  
18 casing leak and lose the well and actually lose  
19 reserves.

20 Q. In view of that, is it more efficient to  
21 produce these wells at a faster rate?

22 A. In my opinion, it would be more efficient and  
23 prudent to produce them at as high a rate as possible.

24 Q. Let's take a look at Exhibit Number 13.  
25 Could you identify that, please?

1           A.    This is copies of the logs on the Armstrong  
2 well and the Read & Stevens North Lea Federal Number 6  
3 well, and as we've discussed previously that there are  
4 multiple pays in this field, and we feel like that each  
5 of these pays are capable of producing over the  
6 allowable.

7                    There's two other zones in the Armstrong  
8 well, and at least two other zones in the Read &  
9 Stevens well that will be tested at some point in time.

10                   Now, the economics we talked about  
11 previously, by not going ahead and completing those  
12 zones it will have a multiplying effect on the  
13 economics because you probably wait four or five, six  
14 years to complete those other zones and not realize any  
15 benefit from those zones for some period of time.

16           Q.    Mr. Stubbs, in your opinion will approval of  
17 this Application prevent waste?

18           A.    I feel like it will prevent waste and more  
19 efficiently produce the reserves from these wells.

20                    The higher rates will mean quicker payouts.

21                    It will reduce the operating costs, thus  
22 resulting in more capital for future investment.

23           Q.    Okay, and what are the other benefits that  
24 are related to these quicker payouts?

25           A.    Well, like we stated before, there are

1 problems in drilling these wells that add about  
2 \$100,000 to the cost in additional casing and lost-  
3 circulation problems in the Seven Rivers Reef zone.

4 Because it costs more to drill these wells,  
5 there has been a reluctance to develop this area.

6 Higher allowables would generate more cash  
7 flow, which would be an incentive to go ahead and  
8 develop these wells.

9 Q. How would this lost-circulation problem, if  
10 you would state again, affect this overall Application?

11 A. Well, it's my concern that later in the life  
12 of the wells, if you have casing leaks, you could  
13 jeopardize a wellbore and you'd actually lose reserves.

14 Like I said before, we've had two cases where  
15 we've had casing leaks, and it's a distinct possibility  
16 that we're going to see more casing leaks as time goes  
17 on.

18 Most of the deep wells in the area have two  
19 strings of casing, so they have not experienced that  
20 kind of problem. But the shallower wells don't have  
21 the benefit of the deep intermediate through that zone  
22 to protect the production casing.

23 Q. If you encounter these problems with  
24 corrosion, could that in fact result in premature  
25 abandonment and ultimately loss of reserves in this

1 area?

2 A. I believe it could.

3 Q. Mr. Boling testified about four zones capable  
4 of production in this portion of the Delaware. How  
5 does that factor, in your opinion, affect this  
6 Application?

7 A. Well, it would be more efficient to produce  
8 all the zones at the same time and not delay completion  
9 or production out of those zones for a number of years.  
10 It would just be more efficient to go ahead and produce  
11 them all together, and it would save operating costs  
12 and reduce exposure to casing failures.

13 Q. Will approval of the Application cause  
14 reservoir damage?

15 A. I don't believe it will. The zones appear to  
16 be highly productive, the pressure drawdowns are not  
17 great, and we see no evidence of water influx or  
18 increased GOR ratios.

19 Q. Will approval of this Application protect  
20 correlative rights?

21 A. I believe it will, because most of the  
22 productive area lies on the Armstrong lease and on the  
23 Read & Stevens leases. And Read & Stevens, I believe,  
24 is in support of this Application for higher  
25 allowables.

1           Q.    If the Division should decide to grant  
2 temporary rules for this pool, for how long a period do  
3 you think temporary rules should remain in effect prior  
4 to being called back to provide additional data on the  
5 performance of wells in the reservoir?

6           A.    Well, it's probably going to take another six  
7 months to get a couple more wells drilled and get  
8 additional pay zones opened up.

9                    And then I think you'd want to see at least  
10 12 months, maybe 18 months of production, so you can  
11 get some idea of what kind of reservoirs you have and  
12 what kind of drive mechanisms and what the actual  
13 declines are going to be.

14                   So a minimum of 18 months and preferably  
15 probably two years.

16           Q.    Would you identify what has been Marked  
17 Armstrong Exhibit 14?

18           A.    That's just a summary of our main reasons for  
19 requesting higher allowables.

20           Q.    Is Exhibit Number 15 a copy of an affidavit  
21 confirming that notice has been given to all operators  
22 and unleased mineral interest owners, if any, in the  
23 pool?

24           A.    That's correct.

25           Q.    And also notice has been given to operators

1 of wells within a mile of the pool?

2 A. That's correct.

3 Q. What is Exhibit Number 16?

4 A. I believe that's the letter from Read &  
5 Stevens in support of our Application for higher  
6 allowables.

7 Q. Were Exhibits 5 through 16 either prepared by  
8 you or compiled under your direction?

9 A. That's correct.

10 MR. CARR: At this time, Mr. Catanach, we  
11 move the admission of Armstrong Energy Corporation  
12 Exhibits 5 through 16.

13 EXAMINER CATANACH: Exhibits 5 through 16  
14 will be admitted as evidence.

15 MR. CARR: That concludes my direct  
16 examination of Mr. Stubbs.

17 EXAMINATION

18 BY EXAMINER CATANACH:

19 Q. Mr. Stubbs, am I correct in my understanding  
20 that the wells producing from the Quail Ridge Delaware  
21 field are in fact not in communication with the Lea  
22 field?

23 A. The North Lea Federal Number 6, located in  
24 the northwest of the northeast of 10, is producing out  
25 of the same sand as the Armstrong Energy well, and so

1 those two are probably going to be in, you know, the  
2 same interval.

3 Now, they're quite a distance apart. The  
4 ones located over in the southwest of Section 3 are  
5 producing, I recall, in the first sand, and the  
6 Armstrong well is not completed in that sand at this  
7 time.

8 Q. The sands are continuous over that area, and  
9 they could possibly be in communication with the  
10 Armstrong well?

11 A. The first sands, yes, and also the third sand  
12 that we see in Number 6, Lea Federal. Those sands, I  
13 think, are -- as Mr. Boling stated, are continuous over  
14 that area.

15 Q. None of the wells in the Quail Ridge Delaware  
16 field are capable of the rates of production you're  
17 seeing in the Armstrong well?

18 A. Yes, they are.

19 Q. They are?

20 A. They're not capable of 300 barrels a day, but  
21 they can produce well over 100 barrels a day.

22 As we can see in the decline curve, they have  
23 pretty stable production at 107 barrels a day, 3000  
24 barrels a month.

25 Q. In your opinion, would raising the allowable

1 in your field have an adverse effect on those operators  
2 in the Quail Ridge Delaware field?

3 A. I don't believe it would at this time. The  
4 Armstrong Energy well is 1980 feet away from the west  
5 line of Section 2, so it's at this time quite some  
6 distance from the Read & Stevens leases.

7 The Harken well has already tested the third  
8 sand and found it to be wet. So it won't affect  
9 anything in the Harken acreage.

10 Q. I presume Armstrong will propose to drill  
11 more wells in this field?

12 A. That's correct.

13 Q. Probably closer to the Quail Ridge field?

14 A. That's probably correct, yes.

15 Q. Mr. Stubbs, in your various production  
16 scenarios, 107 barrels a day versus 300 barrels a day,  
17 have you determined what the ultimate recovery would be  
18 in each of those cases?

19 A. Well, I held the ultimate recovery basically  
20 constant in the two cases at a little over 260,000  
21 barrels, based on a volumetric analysis.

22 Now, because it's more efficient and you can  
23 get the production out earlier in the life of a well,  
24 it's possible that your operating costs would be lower  
25 early in the life of a well, and you could go ahead and

1 produce the well past what we've picked as the economic  
2 limit of this case, so you could have more reserves at  
3 a higher rate under that scenario.

4 Q. Could have more reserves --

5 A. -- at a higher rate.

6 Q. Could you also have less reserves?

7 A. Anything's possible. We don't know at this  
8 time.

9 Q. Is there not a way to estimate, based on the  
10 projected decline curves, what the recoveries might be  
11 from these wells?

12 MR. STOVALL: The decline curves, as I  
13 understand the way you did them, though, were based  
14 upon the projected ultimate recovery rather than the  
15 reverse, right?

16 THE WITNESS: Right, right. We don't have  
17 enough production history on this well to really have  
18 any kind of decline-curve analysis. We have two  
19 months' production, and it's basically flat.

20 MR. STOVALL: Let me ask you -- I think what  
21 the Examiner may be getting at is, do you have an  
22 opinion as to whether the producing at the higher rate  
23 could cause an earlier depletion of, I guess, reservoir  
24 energy of some sort, or do something in a physical way,  
25 rather than an economic way, to reduce the potential

1 ultimate recovery?

2 THE WITNESS: I don't believe so at this  
3 point in time.

4 There's quite a few cases where the Delaware  
5 is producing large volumes of fluid and it doesn't  
6 appear that they've been harmed in any way. Like in  
7 the Paduca (Delaware) field, they're producing 200 or  
8 300 barrels of fluid a day down there out of the  
9 Delaware, and it's --

10 MR. STOVALL: In other words, it's not rate-  
11 sensitive as far as ultimate production?

12 THE WITNESS: No, it doesn't appear to be.

13 The mobility ratio between the water and the  
14 oil is about the same. The viscosities of the fluids  
15 at reservoir conditions are about 1.2 centipoise, and  
16 the water is about 1.2 centipoise.

17 So there's no reason the water is going to  
18 override the oil, and I just don't feel like it's going  
19 to be a problem.

20 Q. (By Examiner Catanach) At a rate of 300  
21 barrels of oil per day, how long would it take you to  
22 finally establish a decline?

23 A. Well, if it follows my scenario, about a  
24 year, and then it would start showing some kind of  
25 decline.

1           But I think before that year was up, the  
2 other zones would probably be completed, and that might  
3 extend on farther past that.

4           Q.    Which leads me to a next question.  Would  
5 Armstrong propose that the various sands in the same  
6 wellbore be completed simultaneously?

7           A.    If our higher allowable was available, it  
8 would be prudent to go ahead and complete all the sands  
9 at the beginning of the well, I think.

10          Q.    Which may reduce the volume of oil you're  
11 producing from a single zone?

12          A.    That's correct.  You may -- If it was 300-  
13 barrel-a-day allowable, you may have, just for example  
14 purposes, 100 barrels a day out of each of the three  
15 intervals, if you had three intervals completed.

16          Q.    Now, assuming that that was not the case,  
17 assuming you had a well that could not produce from the  
18 third sand and you wanted to complete in a different  
19 sand, you really haven't done an analysis of any of the  
20 other sands to see what kind of effect a higher  
21 producing rate would have on those reservoirs?

22          A.    I've looked at the first sand completions  
23 over on the Mark Federal wells.  And again, they're not  
24 as highly productive as this well, but they would  
25 benefit from the same scenario, being able to produce

1 at a higher rate.

2 Q. But have you done an analysis to determine  
3 whether that higher rate would be detrimental to the  
4 reservoir?

5 A. No, I have not.

6 Q. We are talking about four distinct and  
7 separate reservoirs?

8 A. That's correct.

9 Q. If you were producing at a 300-barrel-a-day  
10 rate, what evidence, if any, would you see if you were  
11 causing excessive water-coning in the reservoir?

12 A. If you had water-coning, of course, you'd see  
13 an increase in water production, and your percent water  
14 cut would increase.

15 We haven't -- Like I said, in our production  
16 tests, we have seen no increase in the water rates,  
17 water percentages.

18 Q. Do you believe that the test period that  
19 you've done in the Number 1 well is sufficient to  
20 demonstrate that there's no harm being done to the  
21 reservoir?

22 A. It's -- Well, it's two months, and that's a  
23 fairly long production test, and we've watched it  
24 pretty close. If there was going to be a drastic  
25 problem, I think we'd have seen some kind of indication

1 of water increases.

2 But we're quite a ways away from really the  
3 water leg itself, because we're -- This well is quite a  
4 ways updip.

5 EXAMINER CATANACH: I believe that's all I  
6 have.

7 MR. STOVALL: Mr. Carr, you're the one that  
8 provided the Affidavit of Notice.

9 MR. CARR: Uh-huh.

10 MR. STOVALL: Do you have sufficient  
11 information to say that that is everybody who would be  
12 entitled to notice under the --

13 MR. CARR: We believe we've given notice to  
14 everyone who is entitled to notice under Division  
15 rules.

16 We did not expand this to the Uhden test  
17 because we could not find anyone who would be  
18 personally affected by this.

19 The royalty owners in the area are only the  
20 state and the -- level.

21 MR. STOVALL: Well, I don't think the royalty  
22 owners are affected, because I don't think it  
23 changes --

24 MR. CARR: And so what we have done is, we  
25 have given --

1 MR. STOVALL: -- their interest.

2 What about within a mile of the pool?

3 MR. CARR: We've given to all operators of  
4 wells within a mile, as required by the rules.

5 MR. STOVALL: Okay. Yeah, I agree with you,  
6 I don't think it's a Uhden royalty owner case at all.

7 MR. CARR: And I don't believe there are  
8 unleased mineral tracts within the 480 acres, and so we  
9 have covered everything required by --

10 MR. STOVALL: Anybody that owns a working  
11 interest within the pool and a mile thereof.

12 MR. CARR: Well, either the owner or their  
13 operator has been notified.

14 MR. STOVALL: Yeah, okay, right.

15 EXAMINER CATANACH: Within a mile of the pool  
16 boundary?

17 MR. CARR: Yes.

18 MR. STOVALL: That's really the one we were  
19 focusing on, is the mile, more than --

20 MR. CARR: It says operator of wells within a  
21 mile, and they've been covered, because there aren't  
22 wells over there.

23 MR. STOVALL: Right. Well...

24 EXAMINER CATANACH: Is that it?

25 MR. CARR: That's all we have.

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

(Off the record)

EXAMINER CATANACH: There being nothing further, Case 10,653 will be taken under advisement.

(Thereupon, these proceedings were concluded at 12:20 p.m.)

\* \* \*

I do hereby certify that the foregoing is a complete record of the proceedings in the Examiner hearing of Case No. 10653 heard by me on January 7 1983.

David L. Catanach, Examiner  
Oil Conservation Division

1 CERTIFICATE OF REPORTER

2


3 STATE OF NEW MEXICO )  
 4 ) ss.  
 COUNTY OF SANTA FE )

5

6 I, Steven T. Brenner, Certified Court  
 7 Reporter and Notary Public, HEREBY CERTIFY that the  
 8 foregoing transcript of proceedings before the Oil  
 9 Conservation Division was reported by me; that I  
 10 transcribed my notes; and that the foregoing is a true  
 11 and accurate record of the proceedings.

12 I FURTHER CERTIFY that I am not a relative or  
 13 employee of any of the parties or attorneys involved in  
 14 this matter and that I have no personal interest in the  
 15 final disposition of this matter.

16 WITNESS MY HAND AND SEAL January 10, 1993.

17 

18 STEVEN T. BRENNER  
 19 CCR No. 7

20 My commission expires: October 14, 1994

21

22

23

24

25

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

STATE OF NEW MEXICO  
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT  
OIL CONSERVATION DIVISION  
CASE 10,563

EXAMINER HEARING

IN THE MATTER OF:

Application of Great Western Drilling Company for  
compulsory pooling and a non-standard gas  
proration unit, San Juan County, New Mexico

**ORIGINAL**

TRANSCRIPT OF PROCEEDINGS

BEFORE: MICHAEL E. STOGNER, EXAMINER

STATE LAND OFFICE BUILDING

SANTA FE, NEW MEXICO

October 1, 1992

## A P P E A R A N C E S

FOR THE DIVISION:

ROBERT G. STOVALL  
Attorney at Law  
Legal Counsel to the Division  
State Land Office Building  
Santa Fe, New Mexico 87504

FOR NORTHWEST PIPELINE:

RODEY, DICKASON, SLOAN, AKIN & ROBB, P.A.  
Attorneys at Law  
By: PAUL A. COOTER  
123 East Marcy Street  
P.O. Box 1357  
Santa Fe, New Mexico 87504-1357

\* \* \*

	I N D E X	
		Page Number
1		
2		
3	Appearances	2
4	Exhibits	4
5	MIKE S. HEATHINGTON	
6	Direct Examination by Mr. Hall	6
7	Examination by Examiner Stogner	13
8	Examination by Mr. Stovall	15
9	Cross-Examination by Mr. Cooter	18
10	Examination by Mr. Stovall	28
11	Cross-Examination (Continued)	
12	by Mr. Cooter	29
13	Examination (Continued) by Mr. Stovall	31
14	RUSSELL RICHARDS	
15	Direct Examination by Mr. Hall	36
16	Examination by Examiner Stogner	38
17	Direct Examination (Continued)	
18	by Mr. Hall	40
19	Examination by Mr. Stovall	43
20	Further Examination by Mr. Stogner	44
21	DENNIS L. HENDRIX	
22	Direct Examination by Mr. Hall	47
23	Examination by Mr. Stovall	54
24	Examination by Examiner Stogner	61
25	Further Examination by Mr. Stovall	63

1	DENNIS L. HENDRIX (Continued)	
2		Page Number
3	Further Examination by Mr. Stogner	65
4	Further Examination by Mr. Stovall	67
5	Certificate of Reporter	71
6	* * *	
7		
8		
9	E X H I B I T S	
10	APPLICANT'S EXHIBITS:	
11	Exhibit 1	8
12	Exhibit 2	9
13	Exhibit 3	40
14	Exhibit 4	69
15		
16	NORTHWEST EXHIBITS	
17	Exhibit 1	22
18	Exhibit 2	22
19	Exhibit 3	22
20	* * *	
21		
22		
23		
24		
25		

1           WHEREUPON, the following proceedings were had  
2           at 9:10 a.m.:

3           EXAMINER STOGNER: Call Case Number 10,563.

4           MR. STOVALL: Application of Great Western  
5           Drilling Company for compulsory pooling and a non-  
6           standard gas proration unit, San Juan County, New  
7           Mexico.

8           EXAMINER STOGNER: Call for appearances.

9           MR. HALL: Mr. Examiner, Scott Hall from the  
10          Miller, Stratvert, Torgerson and Schlenker law firm in  
11          Santa Fe on behalf of the Applicant.

12          We have three witnesses this morning.

13          EXAMINER STOGNER: Other appearances?

14          MR. COOTER: Paul Cooter with the Rodey firm  
15          in Santa Fe, appearing on behalf of Northwest Pipeline.

16          We may have one witness, may not, depending  
17          upon how the exhibits go in.

18          (Off the record)

19          EXAMINER STOGNER: At this time, will the  
20          witnesses please stand and be sworn?

21          (Thereupon, the witnesses were sworn.)

22          EXAMINER STOGNER: You may be seated.

23          Mr. Hall?

24          MR. HALL: Mr. Examiner, by way of  
25          background, we are bringing this Application pursuant

1 to the Order, Order Number R-9277, entered in Case  
2 Number 10,048, almost two years ago.

3 In that instance, the Applicant sought to  
4 dedicate a nonstandard unit to the J.E. Decker 11 well,  
5 the well in this case.

6 That Applicant was opposed by Northwest, who  
7 sought instead dedication of the well to a standard  
8 unit, consisting of all of irregular Section 8.

9 We are here today pursuant to provisions of  
10 that Order in seeking that dedication and designation  
11 of Great Western Drilling, its operator, and we also  
12 seek the standard coal well risk penalty of 156  
13 percent.

14 I'll start with my first witness.

15 MIKE S. HEATHINGTON,

16 the witness herein, after having been first duly sworn  
17 upon his oath, was examined and testified as follows:

18 DIRECT EXAMINATION

19 BY MR. HALL:

20 Q. If you would state your name for the record,  
21 please.

22 A. Full name is Mike S. Heathington.

23 Q. Mr. Heathington, where are you employed and  
24 in what capacity?

25 A. Employed at Great Western Drilling Company in

1 Midland, Texas, in the capacity of landman.

2 Q. All right. Have you previously testified  
3 before the Division?

4 A. No, I haven't in New Mexico.

5 Q. If you would, please, sir, give a brief  
6 summary of your educational background and work  
7 experience.

8 A. Okay, I've got basically ten years of in-  
9 house land experience with two companies, Yates  
10 Petroleum and Great Western Drilling Company, a couple  
11 years of independent contract work running titles in  
12 west Texas.

13 Graduate of Angelo State University, 1980.

14 Q. And you're familiar with the well and the  
15 subject lands in this case?

16 A. Yes, I am.

17 MR. HALL: Are the witness's credentials  
18 acceptable?

19 EXAMINER STOGNER: Are there any objections?

20 MR. COOTER: No, sir.

21 EXAMINER STOGNER: This witness's credentials  
22 are acceptable, Mr. Hall.

23 Q. (By Mr. Hall) Mr. Heathington, what is it  
24 that Great Western seeks by this Application?

25 A. What we're trying to do here today is reach a

1 compulsory pooling of a the non-joinder interest we've  
2 had in the southeast quarter of our section.

3 We seek to be designated as operator of this  
4 standard proration unit, and we also seek the standard  
5 156 risk penalty applied for Basin Fruitland Coal  
6 wells.

7 Q. And by the way, this is not a standard  
8 governmental section; is that correct?

9 A. That's correct, it's an irregular section.  
10 It's up against the state line of Colorado. The full  
11 section comprises 336 acres.

12 Q. All right. If you would refer to Exhibit 1,  
13 please, sir, and explain the land ownership situation?

14 A. Okay. Basically, like we mentioned, our  
15 proration unit comprises all of Section 8. Lots 3 and  
16 4, in the south half of southwest quarter of said  
17 section is outside of the -- outside of a federal unit  
18 we're proposing to standarly pool with.

19 What is generally referred to as the  
20 southwest quarter of 8 is owned by Great Western  
21 Drilling Company, 64.476; percent; Dabble, Inc., 35.524  
22 percent.

23 I believe lots 1 and 2 and the south half --  
24 southeast quarter of Section 8 to be owned in these  
25 percentages: 23 percent by Williams Production

1 Company; Arco Oil and Gas Company, 50 percent; Coastal  
2 Oil and Gas Production, 27 percent.

3 Q. And which of those interests are permitted to  
4 the well and which do you seek to pool?

5 A. We have joinder, voluntary joinder under the  
6 Order 9277, from 74.97 percent of the parties.

7 Basically at this time we have not heard at  
8 all from our correspondence from Coastal Oil and Gas  
9 Corporation one way or the other. Northwest -- Excuse  
10 me, Williams Production Company, has executed our  
11 proposed JOA, conditionally subject to a revised  
12 Exhibit E.

13 So basically we're talking -- and have not --  
14 They have not executed the necessary com agreements  
15 necessary to pool, necessary to produce our well.

16 So basically the interest of Williams  
17 Production Company and Coastal Oil and Gas.

18 Q. And you are seeking to pool across the unit  
19 boundary of the Cox Canyon Unit; is that correct?

20 A. Yes.

21 Q. And that's shown on Exhibit 1?

22 A. That is on Exhibit 1.

23 Q. If you would refer to Exhibit 2, is Exhibit 2  
24 a compilation of the letters you have sent to Coastal  
25 and Northwest for Williams, seeking to secure their

1 joinder?

2 A. Yes, it is.

3 Q. If you could give me a detailed explanation  
4 of the sequence of events.

5 A. Well, again, pursuant to your Order 9277 on  
6 March 5th, we sent out what we felt was letters -- a  
7 letter to all parties in accordance with what the Order  
8 required us to do, and that was, we sent out the  
9 proposed joint operating agreements, com agreements,  
10 and we listed the -- Since this well had been already  
11 drilled and completed, we had a very good handle on the  
12 -- instead of an estimated cost, we have a very good  
13 handle on the actual cost of that well, and we informed  
14 all parties what the costs to that date were.

15 You know, it basically followed up from March  
16 5th on with phone calls and subsequent conversations,  
17 trying to get all parties in pursuant to the Order we  
18 were under.

19 Q. Since you had actual costs, there was no need  
20 to send an AFE; is that correct?

21 A. Certainly we can document the actual cost  
22 number that we gave. We did not send -- AFE's had  
23 already been executed prior to drilling the well to  
24 begin with, with the parties in the original unorthodox  
25 location that was not approved.

1 Q. Orthodox, standard, you mean?

2 A. Yes, not -- Excuse me, nonstandard unit,  
3 that's correct.

4 So no, we didn't send out AFE's, again, since  
5 we had such a good handle on total costs.

6 Q. And the interest owners you seek to join were  
7 apprised of those actual costs; is that correct?

8 A. Yes, in our March 5th letter.

9 Q. In your opinion, have you made a good-faith  
10 effort to join those interest owners?

11 A. Yes, sir, I believe we have.

12 Q. Are you prepared to make a recommendation to  
13 the Examiner as to the risk penalty that should be  
14 imposed against those interests?

15 A. Our witnesses to be called here in a minute  
16 will talk about that more.

17 But yes, we see no difference in the risk  
18 that we incurred -- that anyone incurred prior to  
19 drilling. Even though this well has been completed,  
20 there's still certainly risk associated with it, and  
21 156 penalty should be applied.

22 Q. All right. With respect to Exhibit 2 were  
23 those letters drafted by you or at your direction?

24 A. Yes.

25 MR. HALL: And Mr. Examiner, Exhibit 1,

1 although the witness testified about components of it,  
2 it was prepared by witnesses. I'll tender it to those  
3 witnesses.

4 At this time we'd tender Exhibit Number 2.

5 EXAMINER STOGNER: Are there any objections?

6 MR. COOTER: No, sir.

7 EXAMINER STOGNER: Exhibit Number 2 will be  
8 admitted into evidence.

9 So I'm not confused here, Mr. Hall --

10 MR. HALL: I have some information on the  
11 ownership percentages.

12 We didn't seek to make that an exhibit, but  
13 if you'd like that --

14 EXAMINER STOGNER: In light of what could  
15 potentially be somewhat complicated, I would like it,  
16 yes.

17 MR. HALL: All right.

18 EXAMINER STOGNER: I want to make sure what  
19 party we're here to force-pool today. Is that  
20 Northwest Pipeline?

21 MR. HALL: Now known as Williams Production  
22 Company --

23 EXAMINER STOGNER: Okay.

24 MR. HALL: -- and Coastal.

25 THE WITNESS: Coastal.

## EXAMINATION

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

BY EXAMINER STOGNER:

Q. So, for the record, when I refer to Order R-9277 and they talk about -- and that Order talks about Northwest Pipeline, we're talking about one and the same, Northwest Pipeline being Williams Brothers Production; is that as you understand it, Mr. Heathington?

A. Yes, it is.

Q. Okay. Now, where does Coastal Oil and Gas Corporation come in on this?

A. They're just a partner to the -- in the Cox Canyon unit, and they do own 27 percent of the -- of lots 1 and 2 in the south half, southeast quarter of Section 8, which is part of the Cox Canyon Unit.

Q. And what about Arco's interest again?

A. Arco is fully signed up to join, and -- as well as executing the com agreements that we need here to produce the well.

Q. Now, do these percentages -- and that's the Arco, 50 percent; Williams Production, 23 percent; and Coastal, 27 percent of this particular -- for convenience's sake, the southeast quarter of 8?

A. That's correct.

Q. Is that number also indicative of that unit

1 that is also shown in the Exhibit Number 1?

2 A. No, it isn't. We got those -- on our JOA, if  
3 you would like those numbers.

4 EXAMINER STOGNER: Are you going to present  
5 testimony on that later, Mr. Hall?

6 MR. HALL: No, sir, didn't plan on it. We'll  
7 -- like to get to that right now.

8 EXAMINER STOGNER: I guess I'm confused.  
9 I've got a unit out here, but we only have three  
10 parties. I thought that's the whole idea of a unit,  
11 that we have more than one interest in that unit.

12 MR. HALL: We're simply pooling across the  
13 unit boundary into the southeast quarter of 8 --

14 EXAMINER STOGNER: Exactly.

15 MR. HALL: -- along with the southwest  
16 quarter of 8. We're pooling that acreage in the  
17 southwest quarter of 8. The unit operator will be  
18 responsible for distributing production proceeds, I  
19 assume.

20 THE WITNESS: If you would like the ownership  
21 percentages for the communitized Section 8, I've got  
22 those.

23 Basically the parties in question here would  
24 be -- Coastal owns the proposed 336 acres we propose to  
25 unitize. For purposes of Fruitland production, Coastal

1 would own 13.51607 percent.

2 Arco is joined.

3 Williams has 11.51369 percent.

4 Just over 25 percent of the proration unit,  
5 standard proration unit, is not fully signatory to our  
6 agreements.

7 EXAMINATION

8 BY MR. STOVALL:

9 Q. Give me that last -- that 11.369 was  
10 Williams?

11 A. Yes, that ownership I'm showing is for that  
12 acreage only, and I didn't break it out to the -- to  
13 the 336-acre proration unit. But we've got it on the  
14 operating agreements if you all would like a copy of  
15 that.

16 Q. The percentages you just gave were for the  
17 southeast of 8 --

18 A. Yes, sir.

19 Q. -- assuming that that's how we're --

20 A. Yes, sir.

21 Q. -- we're calling that particular tract?

22 A. Right. That the ownership of that tract.  
23 That's not ownership of the 336-acre well --  
24 communitized unit.

25 Q. Who's got the rest of the other 75 percent of

1 that southeast quarter, did you say?

2 A. Arco owns -- Arco, Coastal and Williams  
3 Production company own those percentages I'm showing on  
4 my ownership exhibit for the southeast of 8, Great  
5 Western and Dabble own all the southwest quarter of 8.

6 (Off the record)

7 Q. (By Mr. Stovall) Great Western is not part  
8 of that unit in any way, are they?

9 A. No, sir.

10 Q. How familiar are you with the unit agreement  
11 and the unit operations and all that sort of --

12 A. The existing federal unit over here? I'm not  
13 that familiar at all.

14 MR. STOVALL: Mr. Hall, is it your contention  
15 that you know the lands are unitized --

16 MR. HALL: Yes, sir.

17 MR. STOVALL: -- and therefore you are force-  
18 pooling the unit and giving notice to Williams as the  
19 unit operator; is that correct?

20 MR. HALL: We -- Williams is the unit  
21 operator, is my understanding.

22 MR. STOVALL: Correct, okay.

23 MR. HALL: We're simply pooling the interest  
24 owners in the 336-acre proration unit.

25 MR. STOVALL: And so what you have done as

1 far as notice and naming parties, you are naming  
2 Williams as an interest owner in that southeast quarter  
3 and also as the unit operator; is that correct?

4 MR. HALL: Correct, yes, sir.

5 MR. STOVALL: And you are naming Coastal as  
6 an interest owner in the southeast quarter, although  
7 their interest may be governed by the unit agreement?

8 MR. HALL: That's correct.

9 MR. STOVALL: And Arco is voluntarily joined,  
10 but their joinder and participation may be affected by  
11 the unit agreement?

12 MR. HALL: It may be.

13 MR. STOVALL: And so when you do a Division  
14 order and a division of interest on your JOA, it may  
15 have to reflect the unit rather than the individual  
16 lessees within the southeast quarter; is that correct?

17 MR. HALL: For purposes of distribution to  
18 the unit participants, I assume that's correct. I  
19 assume Northwest or Williams.

20 MR. STOVALL: That could --

21 THE WITNESS: I'm not sure that they --  
22 Excuse me. They will clarify, but that could be the  
23 unit ownership also.

24 MR. STOVALL: Well, that was going to be my  
25 next point, is, it sounds to me like what we're going

1 to have to do is finish up here, and then perhaps Mr.  
2 Gillen is familiar enough with the ownership and  
3 agreement that he can discuss who that is.

4 I guess for purposes of this -- As far as the  
5 force-pooling order is concerned, it isn't really  
6 particularly important what the percentages are, as  
7 long as you've got the parties named.

8 MR. HALL: We're just looking for the right  
9 to drill at this point, to dedicate the acreage.

10 MR. STOVALL: Coastal may be an extra in here  
11 if, in fact naming the unit is sufficient, but I think  
12 that you have given notice to presumably all parties  
13 who would be entitled to notice, and possibly more than  
14 really are required to have it.

15 MR. HALL: I believe that's correct.

16 MR. STOVALL: I think I can concur in that so  
17 far. We'll hear what Williams has to say here when we  
18 come up, but I believe that would be correct.

19 EXAMINER STOGNER: In that case, are there  
20 any other questions of this witness?

21 Mr. Cooter?

22 CROSS-EXAMINATION

23 BY MR. COOTER:

24 Q. Mr. Heathington, in brief review, when Great  
25 Western filed its Application for a permit to drill

1 this J.E. Decker Well Number 1, that Application showed  
2 as the land committed to that unit was all of Section  
3 8, which is more or less the south half of a normal  
4 section?

5 A. I think that's right.

6 Q. And at that time, or prior to the drilling of  
7 that well, no effort had been made by Great Western to  
8 form or to have a communitization agreement which  
9 covered that south half?

10 A. That's correct. We had a miscommunication  
11 between our permanent people and the land people, which  
12 basically we had always in the past developed  
13 nonstandard proration units around the Cox Canyon  
14 partners.

15 We've been out there for quite some time,  
16 we've always developed Mesa Verde. And I basiclaly --  
17 When we got into our Fruitland program, we basically  
18 prepared JOA's reflecting the way it always had been  
19 done in the past with our partners in the west half,  
20 west half of 17, and stayed away from the unit  
21 partners. And the permit was incorrectly filed, that's  
22 correct.

23 Q. And so when that difference was discovered,  
24 then Great Western filed its Application in that prior  
25 Case Number 10,048 to form the nonstandard proration

1 unit, being the southwest quarter of Section 8 and the  
2 west half of the west half of Section 17 to the south?

3 A. That's correct.

4 Q. Now, prior to that hearing in that case,  
5 Great Western had received -- well, at least more one  
6 letter from Northwest indicating that it would like the  
7 unit to be the south half of -- or all of Section 8, in  
8 making that proposal to Great Western and indicating  
9 Northwest Pipeline's willingness to join in that unit,  
10 had it not?

11 A. Prior to what date? I'm sorry?

12 Q. Prior to at least the hearing in that prior  
13 Case Number 10,048.

14 A. There was discussion, lots of discussion  
15 about that. I'm not --

16 Q. Well, let me --

17 A. -- expressly aware of any correspondence to  
18 that effect.

19 Now, after the hearing, of course, and  
20 pursuant to the Order, they did request us to submit  
21 JOA's and com agreements.

22 MR. STOVALL: Mr. Cooter, if I might, is that  
23 -- do you remember if that discussion was in the 10,048  
24 case?

25 MR. COOTER: Yes, sir.

1 Q. (By Mr. Cooter) I'm going to refer to two  
2 letters. One is a letter of April 24, 1990, which was  
3 Exhibit 16, offered by Northwest in that case, and let  
4 me just hand that to you for ready reference.

5 A. Okay. Well, then, the answer is yes, if  
6 that's the case. I wasn't present at that hearing or  
7 working that case. I wasn't completely aware of that.  
8 I inherited this a few months ago.

9 Q. I can understand the difficulty in doing  
10 that.

11 But back even before the hearing in that  
12 prior case, Northwest had indicated its willingness to  
13 Great Western if they would but form a Section 8  
14 unit --

15 A. Yeah.

16 Q. -- which is at a regular half-section?

17 A. That's correct. In fact, they insisted that  
18 we -- after the fact, after the well was already  
19 drilled, that we do that.

20 Q. Okay. Now, we're still talking about before  
21 that hearing. Let me refresh your memory a little bit  
22 further and show you a copy of a letter of May 14,  
23 which followed the prior one by not quite a month.

24 Northwest was still indicating its desire  
25 that the south half of Section 8, or the irregular

1 Section 8, be the standard unit?

2 A. That's correct.

3 Q. All right. And then when the --

4 MR. STOVALL: Mr. Cooter, was that second  
5 letter you referred to a part of the case, 10,048?

6 MR. COOTER: I don't believe it was.

7 Q. (By Mr. Cooter) It conformed more or less to  
8 the same terms and provisions of the prior letter,  
9 which is marked as Exhibit 16 in that prior hearing,  
10 does it not? I'm posing the question to you after I  
11 asked it. The second letter in May conforms to the  
12 prior letter of April, more or less?

13 A. I'm sure it's along the same lines of wanting  
14 to get the south half unit formed, or the Section 8  
15 unit formed.

16 Q. Okay. Now, I have placed before you a series  
17 of three letters which I have marked in this case as  
18 Northwest Exhibits 1, 2 and 3. Actually, I think one  
19 of them is a duplication of your letter.

20 But after the entry of the Order Number  
21 R-9277, Northwest again wrote Great Western Drilling  
22 Company on October 26th of 1990, again proposing that  
23 the irregular Section 8 be committed to a unit for that  
24 Number 11 well.

25 A. That's correct.

1 Q. At that time, what was done?

2 A. Again, we've been through a reorganization,  
3 and there was quite some period of time before my March  
4 5th of this year letters took place.

5 I was not involved with management at that  
6 time, but I was instructed after our reorganization in  
7 January to get this problem addressed, and that's when  
8 we submitted in March exactly what is requested here in  
9 this letter.

10 Q. Would it be fair to assume, then, that Great  
11 Western did nothing after the entry of the Order and  
12 its receipt of Northwest's letter of October 26th,  
13 1990, until sometime in the early part of this year?

14 A. March 5th of 1992, yes, sir.

15 Q. And that is evidenced by your letter which is  
16 one of your letters in that packet. It's -- the letter  
17 mailed to Northwest is marked as Northwest Exhibit  
18 Number 2.

19 A. The March 5th letter; is that correct, Scott?

20 MR. HALL: Yes.

21 THE WITNESS: Okay.

22 Q. (By Mr. Cooter) All right. Now then, tell  
23 me, if you would, what transpired between Great Western  
24 and Northwest after that March 5 letter.

25 A. After several phone calls, finding out if the

1 agreements were success -- acceptable and that type of  
2 thing, on July 16th, I guess four months after that  
3 letter, they did conditionally execute the proposed  
4 joint operating agreement.

5 The only really complaint I have personally  
6 with that -- We really don't have a problem with the  
7 conditional acceptance of the JOA; we are just simply  
8 frustrated by the noncompliance with, you know,  
9 communitizing the section like we need to do, is really  
10 the only complaint we've got at this point.

11 I feel frustrated by the -- They requested  
12 signature pages to the com agreement as substitutes.  
13 We sent those by one of our letters and really felt we  
14 had no objection in order to conduct this, not  
15 specifically against Williams, mainly against Coastal,  
16 but I have to include Williams for failure to  
17 effectively communitize the Section 8.

18 Q. The communitization agreement was the subject  
19 of several discussions between one or more people at  
20 Northwest and one or more people at Great Western?

21 A. Well, myself at Great Western. And like I  
22 said, I did send revised signature pages on one of our  
23 letters to them, hoping to comply with their concerns  
24 and changes.

25 Q. Well now, your letter of June 23 refers to

1 two substitute pages which were made to the  
2 communitization agreement --

3 A. Yes, sir.

4 Q. -- was it not?

5 A. Yes, sir.

6 Q. And that, again, was prior to the return of  
7 the executed joint operating agreement from Northwest,  
8 dated July 16th?

9 A. (Nods)

10 Q. In that letter of July 16, they return the  
11 executed joint operating agreement with the  
12 substitution of a gas-balancing agreement for the one  
13 that was contained in the original one?

14 A. Correct.

15 Q. Was that accepted?

16 A. Again, we don't particularly have a problem.  
17 I have not sent that back accepted. We don't have a  
18 particular problem with the proposal.

19 We didn't want to get into the situation with  
20 -- Arco was making some of the same comments that they  
21 were wanting a different Exhibit 8.

22 In answer to your question, since Arco is now  
23 joined, it probably will be accepted by management,  
24 yes, sir.

25 Q. Their revised Exhibit E --

1 A. Yes, sir.

2 Q. -- gas-balancing agreement?

3 A. Probably. We didn't want to get into a  
4 situation where we had three different gas-balancing  
5 agreements, so we were waiting until all parties sent  
6 their proposed changes to our agreements back to us  
7 before we agreed to Northwestern.

8 Q. Has the substituted gas-balancing agreement  
9 submitted to you by Arco been forwarded to Northwest  
10 for its consideration?

11 A. They were talking about it. They never made  
12 that request. They executed without exception.

13 But at the time Northwest said this, they  
14 were -- It was in their gas-contract area, and they  
15 were talking about making changes, is why this  
16 conditional acceptance from Williams has not been  
17 accepted, one of the main reasons.

18 Q. Be patient with me. I'm a little bit  
19 confused. Northwest wanted a different gas-balancing  
20 agreement?

21 A. Uh-huh.

22 Q. And they submitted that to you?

23 A. Uh-huh.

24 Q. You have not indicated whether that is  
25 acceptable or not?

1           A.    That's correct.

2           Q.    Arco also wanted a different gas-balancing  
3 agreement?

4           A.    They were verbally making overtures about  
5 proposed changes.  They did not -- Again, when it  
6 finally went through their system, they executed it  
7 without change.

8           Q.    So they have accepted your original one?

9           A.    Yes, sir.  So now we've got the situation of  
10 accepting Northwest agreements or proposed change and  
11 getting approval from everybody or trying to -- You  
12 know, there's not that much difference in the  
13 agreements, between ours and theirs.

14                    So I'm sure that that condition that they've  
15 executed can be worked out.

16           Q.    All right.  Then the other question that I  
17 would like to ask you is that in your letter of March  
18 5, you refer to the figure of \$329,000-plus as your  
19 costs incurred in that Decker Number 11 well.

20                    Have you ever submitted to Northwest an  
21 itemization of those costs?

22           A.    It's never been requested.

23           Q.    It has not?

24           A.    No, sir, we have not submitted it, and it has  
25 never been requested.

1 Q. If there was a provision that those costs be  
2 reasonable and appropriate and substantiating evidence  
3 given for them, that has never been done?

4 A. We are prepared to furnish copies of actual  
5 invoices upon request to any party asking for same,  
6 actual invoices for this well. We got it all ready and  
7 fully expect to furnish them when somebody requests  
8 them.

9 MR. COOTER: That's all I have. Thank you,  
10 sir.

11 EXAMINATION

12 BY MR. STOVALL:

13 Q. Mr. Examiner. What's the status of Coastal's  
14 -- We discussed Northwest or Williams' productions.  
15 What discussions have you had with Coastal?

16 A. Several verbal conversations after the  
17 proposal in March. They have recommended to management  
18 that they participate. They just can't get whoever in  
19 house is authorized to finally approve that. They just  
20 can't seem to quite get over the hump there, as far as  
21 getting the answer one way or the other. I have had no  
22 correspondence from them.

23 MR. STOVALL: Mr. Cooter, does Williams have  
24 a position as to whether or not as operator of the unit  
25 it can commit all of the unit interests to this well?

1 MR. COOTER: I don't think it can.

2 MR. STOVALL: You believe it cannot?

3 MR. COOTER: Cannot.

4 MR. STOVALL: Is Williams in a position where  
5 they can sit down and discuss this thing with Great  
6 Western, since you're in the same building, in the same  
7 place, and make a few phone calls and get something  
8 resolved here?

9 MR. COOTER: I would think so.

10 MR. STOVALL: Or would you rather leave it in  
11 our hands?

12 MR. COOTER: No, I would think so. I have --  
13 No, in answer to your question.

14 But I have one additional question of the  
15 witness.

16 MR. STOVALL: Go ahead.

17 CROSS-EXAMINATION (Continued)

18 BY MR. COOTER:

19 Q. I'm sorry to be out of order, but I was just  
20 handed a page or a sheet of paper from your attorney  
21 that says actual costs for drilling completion, gas  
22 gathering and meter installation on the Decker Number  
23 11 well is \$367,218.

24 That's a different figure than what was said  
25 in your --

1           A.    That's correct.

2           Q.    What do you seek in this hearing?

3           A.    Don't seek anything.

4                    We've got -- As I'm sure you're all familiar,  
5           operating in the San Juan Basin, El Paso, when they put  
6           in your gathering systems and your meters, we did work  
7           in March of 1991 on this well, and -- I've got the  
8           invoice in here.

9                    And about 14 months later, we got the  
10          additional invoice for the meter installation for the  
11          Decker 11 from El Paso, to the tune of about \$37,000  
12          more.

13                   And my letter does say in March that that was  
14          the actual cost to date.

15                   I didn't dream that El Paso would bill us 15  
16          months behind actually doing the work, but in that case  
17          that's what's happened.

18           Q.    And this represents your original figure of  
19          \$329- -- or almost \$330,000, plus the additional  
20          thirty-seven is a charge by El Paso?

21           A.    For the meter installation for the well. The  
22          well is ready to be produced.

23                    (Off the record)

24           MR. COOTER: Thank you.

25           MR. STOVALL: One question.

1 EXAMINER STOGNER: Mr. Stovall?

2 MR. STOVALL: Yeah, I've got one question.

3 EXAMINATION (Continued)

4 BY MR. STOVALL:

5 Q. Assuming there's no request dispute as to  
6 costs, and without discussion about that, am I correct  
7 in understanding that this -- that the most recent  
8 correspondence that we're seeing in this exhibit is  
9 Great Western is offering Williams the opportunity to  
10 pay their costs and join the well under the terms of an  
11 operating agreement?

12 A. Under the terms of an operating agreement  
13 and --

14 Q. And either become a participating party and  
15 pay a hundred percent of their costs, or go nonconsent  
16 under such an agreement?

17 A. Yes, sir.

18 MR. STOVALL: Mr. Examiner, I think we can  
19 spend a lot of time here discussing some penalty issues  
20 and other things.

21 I realize that Coastal is still an issue in  
22 this case.

23 But at this time I would like to recommend  
24 that we continue this case till the end of the docket  
25 and allow Northwest and Great Western to perhaps

1 resolve their differences, and I think this can shorten  
2 up this case rather quickly and get the parties to  
3 where they want to be, rather than where we put them.

4 EXAMINER STOGNER: I concur, Mr. Stovall, and  
5 I'm going to follow up on that and suggest that both  
6 parties do that, and we're going to proceed on instead  
7 of wasting the other people's time today, go ahead and  
8 hear theirs, and then we will come back to this  
9 particular case and hear what you have to say.

10 At this time, let's take a 15-minute recess  
11 so the next case, Yates, can get set up.

12 (Thereupon, a recess was taken at 9:50 a.m.)

13 (The following proceedings had at 12:46 p.m.)

14 EXAMINER STOGNER: Come to order.

15 We'll at this time recall Case Number 10,563.

16 MR. STOVALL: Mr. Hall, I understand that  
17 during the break you've met with Williams Production  
18 representatives and have resolved all differences with  
19 them and wish to dismiss them from this case at this  
20 time?

21 MR. HALL: For the time being. We don't have  
22 executed documents, of course, but we expect to  
23 shortly.

24 MR. STOVALL: Well, I guess that raises the  
25 question of -- I think at this point dismiss them if

1 you had to come back in, refile, because I think you'd  
2 have to start over anyway if you run into a problem  
3 with them.

4 And so now your question is, you've still  
5 got Coastal -- Let's see, what's we name of the  
6 Defendant?

7 MR. HALL: Coastal Oil and Gas.

8 EXAMINATION (Continued)

9 BY MR. STOVALL:

10 Q. Okay. And just for my -- and to clarify the  
11 record, during the prior discussion a lot of the  
12 discussion focused on what had gone on with Northwest.

13 And if I'm not mistaken, Mr. Heathington --  
14 and you are back on the stand and still under oath --  
15 is it safe to say, correct to say, your exhibits -- and  
16 I guess it's Exhibit Number 2, that package of letters,  
17 also summarizes your discussions with Coastal and is  
18 very similar to what has gone on with Northwet except  
19 that you have actually not gotten any -- quite as far  
20 in terms of responses and what Coastal would expect out  
21 of an agreement; is that correct?

22 A. Yes, haven't gotten a whole lot out of either  
23 party, but nothing out of Coastal, yes.

24 Q. You've had no reponses at all to your offers  
25 to join the well and participate in the

1 communitization?

2 A. Not any written response, no, sir.

3 Q. Oral?

4 A. Yeah, we -- they -- After calling them and  
5 following up on two of my letters, they have indicated  
6 they recommend participation in the well.

7 They don't have final management approval,  
8 and I'm trying -- I understand they're trying to get  
9 it, but as of today we don't have anything from them.

10 Q. So you understand that if we proceed with  
11 this hearing to force-pool the interest of Coastal,  
12 that any order can be negated by the effect of an  
13 agreement with Coastal, and you can proceed with  
14 negotiations and enter into an operating agreement with  
15 Coastal; is that correct?

16 A. Yeah.

17 Q. And I would only ask one other thing, is, if  
18 you should reach that agreement prior to the time of  
19 the entry of an order, that you contact us immediately  
20 and request the case be dismissed, which saves  
21 everybody a lot of time in terms of writing an order.

22 A. Sure will.

23 MR. HALL: We'll do that.

24 MR. STOVALL: And unless you've got any  
25 further questions, I think I -- I think we're clear

1 as -- where Coastal is in terms of negotiation and  
2 agreement, and the issues left to be resolved are the  
3 standard issues of operating costs and penalties and --

4 MR. HALL: That's correct.

5 MR. STOVALL: Presumably -- Also, I would say  
6 that your well costs, as shown in -- and perhaps, Mr.  
7 Hall, you're going to need to --

8 MR. HALL: Yeah, that's already in the  
9 record. We'll discuss that further.

10 MR. STOVALL: Yeah, they may be -- still may  
11 be challenged by Coastal if they end up under the  
12 force-pooling agreement.

13 EXAMINER STOGNER: With that, I believe all  
14 concerned is straight, that this Application now just  
15 pertains to Coastal; is that correct, Mr. Stovall?

16 MR. STOVALL: That is correct. It should be  
17 dismissed with respect to Northwest Pipeline and/or  
18 Williams Production Company, which are -- the latter  
19 being the successor to the former in name.

20 EXAMINER STOGNER: Okay, Mr. Hall.

21 MR. HALL: That concludes my direct of this  
22 witness.

23 We'll move on if there's nothing further.

24 EXAMINER STOGNER: No further questions of  
25 this witness.

1                   RUSSELL RICHARDS,

2           the witness herein, after having been first duly sworn  
3           upon his oath, was examined and testified as follows:

4                                   DIRECT EXAMINATION

5           BY MR. HALL:

6                   Q.    For the record, state your name.

7                   A.    Russell Richards.

8                   Q.    Mr. Richards, where do you live and how are  
9           you employed?

10                  A.    I live in Midland, Texas, and I'm employed by  
11           Great Western Drilling as their district geologist.

12                  Q.    Mr. Richards, have you previously testified  
13           before the Division and one of its examiners and had  
14           your credentials made a matter of record?

15                  A.    Yes, I have.

16                  Q.    Are you familiar with the subject well and  
17           the subject clients in this case?

18                  A.    Yes, sir.

19                  MR. HALL:  Are the witness's credentials  
20           acceptable?

21                               EXAMINER STOGNER:  Yes, they are.

22                  Q.    (By Mr. Hall)  Mr. Richards, if you would  
23           refer back to Exhibit 1, I understand that we are  
24           requesting a 156-percent risk penalty.  If you could  
25           refer to the pertinent information on Exhibit 1 of

1 that.

2 A. Okay, before I talk in detail to the exhibit,  
3 I would point out, under the legend in the lower left-  
4 hand corner, we've noted that the only wells or other  
5 activities shown on the map are related just to the  
6 Fruitland formation.

7 The main point that I want to make off of  
8 Exhibit 1 regarding risk that was incurred at the time  
9 the J.E. Decker 11 was drilled is the fact that in this  
10 entire map area, which is basically a two-and-a-half to  
11 three-mile radius from the well site, the only well  
12 completed and capable of producing from the Fruitland  
13 formation is located in the east half of Section 15 of  
14 32 North, 11 West.

15 This well is just about exactly two and a  
16 half miles away, and so at that point in time that the  
17 well was drilled, basically none of this other  
18 Fruitland Coal existed, although we are showing it now.

19 The fact that that distance of two and a  
20 half miles from established Fruitland production to our  
21 location, that in itself would classify the J.E. Decker  
22 11 as a Fruitland wildcat.

23 The -- I do also want to make the point that  
24 I'm not implying that we did not know that there was  
25 coal present in the Fruitland formation in the

1 immediate area. But the main question was, What was  
2 the producibility of the methane gas in and under the  
3 location? And that was not -- We did not have the  
4 information to accurately estimate that.

5 The only other thing at this time that I  
6 would point out on Exhibit 1 before moving on to  
7 Exhibit 2 is the cross-section trace, A to A prime,  
8 which shows the subject well, as well as the two  
9 nearest Fruitland producers to it.

10 Q. All right. Let's move on to -- Let's mark  
11 that as Exhibit 3.

12 EXAMINER STOGNER: Before we move on, Mr.  
13 Hall, there's some statements here we need to get  
14 straightened out.

15 EXAMINATION

16 BY EXAMINER STOGNER:

17 Q. When was this well drilled?

18 A. It was completed in January of 1990. The  
19 actual drilling took place the last couple of months of  
20 1989.

21 Q. Okay, and at that time you stated that this  
22 was a wildcat well?

23 A. Yes, I'm basing that statement on the fact  
24 that the only other Fruitland completion in this map  
25 area is located in the east half of Section 15, which

1 is on the far right-hand portion of the map.

2 Q. Are you familiar with the Basin Fruitland  
3 Coal Gas Pool?

4 A. Yes, sir, I am.

5 Q. And when was that pool designated?

6 A. Long before this time.

7 Q. And therefore it's not a wildcat well, is it,  
8 sir?

9 A. This area was not developed as to the  
10 Fruitland --

11 Q. Sir, what is the definition of a wildcat  
12 well, pursuant to the Rules and Regulations of Oil  
13 Conservation Division?

14 A. Greater than one mile from existing  
15 production, or outside of the pool boundaries.

16 Q. And therefore it's in the pool boundary, is  
17 it not?

18 A. I'm not aware that the pool boundaries  
19 included this acreage at the time.

20 Q. I thought you said you were familiar with the  
21 pool.

22 A. I am. I'm assuming that if it's not  
23 developed, how could it be within the pool?

24 Q. It's in the pool boundary, isn't it, sir?

25 A. I would have to say that I don't know that

1 for sure, Mr. Examiner.

2 EXAMINER STOGNER: I'm going to let you  
3 continue. Go ahead in asking your questions of this  
4 witness, Mr. Hall.

5 DIRECT EXAMINATION (Continued)

6 BY MR. HALL:

7 Q. Mr. Richards, I think your point is, for  
8 purposes of control on your A - A' cross-section line,  
9 the closest well at the time the subject well was  
10 drilled was well over two and a half miles away?

11 A. That's the point I was making.

12 Q. Okay. Let's move on to Exhibit 3, if you  
13 would, please. What is Exhibit 3, and what is it  
14 intended to reflect?

15 A. Exhibit 3 is three well cross-sections  
16 showing the J.E. Decker 11 in the middle and the two  
17 nearest offsetting coal producer -- Fruitland Coal  
18 wells.

19 Before I go further with Exhibit 3, I would  
20 just also note that the well on the right-hand side of  
21 the cross-section, the log exhibited there is not the  
22 log for the Cox Canyon 203, which is a Fruitland Coal  
23 producer. The log exhibit is the Cox Canyon Unit  
24 Number 22 well, which is approximately 250 feet away  
25 from the Cox Canyon Unit 203. And the reason this log

1 is exhibited and not the 203 is that we were unable  
2 through our extensive efforts to obtain the log on the  
3 Cox Canyon Unit 203.

4 This well was drilled in November of 1990,  
5 and we tried, you know, through the commercial log  
6 services, through the BLM and through the District OCD  
7 office in Aztec, and at this -- as of early this week  
8 they had not released -- Northwest Pipeline or Williams  
9 Production had not released that log.

10 The -- One of the main risk factors that I  
11 would point out that the cross-section exhibits is that  
12 in this very short area, say a half-mile radius from  
13 the J.E. Decker 11, there is very drastic changes in  
14 coal thickness as well as where the coal is developed  
15 within the Fruitland section itself. That is a very  
16 substantial factor in risk.

17 The only other comment that I would make as  
18 far as risk that this Exhibit nor any other exhibit can  
19 directly address is the other factor that we did not  
20 know at the time that we drilled the J.E. Decker 11,  
21 was the extent to the development of the cleating  
22 system which -- within the coal interval. The cleating  
23 or fracturing is one of the main controls of production  
24 in the Fruitland Coal Formation.

25 Q. Do you have anything further to add with

1 respect to Exhibit 1?

2 A. Yes, I do. We've also noted on Exhibit 1 any  
3 locations which were staked in this area and  
4 subsequently abandoned in that they withdrew their  
5 permit to drill.

6 The most notable one is the abandoned  
7 location in the Cox Canyon unit. It's Cox Canyon unit  
8 number 204, located in the southwest quarter of Section  
9 17.

10 One of Northwest Pipeline's primary points to  
11 their disagreement with our original Application for a  
12 nonstandard proration unit was that they needed the  
13 west half, west half of Section 17 to drill a standard  
14 location in the west half of 17. But the fact that  
15 they're -- When they drilled the Cox Canyon 203 well,  
16 located in the northeast quarter of Section 17, the  
17 well was subsequently such a poor producer that they  
18 abandoned the 204 location as well as four other  
19 locations that they had staked within the unit.

20 This in itself is another indication of  
21 economic risk to development of coal bed methane in the  
22 immediate area.

23 Q. And the location shown in Section 19, was  
24 that a northwest location as well?

25 A. No, it was not.

1 Q. All right.

2 A. Nor the one in -- the southeast of 20 has not  
3 been -- I'm sorry, southwest of 20 has not been  
4 abandoned, but it has not been drilled, and it's been  
5 staked for some time.

6 Q. All right. Were Exhibits 1 and 3 prepared by  
7 you or in conjunction with you?

8 A. Yes, they were.

9 MR. HALL: We would move the admission of  
10 Exhibits 1 and 3, and that concludes our direct of this  
11 witness.

12 EXAMINER STOGNER: Exhibits 1 and 3 will be  
13 admitted into evidence at this time.

14 EXAMINATION

15 BY MR. STOVALL:

16 Q. The subject well was drilled a couple years  
17 ago?

18 A. Yes, it was completed in January of 1990.

19 Q. And at that time -- again we're back to the  
20 old Order -- you got an order saying shut it in and  
21 form a proration unit?

22 A. That's correct.

23 Q. What happened in the last two years?

24 A. Well, here again, as Mr. Heathington  
25 testified, we have gone through a reorganization, we've

1 had changes in staff, and this has not received our  
2 full attention until this time, due to other priorities  
3 also.

4 Q. I was not in here in your first -- but how  
5 long have you been with Great Western?

6 A. For three years.

7 Q. And how long have you been involved in San  
8 Juan Basin Fruitland Coal?

9 A. Well, for most of that time. We've drilled  
10 15 wells, Fruitland Coal wells, in the late 1989-1990-  
11 1991 period.

12 (Off the record)

13 MR. STOVALL: Do you have another witness,  
14 Mr. Hall?

15 MR. HALL: Yes, sir.

16 MR. STOVALL: Oh, okay. I don't have any  
17 more questions of this one.

18 FURTHER EXAMINATION

19 BY EXAMINER STOGNER:

20 Q. As Mr. Hall stated earlier today, this case  
21 was opened, you were seeking a 150-percent risk  
22 penalty; is that correct?

23 A. Yes, 156 percent.

24 Q. And that's the standard that has been issued  
25 out here from the inception of the first forced-pooling

1 applications that come out of this pool, that was  
2 designated covering this area back in 1990, back in  
3 1988, based on that reason, because it was not a  
4 wildcat, it was put into a pool, so therefore the 156  
5 percent.

6           So we've got 156 percent to play with here,  
7 and to be honest with you, I'm finding it very  
8 difficult to justify 156 percent on a well that's  
9 drilled. Maybe you need to help me here. What do I  
10 need to base this on? I mean, it's there. Do you have  
11 any collapsed casing? Is the well bore in good shape?

12           A. Well, I think Mr. Hendrix will address more  
13 of the engineering and mechanical risks in a minute.  
14 But although the well is present now, we did incur risk  
15 at the time the well was drilled, and we took that risk  
16 on and --

17           Q. I see, but you did it and the well is there,  
18 so where's the risk today, at this minute, right now?

19           A. Well, the well is not producing right now, so  
20 the exact quality of production is not known, which is  
21 a risk factor that Mr. Hendrix will address further.

22           Q. I'm trying to justify -- And you're the  
23 geological witness, correct?

24           A. Yes, sir.

25           Q. So how about the geological risk today?

1           A.    Admittedly it's a lot less.  I mean, we have  
2 all the geological data that we're ever going to get  
3 regarding the well.  I mean, now it's a matter of  
4 production.

5                     But are we not addressing the point in time  
6 that the well was drilled and the geologic risk was  
7 much greater at that time?

8           MR. STOVALL:  We're addressing the time that  
9 the Application comes, is when we address that.

10           THE WITNESS:  Okay.

11           MR. STOVALL:  Because risk is to be evaluated  
12 at the time the Application with the Commission is  
13 filed.

14           EXAMINER STOGNER:  So within -- I'm sorry,  
15 Mr. Hall?

16           MR. HALL:  Just bearing in mind that the  
17 previous Order in the original case invited us at that  
18 time to come back for purposes of risk assessment, so  
19 conceivably it could apply retroactively to the time of  
20 that Application.

21           MR. STOVALL:  Was the well drilled at that  
22 time in that case?

23           MR. HALL:  Yes.

24           MR. STOVALL:  Okay.

25           EXAMINER STOGNER:  And that particular

1 Application came in in August; is that correct? Of  
2 1990?

3 MR. HALL: I believe that's right.

4 EXAMINER STOGNER: September 19th of 1990,  
5 the Order was issued. And it came into hearing on  
6 August 22nd, 1990. Good point, Mr. Hall. Thanks for  
7 bringing that up.

8 With that, I don't have any other questions  
9 of Mr. Richards. You may step down.

10 Mr. Hall?

11 DENNIS L. HENDRIX,

12 the witness herein, after having been first duly sworn  
13 upon his oath, was examined and testified as follows:

14 DIRECT EXAMINATION

15 BY MR. HALL:

16 Q. For the record, state your name.

17 A. Dennis L. Hendrix.

18 Q. Mr. Hendrix, where do you live and how are  
19 you employed?

20 A. I live in Midland, Texas, and I work for  
21 Great Western Drilling as a reservoir engineer.

22 Q. Have you previously testified before the  
23 Division and had your credentials accepted as a matter  
24 of record?

25 A. Yes, I have.

1 Q. You're familiar with the subject well and the  
2 subject area?

3 A. Yes, I am.

4 Q. All right. If you would, please, refer back  
5 to Exhibit 1 -- Well, I'm sorry, let me jump to another  
6 issue.

7 You're heard the testimony here today about  
8 the actual costs for the completed well, have you not?

9 A. Yes, that's correct.

10 Q. And again for the record, what are those  
11 costs?

12 A. Completed costs to date are \$367,218.41.

13 Q. All right. And Great Western has drilled  
14 other Fruitland wells in the area?

15 A. Yes, that's correct.

16 Q. And you're familiar with what's being charged  
17 in the area?

18 A. Right.

19 Q. Are the charges and costs for this well in  
20 line with what's being charged in the area?

21 A. Yes, very much so.

22 Q. All right. What are the overhead and  
23 administrative costs for drilling and producing the  
24 well?

25 A. Overhead costs, on a drilling basis during

1 drilling the well, are \$3783 per well per month, and on  
2 a producing basis, \$378 per well per month.

3 Q. And are you recommending that these figures  
4 be incorporated into an order resulting from this  
5 hearing?

6 A. Yes.

7 Q. And Great Western does seek to be designated  
8 operator, does it not?

9 A. Yes, we do.

10 Q. All right. At this time let's refer back to  
11 Exhibit 1, if you would explain the production  
12 information on there, please, sir.

13 A. Okay, there's a few things that can be  
14 pointed out. First one is a little fuzzy now. I  
15 originally had thought when we were assessing risk that  
16 it could be applied back to when we actually incurred  
17 the risk of drilling the well, but that day may be sort  
18 of moving away.

19 But that was one major point, was at the time  
20 the well was drilled and completed there was only one  
21 other Fruitland Coal well that -- engineeringwise that  
22 you could compare any data to, that being over in  
23 Section 15.

24 Another thing that I think is a very  
25 important point that applies probably more so on Mr.

1 Stogner's question is the fact that you have wells --  
2 and I'll point out a few -- in the immediate area of  
3 the Decker 11 that have high IP's, that don't  
4 necessarily have very impressive cums or current  
5 production.

6 One such well is directly to the north on the  
7 Colorado side of Section 23. The well is labeled the  
8 231, and you'll notice on that one it IP'd in late 1990  
9 at 1756 MCF per day. And current production is now  
10 down below 100 MCF, and a cum of about 68 million.  
11 That's considered probably a -- maybe a pretty marginal  
12 well. It could pay out at still a 91 MCF a day, but  
13 it's pretty marginal.

14 Another one that bears this out is the Decker  
15 10, which was drilled in the spring of 1990 by Great  
16 Western, which is to the west of the Decker 11. That  
17 one, again, we had a fairly nice IP of 1557 MCF per  
18 day, but with a cum of only -- of less than 38 million.  
19 This is through May of 1992. The current production of  
20 83, the well can be considered probably marginally  
21 economic, if economic.

22 At the same time, just to point out the risk  
23 involved in this area as far as completion and  
24 production data, you've got wells -- If you'd look at  
25 the Cox Canyon Unit Number 200 to the east of the

1 Decker 11, and you see sort of the opposite thing that  
2 goes on. You've got a much lower IP of 362. This well  
3 completed also in 1990. And you've got a current  
4 production of 379, which shows you the variability of  
5 production out here, and a cum of about 149 million,  
6 which appears to be fairly economic.

7 And keep in mind that these wells I  
8 mentioned, especially these other Cox Canyon unit  
9 wells, weren't drilled at the time. We had to do this.

10 The only other one I was going to point out  
11 was the Cox Canyon Unit Number 203, which is just  
12 south. It also came on with a fairly low IP of 212,  
13 but still has a current production of 148 and a cum of  
14 about 94 million. Again, that's a fairly mediocre cum,  
15 but it shows the fact that you can't just base IP --  
16 You can't relate IP to cum or current production.

17 I think a lot of -- There may be several  
18 factors that will cause that variability, and I'm going  
19 to address a few of those when I talk about completion  
20 risk.

21 Q. All right. Does the information reflected on  
22 Exhibit 1, the production information showing the  
23 variability among the IP's and the cums for the various  
24 wells, does that indicate to you that at the time the  
25 Decker 11 was drilled that there was a chance the well

1 would not be commercially successful?

2 A. Yeah, I certainly do.

3 Q. It substantiates that to you?

4 A. Yes.

5 Q. In your view, was the recommended risk  
6 penalty appropriate?

7 A. I don't see any reason, upon the data that's  
8 shown on the map here, on the production map, that it  
9 shouldn't qualify for the full 156 percent, even though  
10 it's been drilled. There's no guarantees it's ever --  
11 it's going to be economic. It still remains to be  
12 seen.

13 Q. All right. What are some of the other risks  
14 attendant with drilling coal wells?

15 A. There's a few completion risks that I wanted  
16 to bring out, and these are documented in some papers  
17 of people that have worked a lot in that area. I'll  
18 just name a few of them.

19 One of them is filtrate damage from drilling  
20 fluids, both susceptible to that. Research has shown  
21 that water introduced to dry coal can reduce  
22 permeability up to 50 percent, so you are susceptible  
23 to fluids.

24 Coal can react with just about anything,  
25 including nitrogen, which can be absorbed in the coal.

1 And coal fines are an operational problem, and that  
2 often requires setting of liners and introducing  
3 cement, and the filtrate, the water and the cement onto  
4 the coal, which can be a source of formation damage  
5 also.

6 And then just residual fines from fracture  
7 treatments through gel, gel fines, residue, that's also  
8 a potential plugging of your permeability, is involved  
9 in it.

10 Great Western, to try to alleviate some of  
11 this, we did try to drill -- or we drilled our wells  
12 with air to eliminate exposure of the coal beds to  
13 drilling fluids as much as we could.

14 Q. Mr. Hendrix, if you don't obtain the risk  
15 penalty you seek, is there a chance that the well may  
16 be prematurely abandoned?

17 A. Yes, I think there's a -- there's a very good  
18 chance, just based on some of the offset production --  
19 it had high IP's at fairly low cums -- that it could be  
20 uneconomic.

21 Q. All right. In your opinion, will granting  
22 the Application be in the best interests of  
23 conservation, the prevention of waste, and the  
24 protection of correlative rights?

25 A. Yes, I do.

1 Q. Do you have anything further to add with  
2 respect to Exhibit 1?

3 A. No, sir.

4 MR. HALL: Okay, that concludes my direct of  
5 this witness.

6 EXAMINATION

7 BY MR. STOVALL:

8 Q. Question, I just -- You raised an interesting  
9 point.

10 Are you saying you would abandon the well if  
11 you didn't get a penalty? You've already sunk the  
12 cost.

13 A. No, the -- We wouldn't abandon the well.  
14 Economics would determine that, the premature  
15 abandonment.

16 Q. Well, I'm not sure I understand. I mean,  
17 if -- How does the penalty relate to the economics  
18 which could result in premature abandonment? You've  
19 got some costs, you've paid for the well.

20 A. That's correct, yeah. I guess the -- As far  
21 as leading to physical premature abandonment, I  
22 wouldn't -- You know, that wouldn't cause us to abandon  
23 the well where the penalty was assessed.

24 But I think the economics of not assessing  
25 the penalty with Great Western Drilling taking on all

1 the risk of drilling the well, I think it makes perfect  
2 sense to -- if you've got a well that's marginally  
3 economic, that you should be helped out by a penalty  
4 structure.

5 Q. Actually, if you've got a well that's  
6 marginally economic and may not pay out at all, the  
7 penalty structure doesn't do a thing for you, does it?

8 A. No. Of course at this point, we don't know  
9 if it's -- I'm just surmising it could be marginally  
10 economic, and it could be -- it could be a real good  
11 well.

12 Q. Correct. Yeah, I mean, we're kind of in a  
13 circular argument here that you say, If it's marginally  
14 economic, I ought to get a penalty, which I can never  
15 recover. And if it's a great well, then I haven't got  
16 any risk, so I don't need a penalty. So -- You can go  
17 around on that one.

18 A. Uh-huh.

19 Q. Do you understand that the Division -- the  
20 approach is that you are supposed to pool interest  
21 before you incur risk and drill the well and set the  
22 ground rules but go on in. Does that sound reasonable  
23 to you?

24 A. Right, that's the standard way we've done it  
25 in the past.

1 Q. And the fact that, you know, notwithstanding  
2 whatever internal problems Great Western has had, it  
3 seemed to have the cart way out in front of the horse  
4 from the beginning on this well, it looks like.

5 Yeah, I won't ask you to answer that. I  
6 won't --

7 MR. HALL: Not forgetting --

8 MR. STOVALL: Yeah, I won't ask you to answer  
9 to that.

10 MR. HALL: -- a nonstandard unit.

11 MR. STOVALL: Yeah, and I mean, there may  
12 have been some extenuating circumstances, but you came  
13 in and asked for a proration unit after the well was  
14 drilled, you came in and -- Your departments weren't  
15 talking to each other and filed incorrect plats at the  
16 time you drilled -- all sorts of problems on this  
17 that --

18 Q. (By Mr. Stovall) Another question more --  
19 probably more relevant and more pertinent: You've  
20 indicated -- you've testified about well costs, total  
21 well costs of \$367,218. I know Mr. Heathington talked  
22 about that a little but this morning.

23 But would you tell me the types of things  
24 that are included in that well cost?

25 A. Well --

1 Q. In addition -- I mean, assume there's your  
2 basic intangibles, drilling, you know, all the stuff  
3 that goes with it. It's -- How completed is it? Is it  
4 perf'd?

5 A. It's -- At this point, as much time has  
6 passed just with the invoice process, that should be a  
7 pretty complete cost, and that includes the cost of the  
8 drilling, the completion work, gas gathering, all the  
9 lines, metering. It's ready to go on line. It should  
10 be a complete, up-to-date total cost.

11 Q. Well, you understand that the penalty should  
12 not apply to surface equipment that would only be  
13 installed after production. Is that -- because you --  
14 supposedly you don't install that until after --

15 A. Right, after this has all been worked out.

16 Q. So what would your cost be before the  
17 installation of surface gas gathering, measured out?

18 A. I think before the gas gathering and metering  
19 head, which we mentioned before was a late cost, that  
20 figure was \$329,969.

21 Q. That's the one that's appeared in the letters  
22 you sent to Great Western and to Williams?

23 A. That's correct.

24 MR. STOVALL: Well, I'm going to make a  
25 suggestion at this point. I'm not sure there's any

1 more information we can get, but I think that, you  
2 know, the Division has been placed in a rather  
3 difficult situation in this case.

4 I would encourage Great Western to scramble  
5 and try to get a resolution with Coastal and get this  
6 case dismissed. It just does not have all the pieces  
7 that make for a good force-pooling case from the  
8 Division standpoint, and it think it would be in  
9 everybody's best interests if the parties can get move  
10 and get some things settled.

11 THE WITNESS: Yes, we're intending to do that  
12 very thing.

13 MR. STOVALL: I don't have any other  
14 questions.

15 (Off the record)

16 MR. STOVALL: I think the other thing that  
17 we'll make you aware of at this time is, if this case  
18 results in a force-pooling order, we'll, of course,  
19 require that you provide itemized costs to the parties,  
20 and I assume you will do so to all the other parties as  
21 well.

22 THE WITNESS: Uh-huh.

23 MR. STOVALL: And they will have the  
24 opportunity to examine those costs and, if necessary,  
25 come back and, as is always the case in force-pooling,

1 challenge the costs before the Division.

2 But again, I would indicate that those costs  
3 should not include stuff that you would not put on a  
4 non-producer, surface equipment, production equipment.

5 THE WITNESS: Right.

6 MR. HALL: I was going to say, I think the  
7 testimony was that they did offer to provide those  
8 costs to anyone who asked.

9 MR. STOVALL: Well --

10 MR. HALL: We now know where Northwest  
11 stands. We simply haven't been able to get any  
12 response from Coastal.

13 MR. STOVALL: I understand, but --

14 MR. HALL: We'll try again, but that's why  
15 we're here.

16 MR. STOVALL: In a normal force-pooling what  
17 you would do is provide an AFE, which would show the  
18 costs, and then you'd come back and compare actual  
19 costs.

20 Well, there's no point in providing an AFE at  
21 this point, because you've incurred the costs. But I  
22 think that the Order will require that actual costs be  
23 submitted. And that's not abnormal. I mean, that's  
24 standard procedure for a force-pooling order.

25 So with respect to Coastal -- At this point

1 you're in an operating-agreement phase with Northwest  
2 apparently, so you can have some discussion with them.

3 But you will be required -- Before you can  
4 withhold any costs of drilling from Coastal, they will  
5 have to see and have an opportunity to look at the  
6 actual costs as incurred.

7 MR. HALL: But you're not requesting that the  
8 itemized costs be made a part of this record? The  
9 Division doesn't need that?

10 MR. STOVALL: Well, I think that the order  
11 normally provides that those be provided to the  
12 Division, does it not?

13 EXAMINER STOGNER: Yes, it does.

14 MR. STOVALL: That is standard, a standard  
15 requirement in a force-pooling order from the Division.  
16 So yes, the answer to your question is, yes --

17 MR. HALL: Okay.

18 MR. STOVALL: -- we do need those costs.

19 EXAMINER STOGNER: But you could supply that  
20 subsequent to today's exhibit.

21 MR. HALL: Okay.

22 EXAMINER STOGNER: It doesn't have to be an  
23 exhibit at this point, but it will have to be filed  
24 some time or another.

25 With that, I do have some particular

1 questions about the completion risk.

2 EXAMINATION

3 BY EXAMINER STOGNER:

4 Q. There again, I'm trying to formulate some  
5 sort of a formula on the risk penalty in this  
6 particular instance.

7 A. Yes, sir.

8 Q. You did bring up some good points. The  
9 filtration damage. What causes filtration damage in a  
10 coal well?

11 A. Well, just introduction to filtrates and --  
12 with the coal reacting with filtrates, and that can be,  
13 from what I understand, anything from water to, like I  
14 mentioned, nitrogen, which is typically considered  
15 pretty much inert, and it can just reduce permeability,  
16 reduce the quality, I guess, of the formation right  
17 around the wellbore.

18 Q. Well, what kind of damage would you expect  
19 with -- You said you drilled it with air.

20 A. We drilled with air. Of course, you've got -  
21 - we -- because of the coal-fine problems, I think  
22 that's why most people out here would go ahead and run  
23 liners or cement, because there again, when you  
24 introduce cement to a formation, you introduce -- you  
25 squeeze the water out of it, so you've got filtrate

1 damage from that.

2 But the liners themselves, that's another  
3 risk factor. You've got coal fines, if you try to  
4 complete open-hole, that can give you problems. So you  
5 go with the liner, and then you've got the problems  
6 with the cement filtrate.

7 So there's a lot of things. And what you do  
8 when you complete these wells is eliminate as many as  
9 you can.

10 Of course, subsequent to running liners  
11 you're going to have to do fracture treatments. And  
12 that's another inherent risk that in my mind, from an  
13 engineering standpoint, that was taken on the Decker  
14 11, is that because there was only one other completion  
15 when we completed the well, we had no -- Typically,  
16 when you move into an area, you look at what fractures  
17 are working and what aren't in the area, and you can  
18 play off of that.

19 And at this point we -- there was only one  
20 completion in the area, so the frac design was sort of  
21 a -- not really a stab, but it was -- You know, you  
22 didn't have a lot of data to go on to design your frac.  
23 So that's, again, a risk they had to take.

24 Q. Now, you mentioned something about water  
25 introduction in dry coal. Is this dry coal?



1 that -- what can happen, not what the condition of this  
2 particular coal is in this location?

3 A. Exactly.

4 Q. Now, again, I assume -- If I must just follow  
5 up one last thing on that, presumably you would not  
6 know, had you not drilled the well, you wouldn't have  
7 any information which would tell you, and that would  
8 make that risk factor more important than it is now.

9 If the risk were being assessed prior to  
10 drilling, you would not know whether you had wet or dry  
11 coal till you go there, right? Except based upon some  
12 generalized geologic information?

13 A. Right. I'm not sure if -- Yeah, I would say  
14 that, sure, you're -- You know, once the well is down,  
15 like Russell was saying, your geologic information is  
16 about there, and you hae that.

17 Now whether that -- Just because you have  
18 geologic information that says you don't have  
19 completely dry coal, I don't know that alleviates you  
20 from the risk of introducing water to a coal bed.

21 Q. That's something you don't find out till you  
22 actually start producing; is that what you're trying to  
23 say?

24 A. That's right, in a lot of cases. Sometimes  
25 you don't find out till maybe you see your production

1 down, and you might run a bottomhole, pressure bottom  
2 or something, and you see you've got damage. And then  
3 you backtrack and say, Well, maybe it was due to the  
4 cement job or due to -- The frac job went wrong, we had  
5 to put too much water on the well or -- Those are all  
6 factors. But...

7 FURTHER EXAMINATION

8 BY EXAMINER STOGNER:

9 Q. Does de-watering have to take place in these  
10 wells, in your knowledge, that surround this particular  
11 well?

12 A. From what I understand about the area, the  
13 de-watering isn't a big factor. It's -- There is some  
14 de-watering at the present, but not in -- not  
15 comparatively to a lot of the other areas that we've  
16 produced coal beds.

17 Q. Nitrogen absorportion, do you want to explain  
18 that to me?

19 A. Not really. That was another --

20 EXAMINER STOGNER: Okay.

21 THE WITNESS: That was another one that --

22 EXAMINER STOGNER: Then in that case, I have  
23 no other questions.

24 THE WITNESS: That was the PhD's --

25 EXAMINER STOGNER: Mr. Hall, do you have any

1 other questions of this witness?

2 MR. HALL: Did you want to address that at  
3 all?

4 THE WITNESS: I was -- I was joking with you,  
5 Mr. Stogner.

6 But actually, that was another excerpt out of  
7 that that PhD's work. The nitrogen would absorb on the  
8 coal and -- just to show you how sensitive it is. And  
9 that's just another factor you deal with when you're  
10 completing in the coal beds.

11 But as far as breaking out the chemistry, I  
12 wouldn't be able to track that down right now.

13 Q. (By Examiner Stogner) Within this map that  
14 you have supplied me, do you know of any wells that  
15 haven't been drilled or completed due to filtration  
16 damage, water introduced into the coal, nitrogen  
17 absorption or the coal fines or the residual fines from  
18 the gel frac?

19 A. Did you say any wells that haven't been  
20 completed due to that?

21 Q. Yeah, in Exhibit 1 are there any wells that  
22 exist up here that haven't been completed due to these  
23 factors?

24 A. Now, I think that during the -- Well, there's  
25 two phases that you introduce these factors in, through

1 the drilling and the completion.

2 I would suspect the only reason a well  
3 wouldn't be complete out here is if they drilled and  
4 they didn't have any coal, or not enough to  
5 economically complete. But I don't think they could  
6 assess formation damage that would cause it not to  
7 complete the well.

8 FURTHER EXAMINATION

9 BY MR. STOVALL:

10 Q. Those are factors that would only occur after  
11 -- actually after completion in the case of water  
12 damager or possibly --

13 A. I'd say that completion --

14 Q. -- even nitrogen; is that correct?

15 A. Completion is much more important than  
16 probably even drilling, especially if you use air.  
17 You're probably not going to have much trouble there.  
18 The completion is where you take on a lot of risk.

19 And I don't want to lose the fact that an IP  
20 doesn't mean a good well, because I think that's --

21 Q. Would you -- Do you have an opinion or do you  
22 have any information with which to form an opinion as  
23 to whether -- In some of these wells you pointed out  
24 the low -- let's say the Decker Number 10, for  
25 example --

1 A. Uh-huh.

2 Q. -- IP'd 1557 and producing at 83.

3 A. Yes, sir.

4 Q. Is that -- Do you have any assessment of why  
5 that might be? Were any of these risk factors the  
6 cause of that production below the level of the initial  
7 potential?

8 A. I don't have any direct proof of -- You know,  
9 I can postulate some theories.

10 Now that I see some of the wells that were  
11 completed in the early Nineties, and I look at the  
12 fracture treatment, and I look at the fracture  
13 treatments that are in more recent completions, I think  
14 there's some evidence that the methodology has changed  
15 where we're getting away from -- they're doing -- The  
16 frac designs are made up of less fluids, gel and water,  
17 and a little larger sand, which gives you a larger  
18 frac.

19 I think when the earlier completions were  
20 done, they were scared that you didn't want to screen  
21 wells out, so they went with more water and lower --  
22 hundred-mix sand, which is a lot smaller sand. And I  
23 think that in itself -- They're getting away from that,  
24 so I think that could be a reason that some of the  
25 earlier wells probably aren't performing good. But

1 that's just a theory.

2 I haven't got any further -- I haven't done  
3 any bottomhole pressure testing or anything to see if  
4 the formation damage is present in the Decker 10, for  
5 instance.

6 EXAMINER STOGNER: Any other questions of  
7 this witness?

8 MR. HALL: No, sir.

9 EXAMINER STOGNER: You may be excused.  
10 Mr. Hall, do you have anything further?

11 MR. HALL: I need to tender the admission of  
12 Exhibit 4, which is our 1207 Affidavit on Notice.

13 And that concludes the direct.

14 MR. STOVALL: Shall we cross-examine you on  
15 this, Mr. Hall?

16 MR. HALL: I don't think so.

17 (Off the record)

18 MR. STOVALL: Let me see, Mr. Hall, did you  
19 get a card back from Coastal?

20 MR. HALL: I got cards back from everybody.  
21 I many not have given you those, now that I think of  
22 it. I'll get those to you.

23 MR. STOVALL: Actually, I think what you  
24 did -- Just let me look at this a moment. Just a  
25 moment.

1 MR. HALL: We got the cards mixed up on the  
2 copies.

3 MR. STOVALL: Yes, yeah, you got the Coastal  
4 cards showing on the -- But the Coastal card does not  
5 have a signature, that's why I was asking you.

6 MR. HALL: But we still got it back. I have  
7 the originals.

8 MR. STOVALL: I assume the origianl doesn't  
9 have a signature either, since it doesn't show up on  
10 the copy, right? One never knows about the postal  
11 service.

12 MR. HALL: Could have been blue ink or  
13 something.

14 MR. STOVALL: But I think -- I don't have any  
15 problems with the notices.

16 EXAMINER STOGNER: Anything else?

17 MR. HALL: No, sir.

18 EXAMINER STOGNER: In that case, I'll take  
19 Case Number 10,563 under advisement, and hearing  
20 adjourned.

21 (Thereupon, these proceedings were concluded  
22 at 1:33 p.m.)

23 \* \* \*

24

25

