

NEW MEXICO OIL CONSERVATION DIVISION

STATE LAND OFFICE BUILDING

STATE OF NEW MEXICO

CASE NO. 10667

IN THE MATTER OF:

The Application of Marathon Oil Company
for Establishment of a Temporary
Testing Allowable, Vacuum-Drinkard
Pool, Lea County, New Mexico.

BEFORE:

MICHAEL E. STOGNER


Hearing Examiner

State Land Office Building

February 18, 1993

REPORTED BY:

CARLA DIANE RODRIGUEZ
Certified Court Reporter
for the State of New Mexico

**ORIGINAL**

A P P E A R A N C E S

FOR THE NEW MEXICO OIL CONSERVATION DIVISION:

ROBERT G. STOVALL, ESQ.

General Counsel
State Land Office Building
Santa Fe, New Mexico 87504

FOR THE APPLICANT:

KELLAHIN & KELLAHIN
Post Office Box 2265
Santa Fe, New Mexico 87504-2265
BY: **W. THOMAS KELLAHIN, ESQ.**

-and-

THOMAS C. LOWRY, ESQ.

FOR TEXACO EXPLORATION & PRODUCTION:

CAMPBELL, CARR, BERGE & SHERIDAN, P.A.
Post Office Box 2208
Santa Fe, New Mexico 87504-2208
BY: **WILLIAM F. CARR, ESQ.**

FOR EXXON CORPORATION:

HINKLE, COX, EATON, COFFIELD & HENSLEY
Post Office Box 2068
Santa Fe, New Mexico 87504-2068
BY: **JAMES BRUCE, ESQ.**

I N D E X

Page Number

APPEARANCES 2

OPENING STATEMENTS 6

WITNESSES FOR THE APPLICANT:

1. JOHN J. CHAPMAN, JR.

Examination by Mr. Kellahin 9
 Examination by Mr. Bruce 43
 Examination by Mr. Carr 50

2. CRAIG KENT

Examination by Mr. Kellahin 60
 Examination by Mr. Bruce 82, 99
 Examination by Mr. Carr 93
 Examination by Mr. Stovall 99, 106
 Examination by Examiner Stogner 101

WITNESSES FOR TEXACO EXPLORATION & PRODUCTION:

1. JIM OHLMS

Examination by Mr. Carr 108
 Examination by Mr. Kellahin 112

WITNESSES FOR THE APPLICANT:

3. CRAIG KENT (Recalled)

Examination by Examiner Stogner 122
 Examination by Mr. Stovall 124

CLOSING STATEMENTS 124

CERTIFICATE OF REPORTER 134

E X H I B I T S

Initial Reference

<u>MARATHON</u>	Exhibit No. 1	10
	Exhibit No. 2	14
	Exhibit No. 3	18
	Exhibit No. 4	20
	Exhibit No. 5	23
	Exhibit No. 6	28
	Exhibit No. 7	31
	Exhibit No. 8	40
	Exhibit No. 9	66
	Exhibit No. 10	68
	Exhibit No. 11	71
	Exhibit No. 12	75
	Exhibit No. 13	77
<u>TEXACO</u>	Exhibit No. 1	110

1 EXAMINER STOGNER: Call next case, No.
2 10667.

3 MR. STOVALL: Application of Marathon
4 Oil Company for establishment of a temporary
5 testing allowable, Vacuum-Drinkard pool, Lea
6 County, New Mexico.

7 EXAMINER STOGNER: Call for
8 appearances.

9 MR. KELLAHIN: Mr. Examiner, I'm Tom
10 Kellahin of the Santa Fe law firm of Kellahin &
11 Kellahin, appearing in association with Thomas C.
12 Lowry, an attorney. Both of us are representing
13 Marathon Oil Company today.

14 MR. BRUCE: Mr. Examiner, Jim Bruce
15 from the Hinkle law firm in Santa Fe,
16 representing Exxon Corporation.

17 EXAMINER STOGNER: Other appearances?

18 MR. CARR: May it please the Examiner,
19 my name is William F. Carr with the Santa Fe law
20 firm Campbell, Carr, Berge & Sheridan. We
21 represent Texaco Exploration & Production, and I
22 have one witness.

23 EXAMINER STOGNER: Are there any other
24 appearances?

25 Will all witnesses please stand to be

1 sworn at this time.

2 [The witnesses were duly sworn.]

3 EXAMINER STOGNER: Will there be any
4 need for opening statements?

5 MR. KELLAHIN: I have a brief one, to
6 lay the groundwork of what we're proposing with
7 the tests, so I would like to make one.

8 EXAMINER STOGNER: If there's no
9 objection, that would be all right. Mr. Bruce?
10 Mr. Carr?

11 MR. BRUCE: No objection.

12 MR. CARR: No objection.

13 EXAMINER STOGNER: Mr. Kellahin, you
14 may proceed with your statement.

15 MR. KELLAHIN: Mr. Examiner, what we're
16 proposing to obtain from the Division is a
17 temporary--what I've characterized as a temporary
18 test allowable for a project area that is
19 operated by Marathon Oil Company. It's an area
20 that consists of the west half of Section 6.

21 The pool in question is the
22 Vacuum-Drinkard oil pool, and we want to
23 establish the ability to produce wells within the
24 west half of the section in excess of the depth
25 bracket allowable that is assigned to those

1 wells.

2 The pool is developed on 40-acre oil
3 spacing and the appropriate depth bracket oil
4 allowable is 187 barrels of oil a day.
5 Historically, the Drinkard in this area has been
6 produced from two lower zones. Marathon has
7 found what they characterize as Zone 2, which is
8 an upper zone in the Drinkard, and with their No.
9 11 well in the west half, have got a well that
10 has the capacity to produce in excess of the oil
11 allowable.

12 In order to obtain reservoir data from
13 which to determine a number of things, Mr. Craig
14 Kent, as Marathon's engineer, would like approval
15 to produce wells in his project for a maximum
16 period not to exceed six months, commencing on
17 April 1st, so that he can conduct certain
18 engineering tests to determine the most he
19 efficient rate at which to produce the pool so
20 that he can evaluate the potential for pressure
21 maintenance for this zone and the viability for
22 pressure maintenance with the introduction of
23 carbon dioxide.

24 He cannot achieve those objectives
25 within the current depth bracket allowable of 187

1 barrels, so he seeks to have approval to produce
2 in excess of that.

3 It is our request to take any oil that
4 is produced in excess of the allowable and have
5 what I would call overproduction left unresolved
6 and so we would postpone any decision on whether
7 or not that overproduction is canceled or if it
8 is required to be made up in some fashion.

9 The purpose then today is to seek the
10 necessary authority for whatever the appropriate
11 exceptions are. It's perhaps Rule 502; but, in
12 any event, to give Mr. Kent the ability to
13 produce particularly the No. 11 well, so that he
14 can conduct certain tests.

15 To make that presentation, I have two
16 witnesses. John Chapman is a geologist that has
17 worked extensively in this area and he's going to
18 give you the geologic picture, and then we'll
19 present Mr. Craig Kent and he'll show you his
20 engineering hypothesis and what he proposes to
21 accomplish with the test.

22 EXAMINER STOGNER: Thank you, Mr.
23 Kellahin. Mr. Carr or Mr. Bruce, anything at
24 this time?

25 MR. CARR: Mr. Stogner, I do not intend

1 to make an opening statement.

2 MR. BRUCE: I'll wait until closing,
3 Mr. Examiner.

4 EXAMINER STOGNER: Mr. Stovall,
5 anything?

6 MR. STOVALL: No.

7 EXAMINER STOGNER: Mr. Kellahin, you
8 may proceed.

9 MR. KELLAHIN: Call Mr. John Chapman.

10 JOHN J. CHAPMAN, JR.

11 Having been first duly sworn upon his oath, was
12 examined and testified as follows:

13 EXAMINATION

14 BY MR. KELLAHIN:

15 Q. Mr. Chapman, would you please state
16 your name and occupation?

17 A. My name is John J. Chapman, Jr. I am a
18 petroleum geologist. I'm employed by Marathon
19 Oil. My title at Marathon is advanced
20 geologist. I'm also officially the New Mexico
21 project team leader with geologic oversight and
22 coordination duties for the entire state of New
23 Mexico.

24 Q. Where do you reside, Mr. Chapman?

25 A. In Midland, Texas.

1 Q. On prior occasions, have you testified
2 as a petroleum geologist before the Division and
3 been qualified as an expert witness?

4 A. Yes, I have.

5 Q. When we look at what is identified as
6 the Vacuum-Drinkard oil pool and the area
7 involved in your Warn State project area, have
8 you made a study of that issue and of that area?

9 A. Yes, I have.

10 Q. How long have you been working on the
11 geology with regards to this area?

12 A. I have been working the Vacuum area,
13 itself, specifically looking at the Drinkard, for
14 the last eight to nine months. I have worked the
15 northwest shelf geologic area, the northern end
16 of the Delaware Basin and other Drinkard fields,
17 over the last two years.

18 Q. Was the recompletion of what is going
19 to be called the No. 11 well, the Marathon No. 11
20 well, in the west half of Section 6, is that a
21 recompletion that was based, in part, upon your
22 geologic work?

23 A. In part, yes.

24 MR. KELLAHIN: We tender Mr. Chapman as
25 an expert petroleum geologist.

1 EXAMINER STOGNER: Are there any
2 objections?

3 MR. CARR: No objections.

4 MR. BRUCE: No objection.

5 EXAMINER STOGNER: Mr. Chapman is so
6 qualified.

7 Q. Let me have you direct your attention,
8 sir, to Exhibit No. 1. Let's take a moment and
9 have you identify and describe the index so that
10 we can understand the information on the
11 display.

12 A. This index map or locator map is the
13 base map which will be common to all geologic
14 mapping exhibits which I'll show here today. It
15 is merely a nine-section map centered around the
16 area of interest, the Vacuum-Drinkard pool, as it
17 exists today.

18 If I may walk through the explanatory
19 key in the upper right-hand corner, we have shown
20 wells in three forms or fashions. The oil well
21 symbol, the solid black circle, denotes current
22 active Drinkard producers.

23 The combination oil well/dry hole
24 symbol denotes abandoned historical Drinkard
25 producers. The X marks the wells which have

1 penetrated the Drinkard or are deep enough to
2 penetrate it. I might add at this point, the
3 Vacuum field having so many producing horizons,
4 there are literally scores of shallower wells
5 which have been left off this map for
6 clarification purposes.

7 In addition, on this map and on this
8 map alone, there are three border designations.
9 The first is the combination solid and dotted
10 line which denotes the current limits of the
11 defined Vacuum-Drinkard pool.

12 The diagonally dashed line denotes the
13 proposed pool expansion as proposed by the state
14 of New Mexico in a hearing, I believe, two weeks
15 ago, and then the dotted line denotes the limits
16 of Marathon's Warn State Account 2 lease, which
17 is the west half of Section 6, Township 17 South,
18 Range 35 East, Lea County, New Mexico.

19 Q. When we look at what Marathon calls the
20 Warn State project area, where is that on the
21 display?

22 A. The Warn State project area is
23 essentially that west half of Section 6 with
24 three current active Drinkard producers: The
25 Marathon Warn State Account 2 No. 11, which is

1 located northwest/southwest of Section 6, and
2 then the Account 2's No. 8, located
3 southeast/southwest of 6, and the No. 9 located
4 southwest/southwest of 6.

5 Q. The index shows active Drinkard
6 producers with a solid black dot. Does that yet
7 distinguish what particular zone of the Drinkard
8 each of those wells is currently producing in?

9 A. No, it does not, and that will be
10 clarified on the ensuing exhibits.

11 Q. When we look at the operators around
12 the project area, two of those operators have
13 appeared at the hearing today. First is Exxon.
14 Where is their acreage position in relation to
15 your project?

16 A. Exxon's only immediately offsetting
17 lease to our project is an 80-acre tract located
18 in the north half of the northeast of Section
19 12. The offsets are leased to the southwest.

20 Q. I noticed in their 80-acre tract you
21 have got an X, indicating a Drinkard
22 penetration. From what formation, if any, do the
23 two wells on the Exxon tract produce?

24 A. To the best of my knowledge, those two
25 wells are currently producing or are active in

1 the Abo formation, which underlies the Drinkard.

2 Q. To the best of your knowledge, has
3 Exxon recompleted either one of those wells to be
4 a producing oil well in any of the Drinkard
5 zones?

6 A. To the best of my knowledge, no, not to
7 date.

8 Q. When we look at the acreage position of
9 Texaco that is around the project area, is that
10 position correctly demonstrated on Exhibit No. 1?

11 A. To the best of my knowledge, yes.

12 Q. The key wells that we're going to
13 discuss, the Marathon Warn State No. 11 well,
14 what is the current status of that well?

15 A. That well is currently producing out of
16 the Drinkard formation. It currently has open
17 perforations in the uppermost two zones, what
18 I've designated as Zone 1 and Zone 2, which we'll
19 get to in the following exhibits.

20 Also, it is perforated in Zone 3, but
21 there's currently a bridge plug above that zone
22 and it's not open to production at this time.

23 Q. Having got an idea or perspective about
24 the arrangement of the ownership on the surface,
25 let me take you to the type log, Exhibit No. 2,

1 and give us an illustration, if you will, of
2 what's happening vertically in the Drinkard.

3 A. Okay. This type log is the log from
4 the Marathon Warn State Account 2 No. 11, which
5 is the producing well we have been referencing.
6 It is the well which is currently capable of
7 production in excess of the defined depth
8 allowable.

9 This particular log that I'm using for
10 the type log is the case gamma ray log, the only
11 available porosity log in this wellbore, with the
12 gamma ray curve on the left and the sonic curve
13 on the right-hand section of the log.

14 If I may walk you through the
15 formations, going from the bottom, up, the
16 basalmost formation on this log is the Abo
17 formation. It is designated by that line just
18 slightly above 8100 foot in depth.

19 From there, down, the extent as is
20 shown on this log, is all Abo formation and
21 extends several hundred feet beyond that.

22 Directly above the Abo is the Drinkard
23 formation, and as you can see I've zonated it,
24 broken it into four separate zones for mapping
25 purposes.

1 The top of Zone 2 I have designated the
2 Drinkard mapping horizon. It is the most
3 consistent geologic stratigraphic marker in the
4 Drinkard. I'll come back and address that a
5 little more in a minute, if I may.

6 Going on up from there is the Tubb.
7 The Tubb is a sandstone or a sandy interval,
8 whereas the Drinkard and Abo are both dolomitic
9 sections. Then, if you were to go on above the
10 Tubb, you would be in the Blinebry which is a
11 dolomitic section.

12 As I previously referenced, I have
13 broken the Drinkard into four zones, starting
14 with Zone 1 at the top and going to Zone 4 at the
15 bottom. I've had discussions with Paul Kautz at
16 the NMOCD office in Hobbs, New Mexico, in
17 reference to defined formation tops and bases and
18 whatnot, and in our discussions he has--our
19 discussion was primarily concerning a defined top
20 and base of Drinkard.

21 It is not, according to Mr. Kautz,
22 there is no defined top and base of Drinkard in
23 this area. He expressed his personal fear that
24 someone's going to be asking him to define that
25 and has been scared of that for years, because

1 the top and the base are both fairly gradational
2 markers. Horizons.

3 Therefore, I have defined a mapping
4 horizon which is inside of the Drinkard. Zone 1
5 especially, a gradational member, when it is
6 primarily carbonate, it is declared Drinkard.
7 When it is primarily sandstone it is declared
8 Tubb. Because of that gradational character to
9 Zone 1, it's not a well-defined marker horizon.
10 I've chosen, in the following maps, not to map
11 structure on top of Zone 1 or gross interval
12 isopach on Zone 1.

13 Q. Let me have you focus the Examiner's
14 attention on that portion of the Drinkard that
15 you and Mr. Kent want to target as the test
16 zones, for purposes of the testing allowable.

17 A. As is marked on the type log or
18 designated by symbology, we have three gross sets
19 of perforations in the Drinkard. Current active
20 sets of perforations are in Zones 1 and 2, as I
21 mentioned before. The more detailed perforation
22 breakout is over to the right-hand side of the
23 log. Those are perforations which are currently
24 open. Those are also the zones that are of
25 primary interest.

1 Zone 2, by all appearances and by
2 analogy to those other existing Drinkard fields
3 on the northwest shelf of the Delaware basin,
4 Zone 2 appears to be the predominant and the most
5 important zone. That's the zone we will be
6 focusing most of our attention on.

7 The underlying Zones 3 and 4 are the
8 two zones which have historically produced in the
9 Vacuum-Drinkard field in those wells which are
10 now abandoned. Again, as I marked on here, we
11 had perforated Zone 3 but that zone did not flow
12 oil upon completion, whereas Zones 1 and 2 did.
13 Therefore, we have temporarily set a bridge plug
14 above it and are not currently producing from
15 that zone.

16 Q. Let me have you turn to Exhibit No. 3.
17 I would like to use this as an illustration,
18 before we discuss the specific structure. I
19 would like you to give us a geologic summary, if
20 you will, of the environment for the Drinkard and
21 the deposition of the Drinkard as we move through
22 the various zones.

23 A. As I previously mentioned, the Drinkard
24 is a carbonate dolomite. When we move to Exhibit
25 No. 3, which is a structure map as mapped on top

1 of the Drinkard mapping horizon which I have
2 defined as the top of Zone 2, if you will, you
3 begin to see the shape of the Drinkard reflecting
4 its depositional shape and it allows us to begin
5 to talk about the geologic character and
6 deposition of the Drinkard.

7 The Drinkard, where productive, is a
8 reefal body. It is a northeast/southwest, or, in
9 a more regional sense, an east to west trending
10 reef that is found on the northwest shelf margin
11 of the Delaware basin, extends in a gross sense
12 for tens and tens of miles across that shelf
13 limit.

14 When you look at the structure map you
15 can see that from about the center of Section 6,
16 or from Marathon's Well No. 11, from that point
17 to the southeast you see a very rapid fall off in
18 structure. Marathon's well, the Drinkard mapping
19 horizon is at a subsea point of -3708.

20 If you move a mile south and east from
21 there, down on Texaco's lease, you can see that
22 you're down around -4651 on this mapping
23 horizon. You lose basically a thousand feet of
24 structure in a mile's play.

25 That represents the front of the reef.

1 The ocean was to the south. It's very analogous
2 to any reef that you would go see in the Bahamas
3 or Jamaica or anywhere in the Caribbean today,
4 where you have these very rapid falloffs as you
5 go into the ocean.

6 Conversely, as you go northwest from
7 Marathon's Well No. 11 in the center of Section
8 6, if you will, you'll see a much flatter
9 horizon. That represents where you're going back
10 from the reef into the lagunal setting. You
11 don't have near the structural relief in the
12 area. It's much more flat and consistent. This,
13 basically, reflects the overall gross morphology
14 of the reef.

15 It is a northeast/southwest trending
16 linear body that drops off extremely rapidly as
17 you move to the south into the basin, into the
18 ocean, and shows just a gentle and fairly
19 constant structural gain as you move to the
20 north, which is moving into the lagunal portions
21 of the reef.

22 Q. Let me have you turn to the gross
23 isopach and have you identify Exhibit 4 and give
24 us your summary about that display.

25 A. Exhibit 4 is a gross isopach of Zones

1 2, 3 and 4, as I have defined them on the type
2 log. Again, it reflects the reefal geometry of
3 the Drinkard formation.

4 It is an isopach of gross total footage
5 of carbonate. Again, you see a very similar
6 shape. You'll notice from the center of Section
7 6 where Zones 2, 3 and 4, total thickness is
8 approximately 400 feet thick.

9 If you move, in this case, a half a
10 mile to the southeast, down to the
11 southeasternmost corner of Section 6, you're at
12 approximately 100 feet of thickness, so you've
13 lost a substantial section of carbonate. Again,
14 you're moving into the ocean where the reef is
15 dying. It's thin and not present.

16 Conversely, if you move north from the
17 center of Section 6 back into those sections I've
18 already described as lagunal, you see a subtle
19 thinning as you pass over the top of the reef and
20 into the back water edge, the lagunal section of
21 the Drinkard.

22 Q. Historically, tell us how the Drinkard
23 has been developed and produced.

24 A. At Vacuum field there were historically
25 three Drinkard producers, and they were all

1 drilled in the 60s. Two were drilled by Texaco,
2 one was drilled by Skelly, which through a series
3 of amalgamations the company has since become
4 Texaco.

5 They were both drilled on the seaward
6 side down toward the termination of the reef,
7 where the reef is thin, tight and not quality.
8 Historically, none of the wells have penetrated
9 the heart, the desirable section of the reef.

10 Conversely, other fields along the
11 northwest shelf, West Knowles and Garrett East,
12 which are the only other two defined Drinkard
13 fields on the northwest shelf, the quality
14 production in those fields was found in the
15 center portion of the reef, the heart of the
16 reef, if you will. And again, you saw a drop-off
17 in quality of production as you went south.

18 Q. Have the operators in this area looked
19 to the Drinkard as the primary zone for producing
20 oil in this area?

21 A. No. Historically, people have been
22 focused on the Abo, that section that immediately
23 underlies the Drinkard. The Abo is a tremendous
24 producer. I think the Vacuum-Abo field has made
25 nearly 90 million barrels of oil and with a high

1 per-well recovery. The majority of these
2 penetrations you see denoted on the map are Abo
3 wells. They were drilling deeper.

4 Locally, at Vacuum field, the Drinkard
5 has back-stepped. That means it's moved
6 backwards away from the sea above the Abo, and
7 because the heart of the reef sits to the north
8 of the Abo, most people, when they were drilling
9 for the Abo, never penetrated the heart of the
10 Drinkard reef. And, for the most part, it's
11 virtually untested at Vacuum field currently.

12 Q. Let's go to the first of the net
13 isopachs and, starting with the lowest Drinkard
14 zone, let's start with Zone 4 and, within the
15 area of interest, show us how the lower or Zone 4
16 of the Drinkard has been produced.

17 A. Exhibit No. 5 is an isopach map of the
18 net porosity for Zone 4 of the Drinkard, net
19 porosity being defined as that porosity in excess
20 of two and a half percent.

21 One difference on this exhibit, to be
22 noted on the next three exhibits, also, I have
23 placed an asterisk by those Drinkard wells which
24 produce or have produced or have been perforated
25 in this specific zone of the Drinkard.

1 You can see that you had the same
2 general type shape. You have a northeast to
3 southwest trend for this porosity, reflecting the
4 depositional reefal pattern of the Drinkard. It
5 thins rapidly as you go to the south, to the
6 basin into the ocean, and also thins fairly
7 rapidly as you go north, back into the lagunal
8 section.

9 Because as you go into the lagunal,
10 there is a lot more shale. The rocks are dirtier
11 and tighter. You lose your porosity very
12 rapidly, both as you go south into the ocean or
13 as you move north onto the shelf into the
14 lagoon.

15 So, the porosity fairways in the
16 Drinkard are constrained to fairly tight little
17 bands, half a mile to three-quarters of a mile in
18 width. This, again, is very similar to what you
19 see of the other two producing Drinkard fields on
20 the northwest shelf, which are West Knowles and
21 Garrett.

22 I've referenced them a couple of
23 times. West Knowles is a field which is about 20
24 miles east of here; Garrett is another five or
25 six miles beyond that.

1 Q. When we look at Zone 4 and you see in
2 your project area down in the south edge of the
3 west half of 6, there's Well 9 and Well 8, each
4 of which has got a net footage. Next to that is
5 an asterisk. What is the significance of the
6 asterisk?

7 A. The asterisk denotes those wells that
8 are perforated or have been perforated this
9 particular zone. There are three wells on this
10 map which denote perforations in Zone 4.

11 First, I would like to start with the
12 southernmost well, the Texaco No. 1. I believe
13 the full name of that well was the section to
14 State R NZT 4 No. 1, located in the
15 northeast/northwest of Section 7.

16 You can see next to that well the
17 asterisk, denoting completion in that zone. You
18 can also see where I've marked the footage of
19 porosity present, and that well had 32 feet of
20 net porosity in Zone 4. That well was completed
21 in this zone in the early 60s, 1962, sustained
22 production for only two years and made
23 approximately 13,000 barrels of oil from Zone 4.

24 As you move from the north onto
25 Marathon's lease, you can see the Marathon No. 8

1 and No. 9 wells. They both have asterisks. Both
2 of those wells are wells in which Marathon is
3 currently recompleting to the Drinkard, and we're
4 currently establishing production from the
5 Drinkard.

6 Both of those wells are perforated in
7 three intervals, the basal most is this Zone 4
8 that you're looking at. Mr. Kent will go into
9 more detail about the current production we're
10 seeing from those wells.

11 Q. When you look at the potential for
12 Exxon on their tract in Section 12, what is your
13 conclusion as a geologist whether Exxon has
14 reservoir potential in Zone 4 of the Drinkard?

15 A. Exxon is quite thin in this current
16 zone, eight feet and 13 feet, by way of
17 comparison to the historic Texaco well and the
18 two Marathon wells. The Texaco well, which made
19 13,000 barrels, had 32 feet of porosity in this
20 zone. The two Marathon wells, the 8 and 9, had
21 22 feet and 42 feet, respectively.

22 Exxon's location in the
23 northeasternmost 80 of Section 12, unfortunately
24 for Exxon was quite thin in Zone 4. Eight feet
25 and 13 feet.

1 Q. When we look over at the southeast
2 quarter of Section 1, at the Texaco tract that is
3 the west offset to your well No. 11, what is
4 Texaco's potential in Zone 4?

5 A. Texaco is also fairly thin. It appears
6 for Zone 4 that the thick moves almost exactly
7 down the section line, which will be aggravating
8 to both producers, as far as trying to catch it.
9 Texaco has 18 feet in their well in the
10 northeast/southeast of Section 1. And I failed
11 to denote on here the thickness, but 15 to 18
12 feet also in their southeasternmost well in
13 Section 1. So, they are also fairly thin in Zone
14 4, at that location.

15 Q. Now, the purpose of Zone 4 is to simply
16 give a historical perspective in some point of
17 reference as to what you're planning for the
18 other zones. Zone 4 is not a target shown for
19 the test allowable, is it?

20 A. No. If you look at the historical
21 productions from Zone 4, the Texaco well down in
22 Section 7, that well had a fairly thick porous
23 section, 32 feet, which by comparison to most
24 wells on this plat, is quite thick. From that 32
25 feet they were only capable of producing 13,000

1 barrels before abandoning the zone. So, Zone 4
2 is not a quality reservoir, has not exhibited
3 quality reservoir characteristics--production
4 characteristics to date.

5 Q. Geologically, then, this Zone 4 doesn't
6 appear to be a viable candidate by which you
7 ought to consider pressure maintenance or some
8 other type of support for the oil production to
9 be recovered from that zone?

10 A. Probably not.

11 Q. Let's go now to the next shallowest,
12 which is Zone 3. It's your Exhibit 6. Would you
13 take us through your illustration of Zone 3?

14 A. As we move from Exhibit 5 to Exhibit 6,
15 there is one character to the Drinkard that I
16 would like to note. You see the same general
17 trend of the porosity thick, but you see, as you
18 go up-section, you see the thicks tend to step
19 slightly to the north. Each zone will go to the
20 heart of the reef, and that zone will have moved
21 slightly to the north. This reef was backing up
22 in time as it was being deposited.

23 Zone 3, again, as was the map of Zone
24 4, is an isopach map of net porosity as defined
25 by that porosity which exceeds two and a half

1 percent. It is of the Drinkard Zone 3 as I have
2 defined it on my type log. Again, you see a
3 northeast/southwest trend to the heart of the
4 reef.

5 In this particular case it's thickest
6 on the north half--it's thickest in the north
7 half of the southwest of Section 6, where
8 Marathon's No. 11 well lies. It thins rapidly as
9 you move south into the basin, and also as you
10 move north into the laguna portions of the reef.

11 Again we have the asterisk by the wells
12 denoting which wells have produced from the
13 zone. The only historical producer from Zone 3
14 is the Texaco well in the northwest/northwest of
15 Section 7, their No. 2 well. That well had 15
16 feet of net porosity from Zone 3, and that well
17 produced only roughly 12,000 barrels, again in
18 the early 60s, over a four-year period, before
19 that zone was abandoned in that wellbore.

20 Again, Marathon has perforated Zone 3
21 in their No. 11 well, where you can see it's 55
22 feet thick net porosity. That zone and that
23 particular wellbore is temporarily behind a
24 bridge plug and is not being produced. It is
25 perforated in our Wells 8 and 9, the two

1 southernmost wells in the west half of Section 6,
2 and we're currently establishing production from
3 Zone 3 in those wellbores.

4 Q. Is Zone 3 to be one of the zones that's
5 subject to the production test allowable that
6 you're seeking to obtain?

7 A. No, not presently.

8 Q. When we look at the potential for
9 Exxon's tract in the north half of the northeast
10 of 12, when we look at Zone 3, what is their
11 potential?

12 A. Again, this particular piece of Exxon
13 acreage is located slightly too far to the
14 south. You can see their northeasternmost well
15 had 18 feet of net porosity. Their, well in the
16 northwest/northeast had only seven feet of net
17 Zone 3 porosity, comparable to Texaco's No. 2
18 well, which had 15 feet of porosity and only
19 produced 12,000 barrels.

20 So, if they were to attempt completion
21 in this zone, barring improvements in completion
22 technology over the last 30 years, they're
23 probably looking at a capability of 12,000
24 barrels, plus or minus, from those two wells.

25 Q. When we look at the potential for

1 Texaco in the southeast of 1, what's your
2 assessment of that in Zone 3?

3 A. Texaco does have a nice thick section
4 of Zone 3 in their Section 1, as noted. The Zone
5 3 net porosity in Marathon's No. 11 well was 55
6 feet. Texaco has 43 feet in their
7 southeasternmost well.

8 Texaco has recompleted their 24-R, the
9 solid well to the Drinkard, yet they did not
10 complete nor test Zone 3. They're completed in
11 the zones we have yet to come to. But they have
12 35 feet, which is a fairly thick zone. But
13 again, Zone 3 to date has not presented itself as
14 an attractive producing reservoir.

15 Q. Let's turn to Exhibit No. 7. Which of
16 the Drinkard zones have you isopached on this
17 display, Mr. Chapman?

18 A. This is the Drinkard Zone 2 of the zone
19 of greatest interest. Again, the same
20 observation as you drew from Exhibit 6 to Exhibit
21 7. You see the reef slowly and gradually moving
22 slightly to the north. You see the same general
23 shape and trend to the reef. The heart of the
24 reef is a northeast/southwest trend. It drops
25 off quite rapidly to the southeast, when you go

1 into the basin, and fairly rapidly again to the
2 northwest, as you go back to the lagunal
3 portions.

4 Q. Mr. Kent is going to produce a
5 producing allowable by which to produce the wells
6 in the west half at rates above the depth bracket
7 allowable?

8 A. Yes.

9 Q. When you talk about producing the well
10 at a higher rate, some issues for you to address
11 as a geologist would include whether or not rate
12 acceleration at one of these oil wells will have
13 some detrimental effect because of structural
14 position in the reservoir.

15 Do you, as a geologist, see any
16 structural component to Zone 2 and Zone 1 that
17 should limit the ability of the wells to produce,
18 even during a test period?

19 A. No, I do not. There is no
20 apparent--the two dangers, normal dangers you
21 talk about in rate acceleration would be due to
22 either coning of water or, from not taking
23 advantage of some structure that's above you
24 that's full of oil that you want to drain by
25 gravity drainage, we basically have neither one

1 of those cases here in the Drinkard.

2 There is no apparent water leg in our
3 wells, and there is no large section of reservoir
4 that's structurally higher than our current
5 wellbores, in which you would expect gravity
6 drainage. It's a fairly confined and defined
7 zone. I don't see any geologic potential for
8 adverse effect.

9 Q. What caused Marathon to attempt to
10 recomplete their wells in Zones 1 and 2 in this
11 project area?

12 A. Upon studying the No. 11 well, looking
13 for recompletion potential in that particular
14 wellbore which had become economic in--I believe
15 it was an Abo producer before, I noted the
16 similarity of Zone 2 to the producing interval at
17 West Knowles field, which I previously referenced
18 to the northeast, and the Garrett field.

19 It's a long correlation, but it appears
20 that the producing interval in those two fields
21 is the same as what I've called Zone 2 here at
22 Vacuum-Drinkard. There have been wells at those
23 two fields which have shown substantial
24 production.

25 West Knowles, in itself, field total to

1 date is slightly over two-and-a-quarter million
2 barrels of oil from 12 wells. It gives you an
3 average of 171,000 barrels per well, which is an
4 attractive average.

5 Garrett-Drinkard is not as good a
6 field. It has produced a cum to date of 600,000
7 barrels of oil from seven wells, so it and has a
8 per-well average of 86,000 barrels. Both of
9 those targets are definitely attractive as a
10 recompletion candidate, and potentially
11 attractive as a grass roots candidate for new
12 well drilling.

13 Q. Who is the first operator in this area
14 to look at Zones 1 and 2 as to have future
15 potential in the Drinkard?

16 A. Marathon. Marathon is the first
17 operator to have looked at it and done anything
18 about it. I'll put it that way.

19 Q. Has Texaco done anything about
20 recompleting in that zone now?

21 A. Texaco has recompleted their 24-R well,
22 the well in the southeast of Section 1. They
23 have what appeared to be an attractive zone,
24 too. Marathon, in their No. 11 had 34 feet of
25 net porosity. Texaco had 42 feet of net porosity

1 in their well.

2 I might add here, a qualifying remark.
3 Since most of the wells in the Vacuum field were
4 drilled in the 60s, the older wells have older
5 log suites, such as the sonic log which I used in
6 my type log. Texaco's 24-R well was a more
7 recent one. I believe it was drilled in the
8 early 80s and it had a more modern log suite.

9 So, in the case of the 24-R, when I was
10 counting porosity, I was counting a neutron
11 density log and comparing it to the sonic log
12 which, in dolomite, is dangerous. You're not
13 comparing apples to apples. So there could be
14 some thickness discrepancies just due to the
15 quality of the data available.

16 There again, Texaco had a thick,
17 centrally located well on the reef which they
18 have recompleted to Zones 2 and 1.

19 Q. If the Examiner gives Marathon the
20 opportunity to exceed the depth bracket allowable
21 for the test purposes, do you, as a geologist,
22 see any potential risk to the Exxon tract in the
23 north half/northeast of 12?

24 A. No, none whatsoever to the Exxon
25 tract. They're almost absolutely out of the

1 porosity at deposition, as you can see on the
2 map. One well has two feet of porosity and one
3 well has four feet. They're right at the very
4 edge of the Zone 2 reef.

5 Q. You mentioned West Knowles and the
6 Garrett East pools on various occasions. Can
7 you, as a geologist, take the geologic
8 information from those two pools and apply it as
9 an analogy to this pool, to give you some
10 indications of how you and Mr. Kent ought to go
11 about designing this pressure maintenance
12 concept?

13 A. Only to a limited extent. The fields
14 are similar. They're the same formation. They
15 show the same gross shape with some geologic
16 modifications, as I've mentioned. The Vacuum
17 reef was back-stepping. At both Garrett and West
18 Knowles, the reef was actually prorating out into
19 the field, which changes the geometry somewhat.

20 Garrett and West Knowles, as far as
21 production behavior from very similar-looking
22 sections, are quite different from one another.
23 I've already cited different average recoveries
24 per well, different gross recoveries for the
25 field.

1 And, if you go into West Knowles, the
2 better and more extensive of the two fields,
3 you'll find wells right next to each other which
4 look, again, geologically very similar from the
5 data that's available, yet have had very
6 significant different recovery characteristics.

7 There's a particular case in West
8 Knowles where you have a well drilled by Mesa,
9 the West Knowles No. 5, which cumulatively has
10 produced in excess of 750,000 barrels of oil.

11 Sitting next to it was Mesa's No. 9
12 well, which produced only 30,000 barrels of oil.
13 And then, right next to that well is their No. 6
14 well which produced 152,000 barrels of oil; all
15 from sections that looked very similar.

16 The Drinkard is a fairly heterogeneous
17 reservoir. As I've said before, it's very
18 lightly tested at Vacuum, and there's a lot of
19 defining work that needs to be done before we can
20 consider either enhanced recovery or, for that
21 matter, before Marathon or any other operator
22 could step out and start drilling grass roots
23 wells.

24 There's a lot of questions about the
25 economic viability of the Drinkard that have yet

1 to be answered.

2 Q. Do you have any data available with
3 regards to the permeability of the reservoir in
4 this area?

5 A. Mr. Kent will refer to some, simply due
6 to pressure analysis. As of yet, any direct
7 geologic data, no, we don't.

8 Marathon is currently drilling a well
9 in the northeast/southwest of Section 6. It was
10 Marathon's Warn State Account No. 18. Originally
11 we were going to recomplete the X you see on the
12 map there, the deeper penetration, but that well
13 mechanically would not hold up, so we ended up
14 having to plug that well and we're drilling
15 what's effectively a replacement well in No. 18.

16 It is Marathon's intention and plan to
17 take over 400 feet of core from the Drinkard in
18 that wellbore, and that core will be analyzed for
19 porosity and permeability, and fluid flow
20 characteristics.

21 EXAMINER STOGNER: Where was that well
22 again that you were talking about, to be cored?

23 THE WITNESS: In the
24 northeast/southwest of 6. It's basically, the X
25 you see there on your map--

1 EXAMINER STOGNER: With "46" on it?

2 THE WITNESS: Yeah. It's just under
3 200 feet to the west of that location.

4 EXAMINER STOGNER: All right. I wanted
5 to make sure I was clear.

6 MR. KELLAHIN: And that's the No. 18.

7 EXAMINER STOGNER: Thank you.

8 Q. (BY MR. KELLAHIN) The log information
9 available for you to make this isopach and the
10 other displays, while the wells have not tested
11 or necessarily produced all the Drinkard zones,
12 you have log data from which to make your
13 displays?

14 A. Yes, I do.

15 Q. In the absence of the reservoir
16 engineer conducting reservoir studies on the
17 producing wells in the project area, do you, as a
18 geologist, have any way to put a handle on how to
19 package the continuity of the reservoir and
20 whether or not you're going to have the ability
21 to affect one well with another, in a project
22 area for pressure maintenance purposes?

23 A. Well, we do know geologically that the
24 reservoir is very limited to the north and south,
25 when you make these transitions from the reef

1 into the basin or from the reef back into the
2 lagoon. So, it is a very constrained reservoir
3 and will be, at best, a very linear reservoir in
4 that sense.

5 It should be a similar reservoir to
6 many of these other Permian reservoirs at Vacuum
7 field, such as the Abo, Blinebry, Glorieta,
8 Paddock, San Andres, in that we expect to see
9 preferred flow paths and reservoir paths that
10 align with the depositional thick of the
11 reservoir. That being, in the case of the
12 Drinkard, northeast/southwest, basically the
13 heart, the thick as I've mapped it.

14 But beyond that, the degree to which
15 you're going to see continuity between wellbores,
16 there are still a lot of questions to be answered
17 and a lot of questions which Marathon seeks to
18 answer by the tests that we are proposing.

19 Q. Let me have you go now to Exhibit No. 8
20 and let's take a look at Zone 1.

21 A. Zone 1 is the uppermost zone I've
22 mapped in the Drinkard. As I previously
23 referenced, Zone 1, geologically, is a more
24 gradational zone. As you move to the north,
25 towards the lagunal side, it becomes less

1 carbonate and more sandstone, and additionally
2 becomes the Tubb sand, which is not a productive
3 horizon in Vacuum field.

4 As you move to the south, this same
5 zone again becomes sandy and shaly, and
6 eventually as you plummet off into the basin it
7 becomes the third bone springs sand. It shows
8 the same general--as far as the carbonate, which
9 is what I'm mapping here, I'm mapping net
10 porosity greater than two and a half percent
11 inside the carbonate body.

12 You see the same reefal geometry, you
13 see the same northeast/southwest trend. Again,
14 the thick, the heart of the reef that is half to
15 three-quarters of a mile wide. Once again, it
16 has back-stepped, it has slid slightly north in
17 the thick, it is north of the locations.

18 Marathon's No. 11 well is the thickest
19 well to date to produce in this zone. It had 26
20 feet of net porosity. Again it's with the
21 asterisk. Texaco's 24-R well has also been
22 perforated in this zone, and they had 22 feet of
23 net porosity.

24 Q. When we look at the similarities in the
25 thickness of Zones 1 and 2, between Texaco and

1 Marathon, how does that relate to the
2 productivity of each of those two wells?

3 A. Again, as I mentioned, because of the
4 different log suites involving the two wells,
5 there's some question of apples to apples
6 comparison, but basically the wells appear to be
7 very similar as far as net thickness in the
8 zone.

9 Whereas Marathon's well showed
10 production capabilities in excess of 300 barrels
11 per day, flowing, Texaco's well IP'd from Zones 1
12 and 2, flowing, just over 80 barrels a day. I
13 think 84 barrels a day, if I remember correctly.

14 Again, it reinforces the heterogeneous
15 nature of this reef, and the fact that there are
16 questions that need to be answered before
17 Marathon or any operator could undertake, in
18 enhanced recovery or just primary development of
19 this reservoir.

20 Q. Finally, then, let's look at the
21 geologic potential in the reservoir for Exxon in
22 the north half of the northeast of 12, and have
23 you give us your conclusion about that potential?

24 A. Again, Exxon at this location is too
25 far south. They're right on the feather edge of

1 the reef and essentially have no reservoir.
2 Three feet and five feet of porosity is what I've
3 marked, and that probably would not produce if
4 they attempted production from that horizon.

5 MR. KELLAHIN: That concludes my
6 examination of Mr. Chapman. We would move the
7 introduction of his Exhibits 1 through 8.

8 EXAMINER STOGNER: Any objections?

9 MR. CARR: No objections.

10 EXAMINER STOGNER: Exhibits 1 through 8
11 will be admitted into evidence at this time.

12 Mr. Bruce, I'll let you cross-examine
13 the witness at this time.

14 EXAMINATION

15 BY MR. BRUCE:

16 Q. Mr. Chapman, what did you say was the
17 initial potential of the No. 11 well?

18 A. I don't think I stated. I said in
19 excess of 300 barrels per day. Let me see if I
20 have it in my notes here. The well IP'd,
21 flowing, 310 barrels of oil per day, 315 Mcfd and
22 20 barrels of water. That water was basically
23 completion water, and it's since produced
24 virtually no water whatsoever.

25 Q. Since then it's been producing at the

1 187 barrels per day?

2 A. On average. We have done draw-down
3 tests, we've shut it in and whatnot. We have
4 been varying the production, but we have
5 basically, on a monthly average, been maintaining
6 the allowable.

7 Q. So you have been conducting tests in
8 the meantime?

9 A. What tests we are capable of doing
10 under the current constraints, yes.

11 Q. What are those tests?

12 A. Mr. Kent can address that much better
13 than I can. I know they have been doing it and
14 I've been occupied elsewhere.

15 Q. And I wasn't listening when you talked
16 about the No. 8 and 9 wells. What is the status
17 of those wells?

18 A. We're still early in the completion
19 process of those wells. Mr. Kent will give you
20 an exhibit which shows current production. To
21 answer your question, the No. 8, the latest test
22 on it was 98 barrels of oil per day, but that was
23 within its first week of completion. The No. 9
24 well, the latest rate we had on it was 25 barrels
25 of oil a day. They're in an inferior geologic

1 position, and we don't expect them to act like
2 the No. 11 well.

3 Q. Now, picking out any one of your
4 isopachs here, referring to Exhibit 7, looking at
5 the southwest corner of your map, you kind of cut
6 off the contour lines. Does the data from those
7 wells, like on the Texaco lease in Section 12,
8 does that match with these contour lines?

9 A. With the Exxon wells in Section--I'm
10 sorry, would you repeat your question?

11 Q. Your contour lines kind of cut off
12 right at the mid-section line.

13 A. Oh, your're talking the west half of
14 Section 12 where I've-- Yeah, they do. I've
15 happened essentially the entirety of Vacuum
16 field, but was reluctant to display all that for
17 public consumption.

18 Q. Now, the 8, 9 and 11 wells, they were
19 recompletions, is that correct?

20 A. That's correct.

21 Q. And they had been producing from a
22 deeper zone?

23 A. That's correct.

24 Q. Now, a comment was made that kind of
25 implied that perhaps Texaco and Exxon were a

1 little dilatory, but isn't it industry practice
2 to deplete the lower zones before recompleting
3 the upper zones?

4 A. Absolutely. I didn't mean to impinge
5 upon the character of either one of those fine
6 institutions. All I was trying to say was, they
7 may have done an extensive geologic and reservoir
8 analysis of this zone, but they had yet, until
9 Texaco's recent recompletion of the 24-R, they
10 had yet to, for whatever reasons, economic or
11 mechanical reasons, they had yet to recomplete
12 any of their wellbores to the Drinkard, with the
13 exception of the old Texaco/Skelly historic
14 producers from the 60s.

15 Q. On Exhibit 7, you talked about the
16 Exxon wells in the north half/northeast quarter
17 not being really in a good location with respect
18 to the Drinkard Zone 2, as you've mapped it.
19 However, in the northern portion of Exxon's
20 acreage, there's substantially thicker porosity,
21 is there not?

22 A. Yes. Both of the Exxon current wells,
23 due to, I'm sure, their original purpose when we
24 were developing the underlying Abo, they pushed
25 to the south end of their spacing units and

1 probably, if you could push to the north end of
2 their spacing units, you would be thicker.

3 Now, how thick, where you jump from the
4 two to four feet I show in the Exxon wells, to
5 the 30 to 40 feet in the Texaco wells the next
6 drilling location to the north, that's the gamble
7 that Exxon will have to determine.

8 Q. But, you still show 20 to 30 feet,
9 which is thicker than your 8 and 9 wells, isn't
10 it?

11 A. Yes.

12 Q. Now, I think a couple of times you
13 stated that--

14 A. Excuse me. 10 to 20 feet. 30 feet is
15 so close to the section line, Exxon would have to
16 receive the blessings of the state before they
17 could drill something like that.

18 Q. A couple of times you said there has to
19 be a lot of defining work done before, you said,
20 before secondary recovery is a sure thing, and
21 you even, on your second statement, said that
22 primary recovery is uncertain in this pool, is
23 that correct?

24 A. That's correct.

25 Q. If there is substantially more

1 development work that needs to be done, what is
2 the rush to have the unrestricted allowable on
3 Marathon's wells?

4 A. Our desire is to do effective testing
5 to define and characterize the reservoir as
6 quickly as possible so that we can develop the
7 reservoir in the most prudent, economic and
8 beneficial way for Marathon, the State of New
9 Mexico, and all parties involved.

10 We are requesting a testing allowable.
11 I would remind you that there is an adjective in
12 that.

13 Q. Testing allowable. But Marathon
14 doesn't want to make up the overproduction, is
15 that correct?

16 A. I believe in our feeling, I believe in
17 our remarks we said that we wanted to leave that
18 question to the state. Don't fret ourselves
19 until we have the data in hand. Just say that
20 there will be overproduction. Whether it will be
21 substantial or insubstantial, it may be in the
22 best interests of--who knows, at this point, what
23 the best interests of the parties will be on that
24 issue.

25 Q. You've requested the testing allowable

1 begin on April 1, in the last six months. From
2 now until the end of that period, what plans does
3 Marathon have regarding completing or
4 recompleting any other wells on this lease?

5 A. We have recompleted all wells which are
6 available on our lease available for
7 recompletion. I mentioned earlier, the well you
8 see there in the northeast/southwest of Section
9 6, we originally desired to recomplete that well
10 but found the wellbore to be mechanically unfit
11 and were forced to plug that particular well,
12 that's why we're drilling the 18 which, in
13 Marathon's point of view, is a replacement well.

14 Q. What's the current status of the
15 replacement well, the No. 18?

16 A. It was drilling just under 3,000 feet
17 on Tuesday.

18 Q. What would be the total depth of the
19 well?

20 A. Total depth, I think, is 8500 feet.
21 Let me check it. It is permitted to 8500 feet.
22 It may come up shy.

23 MR. BRUCE: I have no further
24 questions, Mr. Examiner.

25 EXAMINER STOGNER: Thank you, Mr.

1 Bruce.

2 Mr. Carr?

3 MR. CARR: Thank you, Mr. Stogner

4 EXAMINATION

5 BY MR. CARR:

6 Q. Mr. Chapman, if I look at your Exhibit
7 No. 1, the project area for which Marathon is
8 seeking the testing allowable includes the west
9 half of Section 6?

10 A. That's correct.

11 Q. At the present time you have three
12 Drinkard wells, the 11, the 9, and the 8 in the
13 southwest quarter of that section?

14 A. That's correct.

15 Q. And you're drilling a replacement well
16 to the No. 10?

17 A. That's correct.

18 Q. If we look at this, at the present time
19 the only well that is facing an allowable
20 restriction is your No. 11?

21 A. That's correct.

22 Q. If this application is approved, might
23 it be also necessary to produce the replacement
24 for the No. 10 at a rate in excess of current
25 allowable limits?

1 A. It may be desirable. That's a question
2 which Mr. Kent can more fully address.

3 Q. Do you know if you have additional
4 plans for further drilling in the northwest
5 quarter of Section 6?

6 A. We have laid groundwork for the
7 potential to drill, if it justifies it in the
8 west half. But I can literally tell you that the
9 geologic department has been unwilling to sign
10 off on any AFEs to drill the locations yet, with
11 the except of the 18.

12 Q. All right. For what time frame are you
13 seeking these rules? Do they start when the
14 order is entered, or are you asking-- I can't
15 remember if it's starting on April 1? Is that
16 the plan or the proposed--

17 MR. KELLAHIN: Just for convenience,
18 Mr. Carr, we were going to select the first day
19 of a month sufficiently after the hearing to get
20 the order entered and to do the field work to get
21 the wells ready for test, and we propose to
22 select the 1st of April and then have the test
23 window a maximum of six calendar months, starting
24 with April.

25 Q. Mr. Chapman, would the No. 10

1 replacement well be ready to be produced by the
2 time this test period would begin, if it's April
3 1?

4 A. Barring unforeseen problems, it should
5 be.

6 Q. And if geology signs off on these
7 things, are there other wells that could be
8 capable of producing in the northwest quarter,
9 during the six months test period starting April
10 the 1st?

11 A. During the six months, but they would
12 not be ready by April 1st.

13 Q. But they would be sometime during that
14 six-month window? It's possible?

15 A. Conceivably we could drill additional
16 locations, which, during that six-month window,
17 could be capable of production.

18 Q. So, as we stand now, Marathon's request
19 would take the allowable limit off the No. 11
20 well for testing purposes, and there might be
21 other wells that would also be exempt for the
22 testing period?

23 A. That is correct.

24 Q. At this point, all the wells we're sure
25 we're going to have out there are the four wells

1 located in the southwest?

2 A. Assuming we're successfully able to
3 drill the 18, yes.

4 Q. If I understood your response to Mr.
5 Bruce's question, the question of overproduction
6 is one that you just want to defer until the end
7 of the test period?

8 A. Essentially, yes.

9 Q. And at that time it is possible that
10 you might ask that that be cancelled?

11 A. It's possible.

12 Q. Not just a makeup period, but you're
13 also reserving the right to seek a cancellation
14 of that?

15 A. Of course, we would have to have data
16 to support our reason for that.

17 Q. And we would probably look at that
18 data. If we look at your Exhibit No. 2, the type
19 log, the primary zones that you're interested in,
20 if I understand it, for the purpose of the test,
21 were Zones 1 and 2?

22 A. That is correct.

23 Q. And, in fact, the No. 11 well is an
24 older well that was just recompleted last year up
25 into these zones, isn't that right?

1 A. That's correct. It was recompleted in
2 October.

3 Q. Weren't these upper zones really
4 bypassed not just because but they were above the
5 lower zones, but they really had little porosity,
6 and what you're tying into is the fractured
7 reservoir?

8 A. I'll have to agree with half of your
9 statement and disagree with the other half.

10 Q. What half do you agree with?

11 A. The effective productive porosity, as
12 it's shown on the sonic log, is quite low. On my
13 isopach you saw that I used two and a half
14 percent as a cutoff, and that is very low. I
15 mean, compared to other reservoir. It's not
16 uncommon in a dolomite reservoir, at Vacuum.

17 For example, the Glorieta-Paddock zone
18 produces from quite low porosity in dolomite.
19 It's vugular and possibly localized fractures,
20 but, to the best of my knowledge, there have been
21 no cores taken in the Drinkard and Vacuum field,
22 to date, which anyone can see whether or not
23 fractures even exist and whether or not they're
24 significant in the reservoir.

25 Again, if I reference the

1 Glorieta-Paddock, which is a similar type of
2 reservoir, uphole from here a couple thousand
3 feet, the regional--normally, the significant
4 fractures in the Glorieta-Paddock, in that case,
5 are all filled and plugged by anhydrite, so
6 they're not effected to the reservoir. They're
7 very small and very localized fractures, what I
8 call breccia fractures with vugs, that are taken
9 into production.

10 Our experience in Vacuum field, and all
11 zones to date in the dolomite, is that the
12 production, the porosity is vugular porosity
13 which is, depending on the geometry of the
14 porosity, the pore throats and the channels, et
15 cetera, is capable of sustaining high rates of
16 production from very low porosity cutoffs.

17 Q. Have you explained to me why you picked
18 the 2.5 percent cutoff? It's because of other
19 reservoirs and they produce low porosities?

20 A. That, and where available, I took micro
21 logs which we run on these wells. A micro log is
22 a yes-no indication of permeability. It measures
23 the presence of mudcake. I took wells which you
24 saw the presence of micro log separation here,
25 indicating permeability, a permeable reservoir,

1 and I compared those zones to the porosity logs,
2 and I was forced to go down to two and a half
3 percent porosity. I might add that typically the
4 maximum porosity I've seen is approximately five
5 percent.

6 Q. Now, as to the part of my question that
7 related to fracture, was your answer that, in
8 your opinion, the reservoir isn't fractured, or
9 we don't know that at this time?

10 A. My opinion is we don't know it. You
11 were inferring fractures, which I--

12 Q. But once you've cored, you may find
13 them and we may not?

14 A. We may find them; we may not.

15 Q. Now, if we go to your Exhibit No. 3,
16 this is just the structure map?

17 A. Yes.

18 Q. If I'm reading this correctly, the
19 Texaco well, the 24-R in the southeast of 1, is
20 actually up-structure from the wells that
21 Marathon has completed and is producing from the
22 Drinkard in Section 6, is that right?

23 A. On top of the mapping horizon, which is
24 not necessarily the same thing as on top of the
25 actual porosity within the reservoir.

1 Q. How thick a porosity zone do we
2 actually have, or do we have to go to your
3 individual maps to see?

4 A. We would have to go to the individual
5 maps.

6 Q. Would it be your testimony that the
7 Texaco 24-R is not structurally higher in these
8 porosity zones?

9 A. I honestly don't have the data here nor
10 the remembrance to clarify that. I would state
11 that it's not significantly higher. We're
12 looking, at most, 30 feet of structure.

13 Q. I don't think we have to go to any map,
14 but my question is about the No. 8 and the No. 9
15 wells. You told Mr. Bruce the current producing
16 rates or what you understood them to be. Do you
17 know what zone that production is that coming
18 from? Have you isolated the zones?

19 A. We perforated Zones 4, 3 and 2 in each
20 of those wellbores, 8 and 9, and if we refer, if
21 we may, to Exhibit No. 7, which the Zone 2 map,
22 you can see those well are quite thin in Zone 2,
23 five feet and 13 feet; whereas they were thicker
24 in the other two zones. Zone 3, 36 feet and 33
25 feet; Zone 4, 42 feet and 22 feet.

1 I would also note that from examination
2 of the logs on those wellbores, that Zone 2, as
3 well as being thinner, was also tighter. It
4 barely met my two and a half percent effective
5 cutoff.

6 So, our expectation is, the predominant
7 production from those wellbores will be from
8 Zones 3 and 4, as I've had to remind my
9 management several times.

10 Q. The No. 8 and No. 9, it's fair to say,
11 are not facing allowable restriction?

12 A. No.

13 Q. In looking at the No. 11, the
14 replacement for the No. 10 and potentially other
15 wells?

16 A. They potentially could be, as well as
17 potential recompletions and new drills by other
18 operators offsetting Marathon, notably Texaco.

19 Q. Yet, as your application stands, you're
20 seeking authority for a higher test allowable for
21 not only the No. 11, but the No. 10 and any of
22 these other wells that may be drilled that would
23 face an allowable restriction?

24 A. We would seek the capability of using
25 those wellbores, should it prove in the best

1 interest of accurate, fair, determinative tests.

2 Q. And when you say that, what you mean is
3 you might have to exceed the allowable?

4 A. That is correct.

5 Q. And accrue overproduction?

6 A. Yes. But again, we're leaving the
7 question of what to do with any overproduction to
8 the state, to be answered once we find how much
9 overproduction there is.

10 Q. Your application is still limited just
11 to the project area which I understand is being
12 defined as the Marathon lease on the west half of
13 6?

14 A. That's correct.

15 Q. And you have sufficient wellbores that
16 you can do adequate testing to make reservoir
17 determinations without any cooperative effort
18 from offsetting operators?

19 A. Yes.

20 MR. CARR: That's all I have.

21 EXAMINER STOGNER: Thank you, Mr.

22 Carr.

23 Mr. Kellahin, any redirect?

24 MR. KELLAHIN: No, sir.

25 EXAMINER STOGNER: Any other questions

1 of this witness? If not, you may be excused at
2 this time.

3 [Discussion off the record.]

4 EXAMINER STOGNER: Let's take about a
5 15-minute break, and just we'll go on through
6 lunch.

7 [A recess was taken.]

8 EXAMINER STOGNER: The hearing will
9 come to order. Mr. Kellahin?

10 MR. KELLAHIN: Mr. Examiner, at this
11 time I would like to call Mr. Craig Kent.

12 CRAIG KENT

13 Having been first duly sworn upon his oath, was
14 examined and testified as follows:

15 EXAMINATION

16 BY MR. KELLAHIN:

17 Q. Mr. Kent, for the record would you
18 please state your name and occupation?

19 A. My name is Craig Kent. I'm a reservoir
20 engineer with Marathon Oil Company in Midland,
21 Texas.

22 Q. On prior occasions, Mr. Kent, have you
23 testified before the Division as a reservoir
24 engineer?

25 A. Yes, I have.

1 Q. What have been your responsibilities
2 for what we've called the Warn State project area
3 in the west half of Section 6 that's been
4 described today?

5 A. My responsibilities have been to take a
6 look at this area for possible primary
7 development and future secondary recovery from
8 the lease.

9 Q. Based upon your studies, do you now
10 have recommendations for the Examiner with
11 regards to the subject matter of this
12 application?

13 A. Yes, sir.

14 MR. KELLAHIN: We tender Mr. Kent as an
15 expert reservoir engineer.

16 EXAMINER STOGNER: Are there any
17 objections?

18 MR. CARR: No objections.

19 EXAMINER STOGNER: There being none,
20 Mr. Kent is so qualified.

21 Q. Mr. Kent, let me have you turn, sir, to
22 your Exhibit No. 1. What is the primary
23 objective of your proposal to the Examiner?

24 A. Our primary objective is to have the
25 NMOCD grant a temporary testing allowable that

1 will allow us to gather data to determine not
2 only maximum efficient rate for the
3 Vacuum-Drinkard pool, but also the feasibility of
4 a possible pressure maintenance project for the
5 pool.

6 Q. In order to accomplish those
7 objectives, Mr. Kent, what do you propose to do
8 within the context of this case?

9 A. What we're proposing to do is get
10 permission to do basically three tests during the
11 six-month testing period; draw-down test,
12 variable rate test and interference test.

13 Q. A testing period of six months,
14 commencing April 1 and running for six
15 consecutive months, is that, in your opinion, a
16 sufficient period of time in which you can
17 conduct the various tests you propose to do in
18 the project area in any combination and subject
19 to whatever adjustments need to be made?

20 A. Yes, it is.

21 Q. Does the six-month period provide
22 enough flexibility for a U.S. reservoir engineer
23 to modify, alter, or change the types of tests
24 you want to run and still have sufficient data at
25 the end of the test period upon which to

1 determine the efficient rate of production and
2 the feasibility of pressure maintenance?

3 A. Yes, it does.

4 Q. Why can't you achieve those objectives
5 within the limits of the depth bracket allowable
6 that is applied to the project area?

7 A. Well, there's several problems; first,
8 with the draw-down test. What we're looking to
9 accomplish is to determine reservoir permeability
10 as well as try to make an estimate of reservoir
11 volume or do a material balance.

12 That could be accomplished with a
13 build-up test, but the results of our most recent
14 test indicate that to get into a time period
15 where we would be able to analyze the test to get
16 the types of information that we want, we would
17 have to be shut in for an excessively long time.
18 That's not something I can sell to my management,
19 especially not on a well like this.

20 Q. The option to obtain some reservoir
21 data on a pressure build-up test, as a practical
22 matter, is not available to you?

23 A. That is correct.

24 Q. The proposal to the Examiner is to
25 allow you the opportunity to conduct the test and

1 that if there is overproduction, production in
2 excess of the depth bracket allowable, what to do
3 with what I've called overproduction would be
4 another issue for another hearing at another
5 time?

6 A. That's correct.

7 Q. What is the current depth bracket
8 allowable for the project area on a per-well
9 basis?

10 A. The depth bracket allowable for a
11 40-acre oil well is 187 barrels per day.

12 Q. Let's focus on the No. 11 well as the
13 example well upon which to conduct the test,
14 recognizing that currently it's the only one they
15 can produce in excess of the allowable.

16 You want the flexibility to have other
17 wells available to you within this testing window
18 if they, in fact, have the ability to produce in
19 excess of the allowable?

20 A. That's correct.

21 Q. Currently, the only well that will do
22 that is the No. 11?

23 A. That's correct.

24 Q. For purposes of illustration, let's
25 focus on the No. 11 well, then. The No. 11 well

1 is assigned to a spacing unit that is not a full
2 40 acres, is it?

3 A. That's correct.

4 Q. What is your depth bracket allowable,
5 as it stands now, for the No. 11 well?

6 A. The No. 11 has an allowable of 178
7 barrels of oil per day.

8 Q. Based upon your information, what is
9 the maximum capacity of that well to produce on a
10 daily basis?

11 A. Based on our most recent testing, the
12 well could possibly make something just in excess
13 of 400 barrels a day.

14 Q. With regards to the current limitations
15 on allowables for that well, are you restricted
16 because of a gas/oil ratio limit, or is it a
17 restriction based upon the oil limit?

18 A. It's strictly based on the oil limit.
19 The gas/oil ratio is approximately 750 to 1000.

20 Q. When we look at the potential risk of
21 reservoir damage by the rate of acceleration from
22 this No. 11 well, what is your conclusion as an
23 engineer?

24 A. Really, what we think we're looking at
25 when I look at the geology and some of the other

1 data we have, is that we've got a solution gas
2 drive reservoir. And, being such, we should see
3 no effects of reduced recovery from the reservoir
4 by accelerated production.

5 Q. A typical solution gas drive reservoir
6 is not going to be rate-sensitive and, therefore,
7 it's not going to effect ultimate recovery
8 regardless of what rate you produce?

9 A. That's correct.

10 Q. Do you concur with Mr. Chapman's
11 conclusion with regards to the water issue and
12 the effects, if any, of gravity drainage for the
13 project area? Let's deal with one at a time.

14 Structure: Do you see the opportunity
15 for gravity drainage to effect recoveries in the
16 project area?

17 A. No, I don't.

18 Q. How about water?

19 A. Water, we don't see any significant
20 water production nor do we see a significant
21 water leg in the Drinkard which would cause
22 concern for water coning.

23 Q. Let me turn now to Exhibit No. 9.
24 Identify and describe what you've prepared in
25 Exhibit No. 9, Mr. Kent.

1 A. Exhibit 9 is a chronologic history of
2 the Vacuum-Drinkard pool, starting in January of
3 1962 when the Skelly Hobbs N State No. 1 well was
4 drilled and completed in the Drinkard.

5 Through March and later into June of
6 that year, when the pool was established, Order
7 No. R-2241, at that time the pool was to include
8 the north half of Section 7 and the northwest
9 quarter of Section 8, Township 18 South, Range 35
10 East.

11 Then, in January of 1966, the Texaco R
12 State NCT 4 No. 2 produced the last amount of oil
13 from the Drinkard pool until our recent
14 recompletion.

15 Q. A period of some 25 years passes before
16 anything else happens in the Drinkard?

17 A. That's correct.

18 Q. All right. Why now, Mr. Kent, in terms
19 of conducting tests on the No. 11 well, to do the
20 various things you want to do to achieve your
21 objectives? Why now?

22 A. There are a couple of different
23 reasons. First of all, looking at the production
24 characteristics of our well compared to the
25 original three producers in the pool, it's

1 drastically different. We're looking at a
2 completely different animal.

3 I think that's borne out by Mr.
4 Chapman's mapping, showing that we're not
5 producing in a correlative interval where the
6 original wells produced from Zones 3 and 4 were
7 producing from Zones 1 and 2.

8 Another thing, we have a rather unique
9 opportunity here. We have a reservoir that's
10 essentially of virgin pressure. We've got a CO₂
11 source in the area. We've done some PVT analysis
12 that tells us that we're near the minimum
13 miscibility pressure for CO₂, and we want to jump
14 on this early in the life of the well, or early
15 in the life of the reservoir, to make sure that
16 we can maximize ultimate recovery, not just
17 primary recovery from this reservoir.

18 Q. Let's turn to Exhibit No. 10. What
19 have you tabulated here?

20 A. Exhibit 10 is a summary of all the
21 wells that either have produced or are producing
22 from the Vacuum-Drinkard pool. On the left each
23 well is listed. Moving to the right, the
24 respective operator of the well. The next column
25 lists the first and last production, if possible.

1 The next column being the cumulative protection
2 of gas and oil for the wells.

3 For the original three wells, that
4 reflects the actual production. For the three
5 Marathon wells, that is cumulative production
6 through January of 1993 based on daily test
7 reports.

8 The next, Zone 2 to the right, lists
9 which zones are open and producing, their
10 respective wells, and the last column to the
11 right is the current rate for each well.

12 Q. Let's talk about the relationship
13 between the Texaco 24-R well and the Marathon 11
14 well. Both those two wells are each completed or
15 perforated in Zones 1 and 2?

16 A. Correct.

17 Q. Have you conducted any tests or do you
18 have data to tell you, in your well, what the
19 source of the hydrocarbon contribution is when
20 you look at the 1 and 2 zones?

21 A. We recently ran a spinner production
22 log on the well to try to quantify where the
23 production was coming from. What it showed was
24 that the production was coming all from Zone 2.

25 Q. Zone 2 is the primary target for

1 evaluation, then, to determine the efficient rate
2 to produce it, and the feasibility for pressure
3 maintenance?

4 A. That's correct.

5 Q. What is the comparative difference in
6 the productivity between the Texaco 24 well,
7 completed in the same intervals that you are the
8 No. 11 well?

9 A. As I understand the Texaco No. 24 well,
10 it potentialized flowing at roughly 84 barrels a
11 day; whereas our well potentialized flowing over
12 300 barrels a day.

13 Q. Put that in context for us as a
14 reservoir engineer. Does that mean anything to
15 you?

16 A. It means that we're dealing with a
17 rather heterogeneous reservoir. When you look at
18 the geologic maps that say we're in similar
19 thicknesses as far as porosity thickness goes,
20 tells me there's something else going on here
21 that we haven't been able to quantify yet.

22 Q. Do you see any potential concern with
23 regards to the carbonate reservoir being
24 fractured in such a way that we put at risk
25 Texaco's well by accelerating the production on

1 the No. 11 well?

2 A. No. I think the amount of oil we would
3 be producing during the test would be small
4 enough that it wouldn't have a dramatic effect on
5 the Texaco well.

6 Q. Let's go to the test now, Exhibit No.
7 11. Within the framework of the six months,
8 you've given us an example of how you would
9 propose to at least initially schedule the
10 testing protocol for the No. 11 well, and subject
11 to having to make change during the test, give us
12 an idea how you've designed the test for the No.
13 11.

14 A. What I've looked at was running three
15 tests that we feel would give us the best
16 information about this reservoir in a reasonable
17 amount of time; first, being the draw-down test,
18 the variable rate test, and the interference
19 test.

20 Q. Describe for us the draw-down test?

21 A. In a draw-down test, what we would do
22 is run a pressure sensing bomb into the well,
23 open up the well and produce it at capacity for a
24 period of two months, the purpose being to try to
25 determine permeability as well as reservoir

1 volume.

2 Q. Why do you need the draw-down test in
3 order to obtain that type of information?

4 A. We've run two build-up tests on the
5 well since we've had it producing, and we see
6 some problems with layering effects going on in
7 our well. What that's causing us to do, it's not
8 letting us get into a period of time that's
9 analyzeable to give us the data we want to see.
10 Draw-down testing and build-up testing are,
11 essentially, the same. What you're monitoring is
12 the response of the reservoir to a change in
13 production. Whether you do it by shutting in the
14 reservoir or shutting in a well or opening up a
15 well, it gives you similar responses. From a
16 realistic standpoint, trying to run a build-up
17 test on this well to get permeability, I just
18 can't sell it to my management.

19 Q. You're going to have to shut it in
20 for--

21 A. Probably somewhere in the order of six
22 to eight weeks.

23 Q. In addition to the draw-down test
24 you've indicated a variable rate test. Describe
25 for us the methodology you want to use for the

1 variable rate test?

2 A. In the variable rate test, what we
3 would do would be, essentially, produce the well
4 at various rates, produce the well for two weeks
5 at a given rate, monitor water oil ratio, gas/oil
6 ratio, and then increase the rate for another two
7 weeks and do this through a series of steps over
8 a three-month period, to try to determine if
9 there is a maximum efficient rate for this
10 reservoir.

11 Q. When we look at the draw-down test, why
12 have you selected an estimated two-month duration
13 for that test?

14 A. What that gives us in pressure
15 transient testing, you're looking at a logarithm
16 of time governing a lot of your tests. What we
17 would be looking at in the two-month time period
18 would be to get out past a thousand hours of test
19 time.

20 Q. Can you accomplish a draw-down test in,
21 say, a two or three week period of time?

22 A. You could run one but you won't get the
23 type of data that we're trying to get.

24 Q. Why not?

25 A. You might or might not get into the

1 proper time period to analyze the well for
2 permeability. The time period for analyzing
3 reservoir volume comes after that. Since you're
4 dealing with a logarithm of time, you really need
5 to be producing. The longer your test is,
6 essentially, the less data you're really getting.

7 Q. Do you want to commit yourself or guess
8 now as to how long a period you'll have to
9 draw-down the well in order to get the data?

10 A. Not really. I think the two months is
11 a conservative value. As we go through the test,
12 we may find we get the data quicker than two
13 months.

14 Q. Let's go to the interference test.
15 Describe for us what you have in mind.

16 A. In the interference test, what we would
17 do would be to run a bomb in a monitor well or an
18 observation well, and pulse or create a pressure
19 pulse in an offset well.

20 What we tentatively planned would be to
21 use the No. 18 well that is currently being
22 drilled, as our observation well, possibly
23 another offset well as observation wells, and
24 then create a pressure pulse in the reservoir by
25 opening the No. 11 up and producing it at

1 capacity during a test.

2 Q. In drilling the No. 18 well, to
3 complete that well are you going to
4 fracture-stimulate that well?

5 A. No, we will not fracture-stimulate the
6 well. We would probably do some sort of an acid
7 treatments to it.

8 Q. Are these Drinkard wells fracture
9 stimulated to maintain?

10 A. No, they're not.

11 Q. You're not going to set up a pulse in
12 the reservoir with the fracture stimulation?

13 A. No.

14 Q. The only other way to set up the pulse
15 in the reservoir for the interference test is to
16 draw-down, say, the 11 well and see if you get a
17 response in one of your observation wells?

18 A. That is correct.

19 Q. What's your estimate of the period of
20 time to conduct an interference test?

21 A. We think that two weeks will be a
22 sufficient time to do the interference testing.

23 Q. Let's turn to Exhibit 12, Mr. Kent.
24 Would you identify and describe that display for
25 us?

1 A. Exhibit 12 is a plot of wellhead
2 pressure versus flow rate on the Warn State
3 Account 2 No. 11. On the Y axis is wellhead
4 pressure, the X axis being oil rate, barrels of
5 oil per day.

6 The curve that runs from the upper left
7 to the lower right is labeled "Surface IPR
8 Curve," and that projects what the well will do
9 based on changes in surface pressure, what we
10 would expect the rate to be.

11 In the lower right there's a curve
12 labeled "Minimum stable flow rate," and the gray
13 area shaded, as noted, is "Stable Flow Area."

14 The minimum stable flow rate is a
15 graphical solution of various tubing curves at
16 various wellhead pressures, showing where the
17 liquid fallback into the tubing ceases to be
18 excessive, where you start actually lifting all
19 the fluid through the tubing and producing it out
20 the wellbore, rather than having it fall back
21 down on the reservoir.

22 Q. What's the point of the display in
23 relation to what is the depth bracket allowable
24 for the No. 11 well?

25 A. The relation is for us to produce it at

1 a stable rate. We need to be on the order of 375
2 barrels of oil a day, with a wellhead pressure of
3 roughly 140 pounds.

4 Q. And you have to exceed the depth
5 bracket allowable to do that?

6 A. That's correct.

7 Q. Let me ask you to turn to Exhibit No.
8 13 and identify that for me, Mr. Kent?

9 A. Exhibit 13 is a draft of a PVT study
10 that we had performed at our lab in Littleton,
11 Colorado, on the reservoir fluid from the Warn
12 State Account 2 No. 11.

13 Q. Who took the sample from the No. 11
14 well, and how was that sample handled?

15 A. The sample was obtained by Core
16 Laboratories in late December, and was shipped to
17 our lab in Colorado for analysis.

18 Q. Is that the customary protocol for
19 sampling and shipping and sending to your lab to
20 preserve the integrity of the sample for
21 analysis?

22 A. That's correct.

23 Q. Do you see any glitches in how it was
24 sampled and how the sample was preserved for
25 analysis?

1 A. No.

2 Q. You get to the analysis, and you have a
3 lab that does this on a regular basis for
4 Marathon?

5 A. That's correct.

6 Q. What was the conclusion of the PVT
7 analysis?

8 A. The bomb line is that the reservoir
9 fluid is a liquid at reservoir conditions. It
10 has a bubble point of about 2350 pounds. The
11 Minimum miscibility pressure with CO-2 is roughly
12 2700 pounds.

13 Q. Let's talk about what that data means
14 to you, as a reservoir engineer, in view of the
15 current status of the No. 11 well. Do you see
16 that this is anything other than a solution gas
17 drive reservoir?

18 A. This, combined with the geologic, leads
19 me to believe that this is a solution gas drive
20 reservoir.

21 Q. Therefore, we need not to be concerned
22 about controlling rate to conserve gas, at least
23 for the test period?

24 A. That's correct.

25 Q. The bubble point, you said 2350 psi?

1 A. That's correct.

2 Q. Where are you now in the producing life
3 of the No. 11 well in relation to the bubble
4 point?

5 A. Originally, when we completed the well,
6 the reservoir was about 2950 pounds. We did a
7 subsequent build-up test in January that
8 indicated the well was somewhere between 25- and
9 2700 pounds, so we're still above the bubble
10 point as we stand right now.

11 Q. For your testing purposes, is it
12 necessary for you to draw the well down through
13 the bubble point to obtain reservoir information?

14 A. It would be helpful to further predict
15 what the recovery performance of this reservoir
16 would be.

17 Q. Would that be one of the objectives
18 obtained with the step rate test to see whether
19 or not you have any effect on ultimate recoveries
20 or the most efficient range of producing?

21 A. Yes, it would.

22 Q. Summarize for us your conclusions with
23 regard to the issue of risk to the reservoir. Do
24 you see any potential damage to the reservoir--by
25 that I mean, reduction in ultimate recovery, by

1 approval of the test as you propose to have it
2 accomplished?

3 A. No. Since the reservoir, in our
4 estimation, is a solution gas drive reservoir,
5 the rate of withdrawal should not impact the
6 ultimate recovery from the reservoir.

7 Q. With regards to correlative rights and
8 that's the opportunity of others to share in the
9 pool's production, as to their fair share, do you
10 see any potential for correlative rights being
11 impaired?

12 A. Right now we don't really have any data
13 to quantify that. It would be possible, but what
14 we were proposing to do is take that into account
15 at a subsequent hearing when we look at the
16 overproduction from the well.

17 Q. The maximum volume of overproduction
18 that can be obtained in a six-month test period
19 from the No. 11 well, is what volume of oil?

20 A. It's roughly 23,700 barrels.

21 Q. Is that a sufficient enough volume for
22 you, as a reservoir engineer, to be concerned
23 that in the reservoir here, if there's some
24 advantage you gain over Texaco, that you can't
25 balance the ledger later?

1 A. As I see it now, the reservoir should
2 be large enough to make that balance, should it
3 be necessary.

4 Q. Summarize for us the elements that you
5 will obtain if the test is approved, that you
6 can't achieve now. What are you going to get?

7 A. What we'll get is an estimate of
8 reservoir permeability, estimate of reservoir
9 size, a determination of maximum efficient rate
10 for the reservoir, and ultimately the
11 determination of whether or not a pressure
12 maintenance project is feasible for this lease.

13 Q. If we don't do this now, then, we
14 simply result to competitive depletion on 40-acre
15 spacing without the benefit of secondary
16 recovery?

17 A. That's correct.

18 MR. KELLAHIN: That concludes my
19 examination of Mr. Kent. We move the
20 introduction of his Exhibits 9 through 13.

21 EXAMINER STOGNER: Any objection?

22 MR. CARR: No objection.

23 EXAMINER STOGNER: Exhibits 9 through
24 13 will be admitted into evidence at this time.

25 Mr. Bruce, your witness.

EXAMINATION

BY MR. BRUCE:

Q. In Marathon's application, it talks about the proposed pressure maintenance project, and it just includes Marathon's lease, is that correct?

A. That's correct.

Q. Why just Marathon's lease?

A. As we stand right now, there's only one active producing well off of Marathon's lease, and what we tried to do is put this in as quickly as possible to try to maximize the ultimate recovery. To do that on Marathon's lease would provide us that avenue to do that in a quick fashion.

Q. Looking at your Exhibit 10, which is the well summary, you have the current rates of production. What were the initial rates on each well?

A. Off the top of my head--I don't have those with me--I know that the No. 11 was capable of flowing at over 300 barrels a day. The No. 8, I don't think, has been finaled. We just put that on the last week of January and it's still cleaning up. Essentially, the No. 9 has not been

1 on much longer than that, and it's produced on
2 the order of 25 to 50 barrels per day; both
3 pumping.

4 Q. Now, I think Mr. Chapman said there
5 wasn't much water. There appears to be a fair
6 amount of water in the 8 and 9 wells.

7 A. If you look at 8 and 9, they're
8 completed in Zones 3 and 4, and if there is water
9 production, that's where it's from; whereas in
10 the No. 11, we're not open in those zones.

11 Q. And you set the bridge plug?

12 A. Right.

13 Q. At the bottom of Zone 2, I take it?

14 A. Right. It's set between Zones 2 and 3.

15 Q. What did you say was the initial
16 pressure in, I think it was, Zone 2?

17 A. The initial pressure was around 2960.

18 Q. Do you know what the current pressure
19 is?

20 A. As of early January, it was somewhere
21 between 2500 and 2700 pounds. I didn't get into
22 what's called owner time, which would allow us to
23 extrapolate the reservoir pressure. Roughly,
24 there's 200 pounds of depletion, give or take, in
25 the period between November and January.

1 Q. In about a three months' period?

2 A. That's what you would expect from a
3 solution gas drive reservoir. As you produce
4 fluid above the bubble point, you're seeing the
5 oil expand, so you see a rapid pressure drop
6 until you hit the bubble point.

7 Once you reach the bubble point, gas
8 starts liberating from the oil. The gas is much
9 more compressible than the oil, and you see a
10 lessening in the slope of pressure decline versus
11 cumulative production.

12 Q. So you don't think that's a significant
13 drop?

14 A. No.

15 Q. Have any of these wells, I guess
16 there's four of them now in this pool, shown any
17 signs of interference with any of the other
18 wells?

19 A. Not that we've been able to determine
20 to this point. Again, that's one of the portions
21 of our test, is to determine the interference
22 between the wells, if there is any.

23 Q. To the best of your knowledge, are all
24 of the four current wells completed in the pool
25 at standard orthodox locations?

1 A. That's correct.

2 Q. Do you have any evidence to suggest
3 that Marathon's lease is not in pressure
4 communication with the other leases in the pool?

5 A. We don't have any direct evidence to
6 prove it, no.

7 Q. Now, how do you plan on going about
8 determining the most efficient maximum producing
9 rate for the reservoir?

10 A. What we would do would be to look at
11 the response of the test, look at the variation
12 in GOR, as well as the water/oil ratio, if it
13 becomes an issue, versus the producing rate, and
14 see if there is a departure, particularly in the
15 GOR curve, from what we see right now.

16 Q. And Marathon has not, as of today, made
17 any effort to determine the maximum efficient
18 rate?

19 A. No, we haven't.

20 Q. Is the lifting of the allowables
21 absolutely essential to make this determination?

22 A. In order to make the determination to
23 find a maximum rate by definition, you need to
24 produce above the allowable to find a maximum
25 rate. And, probably at some point, you would be

1 outside the boundaries of the daily tolerances in
2 the state rules.

3 Q. And what data do you need to determine
4 the feasibility of a pressure maintenance
5 project?

6 A. What we would be looking at primarily
7 is reservoir size and inner-well communication.

8 Q. You need to determine pore volume?

9 A. Right. And that's the reservoir size.

10 Q. How will the unlimited production help
11 determine that?

12 A. What we plan to do during the draw-down
13 test is monitor the pressure decline with
14 production and, using various techniques,
15 calculate the oil in place from that pressure
16 decline.

17 Q. Could this be determined within the
18 current depth bracket allowable?

19 A. No, it can't, with this particular
20 well. And I think if you look at my Exhibit 12,
21 one of the key premises of draw-down testing is
22 you need to keep a constant rate. If we produce
23 at the depth bracket allowable, that's below the
24 minimum stable rate for this particular well, the
25 way the mechanics are set up. If we're below

1 that, we're going to have liquid dropping back on
2 us while we're producing, and it's going to cause
3 not only not a constant rate, but not a constant
4 pressure response in the well.

5 Q. Why does Marathon want to wait until
6 after these tests before deciding whether the
7 overproduction should be made up?

8 A. I think at this point we don't have the
9 data to that say that the effect of the added
10 production would be detrimental to the offset
11 operators or that it would need to be made up.
12 We'll make that determination after the tests are
13 done, when we have a little more hard data.

14 Q. Now, you said you could get much the
15 same data by doing a build-up test, is that
16 correct?

17 A. Yeah, you could get the same data or
18 similar data.

19 Q. And that would be six or eight weeks?

20 A. At least.

21 Q. Why can't Marathon do that?

22 A. I, personally, probably wouldn't be
23 working for Marathon if I tried to propose a
24 six-week shut in of a 200-barrel-a-day well.

25 Q. Is the productivity of your No. 11 well

1 such that you could make up that underproduction?

2 A. Over a period of time it could be made
3 up, but you would still be in excess of the daily
4 tolerances to do so.

5 Q. You could ask for a relief from that
6 from the Division, couldn't you?

7 A. And in part that's what we're doing
8 here.

9 Q. But you don't want to make up the
10 overproduction?

11 MR. KELLAHIN: That's not what he said,
12 Mr. Bruce.

13 MR. BRUCE: I'll let the witness
14 answer.

15 A. I may have misunderstood what you
16 said. The first time did you say "over" or
17 "under" when you were referring to the build-up
18 test?

19 Q. Well, you want to overproduce and not
20 have to shut in to make up that overproduction?

21 MR. KELLAHIN: You continue to
22 misrepresent our position, Mr. Bruce. I said, in
23 my opening statement, Mr. Chapman has repeated
24 it, Mr. Kent has repeated it, we want the
25 decision on whether that's made up or not made up

1 postponed and decided after the test so we have
2 data to determine that. That is not what you're
3 asking.

4 EXAMINER STOGNER: Mr. Bruce, do you
5 want to restate your question?

6 MR. BRUCE: I would like to know what
7 Marathon's position is at this point.

8 MR. KELLAHIN: I just stated it.

9 MR. BRUCE: At this point, do they want
10 to have to make up any overproduction?

11 MR. KELLAHIN: Don't answer the
12 question. I object to the question.

13 Our position is, we do not know yet
14 until we run the test.

15 MR. BRUCE: I think it's a fair
16 question, and I would ask the Examiner to direct
17 the witness to answer.

18 MR. KELLAHIN: Mr. Bruce, I've given
19 you the answer. I don't know how to say it any
20 further.

21 MR. STOVALL: Mr. Examiner, I think for
22 the purposes of building a record, I believe the
23 witness has, in fact, answered.

24 Correct me if I'm wrong, Mr. Kellahin,
25 I'll take the liberty of going forward, what

1 you've said is, you want to see what
2 overproduction there is before you determine
3 whether it should be made up or not, is that
4 correct?

5 THE WITNESS: That's correct.

6 Q. (BY MR. BRUCE) Why does the amount of
7 overproduction have to do with whether or not you
8 should make it up?

9 A. I don't think it's solely the amount
10 but also the results of the test that have to be
11 weighed in with the decision.

12 Q. And on your listing, Exhibit 11, the
13 tests you want to perform, certainly the
14 draw-down test and the interference test could be
15 accomplished by the pressure build-up?

16 A. No, the interference could not. You
17 have to send a pulse through the reservoir by
18 change in rate in an offset producer. A build-up
19 test isn't going to tell you that.

20 Q. Couldn't you also change it by shutting
21 in?

22 A. You could, but you're also looking at
23 the change, the magnitude of the pressure pulse
24 that you send out through the reservoir.

25 I don't want to have to pay for a test

1 where if I make a mistake and don't put a big
2 enough pressure pulse in the reservoir, that I'm
3 not able to resolve it at my offset observation
4 well, where I don't get anything. I want to be
5 sure that I'm running the best test possible.

6 Q. Let's get into, I think Mr. Chapman
7 answered some of this, you have the No. 11 well
8 and you're drilling the No. 18 well?

9 A. That's correct.

10 Q. Mr. Chapman said that Marathon has laid
11 the groundwork for additional wells, I believe,
12 in the northwest quarter?

13 A. That's correct.

14 Q. What is the current status of those?

15 A. They are pending the results of the No.
16 18.

17 Q. How long would it take to drill one of
18 these wells?

19 A. We're estimating drill and complete
20 time of roughly 6 weeks.

21 Q. Have any pads been built for any
22 additional wells?

23 A. I believe there may have been wells
24 staked, but I'm not sure that pads have been
25 built.

1 Q. In the northwest quarter?

2 A. Yes.

3 Q. How many?

4 A. I don't know how many, if any, have
5 been staked. The maximum would be four.

6 Q. I believe you said in your testimony
7 that you can't quantify, at this point, any
8 impairment of correlative rights, is that
9 correct?

10 A. That's correct.

11 Q. But there may be some to the offset
12 leaseholders?

13 A. It is possible, and that's one of the
14 things we could deal with at a later hearing when
15 we evaluate the overproduction.

16 Q. And, getting back to the pressures, Mr.
17 Kent, you said you wanted--I don't know how to
18 phrase it right--but when you're looking at a
19 change in pressure, is there really that big of a
20 difference in going from the current top
21 allowable of 187 up to, say, 375 barrels a day,
22 or going from 187 down to zero barrels a day?

23 A. Off the top of my head I can't tell
24 you, without looking at some source for the
25 information.

1 Q. And, one final matter, on your Exhibit
2 11, your maximum excess production of, I think
3 you said, 23,000 or almost 24,000 barrels, that's
4 four months' overproduction?

5 A. Yeah. And what that assumed was that
6 throughout the length of the test that that well
7 could produce its current capacity at any point.
8 That's probably not going to be the case. We're
9 going to see some depletion going on during this
10 time.

11 Q. And that's just for the one well?

12 A. That's just the one well.

13 MR. BRUCE: That's all I have at this
14 time, Mr. Examiner.

15 EXAMINER STOGNER: Thank you, Mr.
16 Bruce.

17 Mr. Carr, your witness.

18 EXAMINATION

19 BY MR. CARR:

20 Q. Mr. Kent, I'm going to try and not
21 rehash everything that Mr. Bruce covered. If I
22 understand what you've testified to, at the
23 present time there are perhaps wells that have
24 been staked or locations built in the northwest
25 quarter of this section?

1 A. That's correct.

2 Q. At this point in time, as we're looking
3 forward to a testing period, we really don't know
4 how many wells might actually be involved in
5 those tests?

6 A. That's correct.

7 Q. At this point in time, because you need
8 flexibility, we really don't know exactly the
9 nature or the duration of each individual test?
10 You'll have to do that as you go?

11 A. That's correct.

12 Q. If I look at your Exhibit No. 11 and I
13 look at the last column, it's headed "Maximum
14 Excess Production"?

15 A. That's correct.

16 Q. When I look at that, Mr. Kent, does it
17 mean that on the draw-down test, if you go for
18 two months at capacity, the 12,000 barrels of oil
19 is the maximum that we could anticipate being
20 excess production from the No. 11 well?

21 A. That would be the maximum amount of
22 production in excess of the depth bracket
23 allowable that we would see.

24 Q. And does that mean if the test only
25 runs for two months?

1 A. That's correct.

2 Q. Is it possible that you might need to
3 run the test for a longer period of time?

4 A. I think two months is really going to
5 be a maximum. As I referenced earlier, since in
6 transient analysis you're dealing with a
7 logarithm of time, you're dealing with 1 to 10
8 hours, 10 to 100, 100 to 1000, and what we're
9 trying to get to is that 100 to 1000 and just
10 past. Our next point is 10,000 hours.

11 Q. Do you think we're comfortable in
12 relying on that test being two months, or less
13 than two months?

14 A. I would say that's the maximum but I
15 would want the flexibility to be able to adjust
16 that.

17 Q. If you needed to?

18 A. If you need it.

19 Q. You're going to, then, produce the well
20 at capacity?

21 A. That's correct.

22 Q. With a heterogeneous reservoir like
23 you're talking about, isn't that going to
24 complicate that data somewhat, just the nature of
25 the reservoir?

1 A. It could, and I think we've seen some
2 of that in our build-up testing.

3 Q. And producing while other wells, like
4 the Texaco well are continuing to produce in the
5 reservoir, doesn't that also tend to make the
6 data more difficult to work with?

7 A. It will make it difficult to work with
8 but not unanalyzeable.

9 Q. When you go at just capacity with these
10 other factors involved, you get as good a data
11 base as if you controlled the rate?

12 A. It goes back to what I discussed on
13 Exhibit 12, that I need to be above that minimum
14 stable rate or I'm not going to get data that's
15 worth paying for.

16 Q. When you say "minimum stable rate," do
17 you mean the allowable rate?

18 A. No. The maximum stable rate is where
19 the liquid no longer falls back through the
20 tubing.

21 Q. Do you know what that rate would be,
22 exactly? Is that capacity?

23 A. No, there is some capacity for the well
24 in excess of the minimum stable rate.

25 Q. When you say "capacity," you mean

1 absolutely blowing it wide open or just a higher
2 rate?

3 A. It's meaning capacity. Really, the
4 amount of capacity in excess of that minimum
5 stable rate is 20 to 30 barrels a day.

6 Q. I understand you said to Mr. Bruce that
7 instead of the draw-down, you could get the same
8 data with a pressure build-up test?

9 A. You could get the same data, but you
10 would be shut in for, basically, the same amount
11 of time that you would be producing for the
12 draw-down test.

13 Q. In that situation, if you did go with a
14 build-up test, we wouldn't be looking at 12,000
15 barrels of oil as a maximum excess production
16 figure, would we?

17 A. No, we would be looking at a
18 significant amount of underproduction that would
19 need to be accounted for.

20 Q. Which you would then have an
21 opportunity to produce?

22 A. Assuming that no offset producers
23 completed a well during that time.

24 Q. The interference test is just based on
25 sending a pulse through the reservoir and being

1 able to monitor the offsetting wells, is that
2 correct?

3 A. That's correct.

4 Q. The Texaco well to the west is in this
5 same Zone 2 as the well, whatever the number
6 is--18, maybe?

7 A. That's correct.

8 Q. --that you're going to be using
9 initially to monitor?

10 A. That's correct.

11 Q. Couldn't you also create a pulse
12 through that reservoir by shutting down the No.
13 11?

14 A. You could do it, but it's not the most
15 optimum way.

16 Q. But if you did that, we wouldn't have
17 3,000 barrels of oil again in the maximum excess
18 production category, would we? I mean, if you
19 shut it in, we wouldn't have maximum excess
20 production?

21 A. That's correct.

22 MR. CARR: That's all I have. Thank
23 you.

24 EXAMINER STOGNER: Mr. Kellahin, any
25 redirect?

1 MR. KELLAHIN: No, sir.

2 EXAMINER STOGNER: Mr. Bruce, any other
3 questions?

4 MR. BRUCE: I have one.

5 FURTHER EXAMINATION

6 BY MR. BRUCE:

7 Q. The minimum stable rate, can that be a
8 function of tubing diameter?

9 A. That is a function of tubing diameter.
10 We have 2-3/8" tubing in the well right now. We
11 could drop that minimum stable flow rate by
12 putting in smaller tubing, but that would mean an
13 investment of \$30- or \$40,000 and we would end up
14 changing it right back out after the test. It's
15 not a practical solution.

16 Q. Can you use coil tubing?

17 A. We would be restricting our flow rate
18 to a point where, first of all, we would probably
19 have problems getting bombs in and out of the
20 hole, and we would be causing a definite
21 restriction in our flow rate.

22 MR. BRUCE: Thank you, Mr. Examiner.

23 EXAMINATION

24 BY MR. STOVALL:

25 Q. I heard you testify early on that waste

1 is not an issue in this reservoir, is that
2 correct? That you're producing at the high rates
3 and it's not likely to affect ultimate recovery?

4 A. That's correct.

5 Q. So the issue is correlative rights? Is
6 allowing Marathon to produce at this rate going
7 to create the possible impairment of correlative
8 rights?

9 A. And that would be the issue to be
10 settled at a later hearing.

11 Q. Well, it's an issue. That issue exists
12 because the operations of this field are
13 currently under competitive conditions where each
14 party is competing for its share of the project?

15 A. That's correct.

16 Q. If there were a cooperative plan in the
17 field to do this, then correlative rights would
18 not be an issue, is that correct?

19 A. Correct.

20 Q. By "cooperative," that assumes that
21 people have agreed upon it and agreed upon
22 allocations, is that correct?

23 A. That's correct.

24 Q. Have you contacted the other parties at
25 all about a cooperative plan of testing?

1 A. We had some discussions about expanding
2 our test at one point, but that fell through.

3 Q. Do you know why it fell through?

4 A. No, I don't.

5 Q. Were you involved in those discussions?

6 A. Yes, I was.

7 Q. Do you see any reason why, if the
8 Division were to approve it, they couldn't
9 approve it for the pool-wide basis?

10 A. No. That would satisfy us completely.

11 MR. STOVALL: I don't think I have
12 anything else at the moment.

13 EXAMINATION

14 BY EXAMINER STOGNER:

15 Q. Mr. Kent, one point that keeps coming
16 back in my mind, you keep saying management
17 wouldn't stand for this well to be shut in, a
18 200-barrel-a-day well to be shut in to do your
19 pressure test.

20 I assume they're not stupid and realize
21 it could be shut in longer, subsequent to this
22 test, to make up overproduction?

23 A. That's correct. And that's part of
24 what we're trying to look at.

25 Q. Now, some preliminary items. Whenever

1 I look at your lease out there, I assume you have
2 adequate tank batteries, tanking facilities,
3 pipelines to hold this oil or at least pipelines
4 to hold this oil and get it off and move it and
5 sell it?

6 A. Yes, we do.

7 Q. This appears, you said, to be a
8 solution gas drive reservoir. If there's some
9 other mechanism involved out there that nobody is
10 aware of just yet, say a partial water drive,
11 could, just for the sake of this question,
12 unrestricted flow, could that do reservoir harm
13 ultimately, to some degree?

14 A. To some degree, depending on the
15 strength of the water drive. Again, as we said,
16 we don't think that that's the case.

17 Q. Now, this is just a six-month period
18 and if that scenario did exist, would a six-month
19 temporary period be of any significance to the
20 overall ultimate production from history this
21 reservoir that harm would not be done?

22 A. I think, really, that's part of the
23 key. The test period is fairly short. We don't
24 think the overproduction is excessive when
25 looking at the possible total volume of the

1 reservoir, and the possibility for significant
2 damage isn't there.

3 Q. Now, I'm using my map on Exhibit No.
4 1. You have your No. 9, 8 and 11 at this point.
5 The way I understand it, the number 18 is going
6 to be up there in the northeast of the southwest
7 quarter, is that correct?

8 A. That's correct, just slightly west of
9 the X.

10 Q. That work is being done now, correct?

11 A. That's correct. The well is being
12 drilled.

13 Q. Now, up in the northwest quarter of
14 Section 6, there are no wells presently being
15 drilled?

16 A. That's correct.

17 Q. Now, what's the maximum number of wells
18 that could be drilled up in the northwest quarter
19 of 6?

20 I'm sorry, let me rephrase that. It's
21 on 40-acres spacing, so you could drill up to
22 four wells.

23 A. That's correct.

24 Q. And how feasible is it to get four
25 wells, or one well, for that matter, on your

1 April 1st deadline, or the start of the test?

2 Could you get that many wells down?

3 A. No. Really what we're looking at, we
4 figure it's going to take us six weeks to drill
5 and complete a well. If we started today on four
6 wells, drilling simultaneously, it might be
7 possible, but that's not where we're at.

8 Q. Let me go back to the April 1st
9 commencement date. What was the reason for that
10 date?

11 A. The reason for the April 1st
12 commencement date was to allow sufficient time to
13 get the order out. We wanted to start the test
14 on the first of a month, to make it easier for
15 accounting purposes, and also to give us some
16 lead time to make any modifications that we would
17 need in the field, and to prepare for the test.

18 Q. What type of modifications?

19 A. One of the things we might have to do
20 is put in a hold plug in the bottom of the No. 11
21 well to hold a pressure-sensing element.

22 Q. I'm sorry, put in a bull plug at the
23 bottom, how would that be done?

24 A. Trip the tubing and just run in
25 adjoining tailpipe on the bottom of the packer.

1 Q. Could the smaller string of tubing be
2 ran at that time?

3 A. It would be possible to run it at that
4 time, but, as I said before, you're talking about
5 an investment of or \$30- or \$40,000 to do that.
6 And when you're going to turn around at the end
7 of the test and pull it right back out--

8 Q. Aren't you going to have to pull the
9 plug out anyway?

10 A. No. What we would do would be to run a
11 slotted piece of tailpipe and it would just be at
12 the bottom. You would set it at the bottom so it
13 wouldn't interfere with flow through the tubing
14 or fall to the bottom of the well.

15 Q. That No. 11 well, its present
16 completion, are you familiar with it?

17 A. Yes.

18 Q. Is that an old well or a new well?

19 A. It's an old well. It was originally an
20 Abo well.

21 Q. How about the tubing? Was that pulled
22 out of the hole, new tubing run back in and
23 perforated, or was your old tubing utilized?

24 A. I believe they used the tubing that was
25 in the well at the time.

1 EXAMINER STOGNER: I have no other
2 questions of Mr. Kent at this time.

3 MR. STOVALL: I do.

4 FURTHER EXAMINATION

5 BY MR. STOVALL:

6 Q. What would be the effect on the test if
7 you were limited to, say, one well?

8 A. It would eliminate the flexibility to
9 move around, if we found a more optimum well to
10 perform testing on or if we wanted to gather
11 additional data on.

12 Q. What about one well at a time?

13 A. One well at a time, I don't think,
14 would interfere with what we're doing.

15 Q. When you started the test on the 11 and
16 drilled the 18, you could study one well and then
17 study the other and still get the kind of results
18 you needed?

19 A. Most likely.

20 Q. And then that would, assuming, you
21 know, making all the assumptions, of course you
22 would have to keep your overproduction somewhere
23 in the range that you've shown on Exhibit 11,
24 rather than allowing it to multiply times the
25 number of wells, wouldn't it?

1 A. It could have that effect, yes.

2 MR. STOVALL: That's all I've got.

3 EXAMINER STOGNER: Any other questions
4 of this witness?

5 MR. KELLAHIN: No, sir.

6 EXAMINER STOGNER: If not, you may be
7 excused. Thank you.

8 Mr. Kellahin, anything further?

9 MR. KELLAHIN: That's all the evidence
10 we have to present, Mr. Examiner.

11 Exhibit No. 14, Mr. Examiner, is our
12 certificate of mailing to the operators in the
13 pool notifying them of our application, and with
14 your permission, we would propose that Exhibit 14
15 be introduced into the record.

16 EXAMINER STOGNER: Any objections?
17 Exhibit No. 14 will be admitted into evidence at
18 this time.

19 MR. CARR: Could we have about a
20 three-minute recess? We may be able to
21 substantially shorten our presentation.

22 EXAMINER STOGNER: Okay, I'll give you
23 five minutes.

24 [A recess was taken.]

25 EXAMINER STOGNER: This hearing will

1 come to order. Mr. Bruce?

2 MR. BRUCE: I'm going to pass, and have
3 you move on to Mr. Carr.

4 MR. CARR: If it please the Examiner,
5 I'm going to call Jim Ohlms for very brief
6 testimony.

7 JIM OHLMS

8 Having been first duly sworn upon his oath, was
9 examined and testified as follows:

10 EXAMINATION

11 BY MR. Carr:

12 Q. Would you state your name for the
13 record, please.

14 A. My name is Jim Ohlms.

15 Q. Would you spell your last name?

16 A. O-H-L-M-S.

17 Q. Where do you reside?

18 A. Midland, Texas.

19 Q. By whom are you employed?

20 A. Texaco Exploration & Production.

21 Q. In what capacity?

22 A. Reservoir engineer.

23 Q. Have you previously testified before
24 this Division?

25 A. No, I have not.

1 Q. Could you summarize your educational
2 background and then review your work experience
3 for Mr. Stogner?

4 A. I received a Bachelor of Science in
5 petroleum engineering from the University of
6 Missouri at Rolla in 1984, and have been
7 continuously employed by Texaco in the Permian
8 Basin since that time.

9 Q. At all times you have been employed as
10 a petroleum engineer?

11 A. Yes.

12 Q. Does your geographic area of
13 responsibility with Texaco include the
14 Vacuum-Drinkard oil pool and the surrounding
15 area?

16 A. Yes. For the last two years I have
17 been employed in Midland, Texas, as a reservoir
18 engineer for Texaco, specifically the Vacuum
19 field.

20 Q. Are you familiar with the application
21 filed in this case on behalf of Marathon?

22 A. Yes, I am.

23 Q. Are you familiar with Texaco's
24 operations in this particular pool and in the
25 surrounding area?

1 A. Yes, I am.

2 MR. CARR: We would tender Mr. Ohlms as
3 an expert witness in petroleum engineering.

4 EXAMINER STOGNER: Any objections?

5 MR. KELLAHIN: No objection.

6 EXAMINER STOGNER: Mr. Ohlms is so
7 qualified.

8 Q. Mr. Ohlms, could you briefly identify
9 what has been marked as Texaco Exhibit No. 1?

10 A. Exhibit No. 1 is basically a plat
11 showing what the Marathon exhibit showed. One
12 additional well we show is the Texaco 3 on the AB
13 lease. It's to the east of the Warn lease. That
14 well is currently being recompleted into the
15 Drinkard into Zones 1 and 2, as displayed by
16 Marathon.

17 Q. Could you just summarize Texaco's
18 concern with the Marathon proposal?

19 A. Our concern with their proposal is that
20 it will drain our lease, and the information that
21 Marathon is seeking could be found by other means
22 as Mr. Kent has already proposed.

23 Q. Now, when we talk about drainage from
24 the Texaco lease, we're talking about the tract
25 on which the No. 24 well is located?

1 A. Yes. I'm talking about the tract,
2 Texaco R NCT 3, where we recompleted the No. 24
3 well, in addition to the Texaco AB, where we're
4 recompleting the No. 3 well.

5 Q. What would Texaco's reaction be to a
6 proposal whereby only one well at a time was
7 tested?

8 A. Say if they would just agree to test
9 the No. 11 well, just that one well, we would
10 still oppose.

11 Q. And why is that?

12 A. By their own exhibit, they say they
13 still have the potential to have excess
14 production of 23,700 barrels, and Texaco would
15 still be opposed to that, again, for the problem
16 of drainage.

17 Q. In your opinion, do you believe that
18 approval of the application as proposed by
19 Marathon impair the correlative rights of Texaco?

20 A. Yes, I do.

21 Q. Was Exhibit 1 prepared by you?

22 A. It was prepared by me and under my
23 direction.

24 MR. CARR: At this time, Mr. Stogner,
25 we move the admission of Texaco Exhibit No. 1.

1 EXAMINER STOGNER: Any objections?

2 MR. KELLAHIN: No objection.

3 EXAMINER STOGNER: Exhibit No. 1 will
4 be admitted into evidence.

5 MR. CARR: That concludes my direct
6 examination of Mr. Ohlms.

7 EXAMINER STOGNER: Thank you, Mr.
8 Carr.

9 Mr. Kellahin, your witness.

10 EXAMINATION

11 BY MR. KELLAHIN:

12 Q. Mr. Ohlms, define for me "correlative
13 rights."

14 A. The opportunity to share in fair
15 production.

16 Q. Have you looked at the opportunity that
17 you have east of the project area, which would be
18 the southeast quarter of Section 6, the No. 3
19 well?

20 A. Yes. We're recompleting that this
21 week.

22 Q. Have you developed your own geologic
23 displays that you utilize for determining which
24 of these wells are target candidates for Drinkard
25 recompletions?

1 A. Our geological staffs in Midland are
2 working on such material right now. We're at the
3 beginning stage and we do not have complete
4 exhibits or maps done at this time. We're mainly
5 using existing Abo wellbores.

6 Q. You've had an opportunity to look at
7 Mr. Chapman's maps?

8 A. Yes, I have.

9 Q. Do you have any frame of knowledge or
10 information to show that any of the geologic
11 information he's displayed is inconsistent with
12 any of your interpretations?

13 A. No, I do not.

14 Q. The primary objective for the No. 3
15 well in the southwest quarter of 6 is which ones
16 of Mr. Chapman's zones?

17 A. Zones 1 and 2.

18 Q. Okay. Mr. Chapman shows no potential
19 for your No. 3 in the second zone, does he?

20 A. According to his net pay map, no.

21 Q. You said you had a concern about
22 drainage. Have you attempted to quantify, as a
23 reservoir engineer, what degree or magnitude of
24 drainage may occur if this application is going
25 to be approved?

1 A. No, we have not, because we did not
2 know the extent that Marathon intended to produce
3 their wells. We don't know the maximum rate of
4 their wells or the number that they would intend
5 to produce, so that would make it impossible for
6 us to do.

7 Q. Marathon afforded to Texaco the
8 opportunity to have this application amended, and
9 therefore extended to any well in the pool,
10 including Texaco's wells, didn't they?

11 A. As I understand, they did.

12 Q. Have you determined, for your company,
13 what kind of reservoir testing program you would
14 recommend for your wells to address the kind of
15 issues that Mr. Kent is looking for for his
16 company?

17 A. We have not addressed that as of yet.
18 We're on our second well and probably premature
19 to state if we think the reservoir is enough size
20 to put the manpower and commitment to do that.

21 Q. Do you have any indications from
22 current data what is likely to be the no-flow
23 boundary between the No. 11 well and the 24-R
24 well, as they compete for reserves?

25 A. We've established that there is a

1 reservoir that crosses the Marathon lease and, I
2 think, is in the same reservoir.

3 To quantify a no-flow boundary between
4 the two, I think it would be hard. To say there
5 is a no-flow boundary would be a hard thing to
6 say there is not.

7 Q. Can you agree with Mr. Kent's position
8 that the issue on how to treat the overproduction
9 can be postponed until after the test is
10 completed, we can quantify the volume of
11 overproduction, it will give us the tools to
12 define the size and shape of the reservoir, and
13 then we can then quantify whether or not Texaco
14 has been impacted?

15 A. No. I don't think they should get an
16 open-ended rate with an open-ended question of
17 overproduction.

18 Q. How do you address getting the
19 reservoir data if you don't exceed the depth
20 bracket allowable for the well?

21 A. As your Mr. Kent said, a pressure
22 build-up would do the same thing.

23 Q. How do you achieve the test for an
24 interference without exceeding the allowable?

25 A. Any type of pulse through a reservoir

1 going from an allowable to a lower rate, in my
2 mind, would do the same thing. Or starting at a
3 lower rate and going to an allowable rate, in my
4 mind, would do the same thing.

5 Q. Do you have any experience with
6 interference tests conducted in the Drinkard
7 reservoir?

8 A. No, I have not. But I have researched
9 interference testing for the Vacuum-San Andres
10 reservoir, and we dropped it just because of the
11 amount of wellbores. There's going to be so many
12 pulses from the other wells in the field, that to
13 actually see the pulse you're looking for, in my
14 mind, would be a hard thing to do.

15 Q. At this point, the only well that might
16 be affected by an interference test that's beyond
17 Marathon's control is the 24-R well?

18 A. And the No. 3 well.

19 Q. The PVT data that Mr. Kent introduced,
20 did you have a chance to look at that?

21 A. I browsed it briefly.

22 Q. Do you have PVT data on your 24-R well
23 for the Drinkard?

24 A. No, we don't.

25 Q. Do you have PVT data for any of the

1 Drinkard wells that you operate in this area?

2 A. To my knowledge, we have none. 24 is
3 the only active producer we have in the Drinkard
4 in this area.

5 Q. Do you have evidence to indicate that
6 this is anything other than a solution gas drive
7 reservoir?

8 A. No. But in this area, in the
9 Vacuum-San Andres, there is evidence there is a
10 partial water drive. We don't have any evidence
11 in the Drinkard, but in this area we have seen
12 partial water drives and other operators have
13 seen partial water drives in units above the
14 Drinkard.

15 Q. Do you see any significant water
16 productions in Zones 1 and 2 in the 24-R well?

17 A. As of this time we see no significant
18 water.

19 Q. That's the test zone, right?

20 A. 1 and 2, yes.

21 Q. You don't see any water production in
22 the 24-R well in those two zones?

23 A. Not significant amounts of water as of
24 this time.

25 Q. What's your reservoir explanation to

1 the extreme difference in capacities between the
2 24-R well and then the No. 11 well? I think
3 there's a range of somewhere between 80 barrels a
4 day to in excess of 300 a day. What's that tell
5 you?

6 A. It tells me that the reservoir is
7 heterogeneous. The heterogeneity of the
8 reservoir is in existence, and it's not uncommon
9 in any carbonate like this to have that happen.

10 Q. There's a real probability, then, that
11 there is not a connection between the 24-R and
12 the 11 well?

13 A. In the more defined porosity zones, you
14 almost always see a connection, at least in some
15 of the more developed porosity zones.

16 Q. And if there is a connection, the
17 reservoir ought to be large enough that if
18 Marathon overproduces the allowable and it shows
19 an adverse effect on you, you'll have the chance
20 to make up the difference?

21 A. We have the chance, but not the
22 guarantee at this time.

23 Q. What's your evaluation of the Exxon
24 tract to the south?

25 A. I have no evaluation of that. Just the

1 maps I saw today is the only thing that I have,
2 and I wouldn't want to make any comments from
3 that.

4 Q. Do you have any estimates on the 24-R
5 well as to ultimate oil recovery?

6 A. Not at this time. We placed the well
7 on pump recently, so we haven't established a
8 decline yet to say what our recovery is going to
9 be.

10 Q. You don't have a flowing well for this
11 one?

12 A. It came in flowing, but we put it on
13 pump in order to increase production.

14 Q. You haven't calculated, then, any
15 ultimate oil recovery from the well?

16 A. No. It came on pump in the last few
17 weeks, and it's premature to do that at this
18 time.

19 Q. Have you established any kind of
20 forecast of what you think is going to be the
21 recovery of hydrocarbons from the well?

22 A. No, I have not.

23 Q. What is the pressure relationship
24 between the 24 well and the No. 11 well?

25 A. We do not have a bottom hole pressure

1 of the 24 well, so I don't know how that relates
2 to the pressure in the No. 11 well. I would
3 assume they're near the same pressure.

4 Q. You don't have any pressure information
5 on your well?

6 A. No, we don't. As I said, we just
7 recently put it on pump.

8 Q. When we turn to the No. 3 well in the
9 southwest quarter of 6, do you have any
10 information on the current status of that well?

11 A. They treated the upper zone early this
12 week and after the acid job they swabbed 60
13 percent oil from the No. 1 zone, and they're
14 completing in the No. 2 zone separately, as we
15 speak.

16 Q. You isolated your completion attempts
17 so you've tested the No. 1 zone differently from
18 the No. 2?

19 A. A swab test. It wasn't more of an
20 attempt to get back the acid load than to do it
21 by test, but but at the end of the swab we were
22 getting 50 to 60 percent oil cut.

23 Q. Out of which zone?

24 A. Zone 1.

25 Q. Do you have any difference of opinion

1 with Mr. Chapman as to his nomenclature for
2 zoning the Drinkard and making different zones
3 out of the Drinkard?

4 A. No. I don't know what our geologists
5 are going to call the zones, but we identify
6 different zones of the Drinkard, as well. If
7 they relate to the Marathon zones, I don't know.

8 Q. I don't want to confuse the record in
9 terms of talking about Zones 1 and 2, with
10 regards to what I've learned from Mr. Chapman, if
11 you're not using the same vocabulary.

12 A. All I know is, the zones were completed
13 in 24 are clued to the Zones 1 and 2, that the
14 No. 11 well is called. The break point between 1
15 and 2, I don't know if that's the same, or if the
16 entire zone is the same.

17 Q. What's your estimates of the potential
18 from the No. 3 well on any zone?

19 A. It's too early to say. Just a
20 couple-hour swab test is all we have.

21 Q. Any preliminary indications from the
22 field that you've got a very tight portion of the
23 reservoir in that wellbore?

24 A. In talking to the production foreman,
25 no.

1 MR. KELLAHIN: No further questions.
2 Thank you.

3 EXAMINER STOGNER: Thank you, Mr.
4 Kellahin.

5 Mr. Bruce?

6 MR. BRUCE: No questions.

7 EXAMINER STOGNER: Mr. Carr, any
8 redirect?

9 MR. CARR: No, sir.

10 EXAMINER STOGNER: I have no questions
11 of this witness. You may be excused.

12 Mr. Kellahin, I have an additional
13 question for Mr. Kent. I would like to recall
14 him.

15 CRAIG KENT

16 Having been previously duly sworn upon his oath,
17 was recalled and testified further as follows:

18 EXAMINATION

19 BY EXAMINER STOGNER:

20 Q. Mr. Kent, do you have any information
21 or perhaps any case studies or similar testing,
22 like you're proposing at this point, where a
23 similar type of setting has occurred before, in
24 this area in particular?

25 A. No, I don't, but these are all common

1 tests that are run every day.

2 Q. For what length of time?

3 A. The length of time? On, particularly,
4 the draw-down tests and build-up tests, to get
5 the proper amount of data is a relationship to
6 the permeability of the reservoir.

7 Q. If it's done every day, I don't know
8 why you guys are here at the hearing today.
9 That's what I'm trying to comprehend myself. If
10 it's a test that's done every day, why are you
11 here?

12 A. Because we want the ability to do these
13 tests at rates above the depth bracket allowable.

14 Q. So it's not done every day, then? The
15 type of test is, but because you're going over
16 the--

17 A. The design of the test, the exact
18 rates, probably not every day. The types of
19 tests are very common.

20 Q. Okay. This is relatively new or, I'm
21 sorry, not relatively new, but relatively
22 unknown, at least from the regulatory standpoint
23 in New Mexico and MER. I understand it's done
24 quite regularly in other states, MER tests and
25 MER-type requirements in Texas. Are you familiar

1 with those?

2 A. No, I'm not.

3 Q. At least I thought they were.

4 A. I've heard of them. I've never been
5 involved with them in Texas.

6 EXAMINER STOGNER: Okay. That's all
7 the questions I have.

8 MR. STOVALL: I have one.

9 EXAMINATION

10 BY MR. STOVALL:

11 Q. In terms of how you deal with the
12 overproduction at the end of the period, is it
13 your anticipation that Marathon would be required
14 to come back to a hearing at that time and state
15 its position?

16 A. That's my understanding, that we would
17 be required to come back to a hearing and prove
18 something to the Division.

19 Q. Another alternative would be to have an
20 order that says you will make up underproduction,
21 but give you the option to come back to the
22 hearing to request alternative relief?

23 A. Could be.

24 Q. You just want to be able to figure out
25 something when you're through, is that right?

1 A. That's right.

2 EXAMINER STOGNER: Any other
3 questions?

4 MR. KELLAHIN: No, sir.

5 EXAMINER STOGNER: You may be excused.
6 Anything further, other than closing statements?

7 Mr. Bruce, I'll let you go first; Mr.
8 Carr; and then Mr. Kellahin.

9 MR. BRUCE: Mr. Examiner, Marathon has
10 one well, the No. 11 well, completed in the
11 Drinkard, capable of producing up to 400 barrels
12 of oil a day. It's also drilling a No. 18 well,
13 in the belief that it will be similar to the No.
14 11 well. It has also proposed up to four
15 additional wells in the northwest quarter of
16 Section 6, and I would point out that those wells
17 proposed in the northwest quarter of Section 6,
18 by Marathon, are in areas with reservoir
19 qualities similar to that in Exxon's acreage,
20 based on Marathon's own geology.

21 Simply put, Exxon believes Marathon's
22 proposal is unnecessary. Marathon has admitted
23 it can obtain the same data it needs by producing
24 at statewide top allowable and by conducting a
25 pressure build-up test. The problem is,

1 apparently, that Marathon's management doesn't
2 want to shut well in the well for six to eight
3 weeks. However, Marathon's engineer has
4 testified that the No. 11 well is capable of
5 making up any underproduction and, thus, Marathon
6 will certainly suffer no economic harm in that
7 well.

8 Because this test is absolutely
9 unnecessary, Exxon requests that the application
10 be denied. Alternatively, Exxon requests that if
11 a special testing allowable is granted by the
12 Division, then Marathon should be required at
13 this time to make up overproduction immediately
14 following the test period.

15 Marathon's wells won't be harmed by
16 shutting them in, and Marathon will suffer no
17 economic loss. Any other result gives Marathon
18 an unfair advantage over offsetting owners by
19 allowing--we're not certain, but certainly 24,000
20 barrels of overproduction per well, and we
21 believe it will impair the correlative rights of
22 offset owners. Thank you.

23 EXAMINER STOGNER: Thank you, Mr.
24 Bruce. Mr. Carr.

25 MR. CARR: May it please the Examiner,

1 Marathon is before you seeking a testing
2 allowable for a project area which is comprised
3 of its lease in the west half of Section 6.
4 Their testimony today shows they want to go and
5 run certain tests, primarily in Zone 2, and they
6 believe to effectively run these tests, or they
7 at least assert to effectively run these tests,
8 they have to virtually be able to produce wells
9 at their capacity.

10 Texaco opposes this proposal. We
11 believe what Marathon is asking you to do is, in
12 essence, to write them a blank check, and I think
13 that's supported by just the things we don't
14 know.

15 We don't know how many wells they want
16 to produce. Certainly the No. 11, but maybe as
17 many as six, because Mr. Kent says they have four
18 more locations, perhaps, in the northwest. We
19 don't know how long the tests are going to be.
20 We don't know exactly what the duration will be,
21 because even though they say they can estimate
22 maximum excess production, they really don't want
23 to be held to that number.

24 So what they're asking you to do is
25 say, well, if we do one, it could be 23,700, but

1 it might be six. We don't know, but we would
2 like you to tell us it's all right to go ahead
3 and do this because our management doesn't want
4 us to do what other people do, shut these things
5 in and run a build-up test. We would rather be
6 way overproduced than do this like other
7 operators would do it.

8 And then they come in here and we have,
9 starting with the opening statement and kind of
10 woven throughout the case, statements like,
11 "Well, we could balance the ledger later."

12 All Texaco, and I believe all Exxon is
13 asking, is for a statement--not that they could
14 balance it, but that they will. That's the first
15 and most critical point.

16 We're sitting with wells in correlative
17 zones, and they're coming in here and saying, "We
18 don't want to shut it in. We want to overproduce
19 by thousands and thousands and tens of thousands
20 of barrels, since we don't want to overproduce.
21 And we would like to get some data."

22 And then they come before you and Mr.
23 Kent will say, "Well, we don't see any dramatic
24 effect on Texaco's leases." I don't know what
25 "dramatic" is, but we think there's a potential

1 here of drainage as Mr. Ohlms testified.

2 But they ask you to authorize it. They
3 say, "Well, there might be a partial water drive
4 in the reservoir and there might be some sort of
5 damage, but it's probably unlikely." But you
6 see, we don't know, so that threat is out there
7 as well.

8 Then, as we get through the direct
9 presentation, we have Mr. Kellahin tell you that
10 without this, Mr. Stogner, well, we'll just have
11 to resort to competitive depletion.

12 What we submit to you is that with it,
13 we get to noncompetitive depletion authorized by
14 you. We don't get any data that we couldn't get
15 otherwise. All we get is Marathon being
16 authorized to produce this reservoir at an
17 accelerated rate.

18 It will impair correlative rights, it
19 will cause waste, it should be denied, and if
20 they really want data to go forward and develop
21 this in a prudent fashion, they have the
22 opportunity to do it, just like we could, by
23 shutting in our well and running a build-up
24 test. We request you deny the application.

25 EXAMINER STOGNER: Thank you, Mr.

1 Carr. Mr. Kellahin.

2 MR. KELLAHIN: I don't know what we're
3 niggling over, Mr. Examiner. I'm dumbfounded by
4 the level of opposition. I don't know how to do
5 this any other way.

6 Time and time again the Applicant comes
7 before you to do something special before you,
8 and they don't have a clue about the reservoir.
9 There's not one shred of reservoir science
10 applied to what they're seeking to do.

11 We come before you trying to establish
12 a number of key elements that are necessary for
13 Mr. Kent and Mr. Chapman to do a good science
14 project in this area. We are locked up against
15 the depth bracket allowable that stands in the
16 way of getting the reservoir data.

17 I don't know what's wrong with getting
18 the data and then determining whether or not
19 there is a correlative rights issue. There is
20 substantial data before you right now to show you
21 now there's no reservoir waste issue. The PVT
22 data nails that cold.

23 This is not going to be anything other
24 than a solution gas drive reservoir. There's no
25 rate sensitivity to the reservoir. We're simply

1 niggling over competitive positions and
2 correlative rights.

3 Look at the Exxon position. What is
4 their share of the reservoir? Mr. Chapman, with
5 all his months of experience and detailed effort
6 shows they have no correlative rights at risk.
7 There's nothing to worry about with regards to
8 Exxon.

9 Thank you very much for the lawyers
10 helping us design our reservoir study program,
11 but we think we've got a better reservoir
12 engineer than those two lawyers to tell us how to
13 do it. And all he's asking for it the
14 opportunity.

15 And it is not a blank check. What
16 we're simply saying is, the overproduction
17 becomes an issue after we have the data, and then
18 we can decide if there was any effect on Texaco
19 or Exxon. We'll have the data. We may find the
20 reservoir is big enough that it doesn't matter if
21 we started getting our share before Exxon. It
22 may be so small that we've fully depleted the
23 reservoir and there is no issue. We are just
24 guessing.

25 Let's not guess. Let's put some

1 science behind the project. You put your finger
2 on what this is. Part of the process is an MER.
3 Now, Mr. Kent, has not been involved in any MER
4 cases in Texaco, but they happen on a routine
5 basis, and this is exactly how they go about
6 doing it. You give them a special allowable,
7 they produce the oil at different rates and see
8 what the optimum rate of production ought to be.
9 That's what we're trying to do.

10 We would like to have the science
11 available to him, apart from the build-up, to run
12 interference tests and step-rate tests, which we
13 need exceptions from the depth bracket allowable
14 in order to accomplish.

15 I don't know what's wrong with some
16 good science here. I think it's warranted, and
17 you ought to grant the application. This has got
18 lots of checks and balances for you. It's not a
19 decision that you can't change later by adjusting
20 the correlative rights, and we think it's an
21 appropriate thing to do.

22 We would request that you grant our
23 application.

24 EXAMINER STOGNER: Does anybody else
25 have anything further in Case No. 10627? If not,

1 this case will be taken under advisement.

2 And, with that, hearing adjourned.

3 (And the proceedings concluded.)

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

I do hereby certify that the foregoing is
a complete record of the proceedings in
the Examiner hearing of Case No. 10667
heard by me on 18 February 19 93.
Robert E. Hagan, Examiner
Oil Conservation Division

1 CERTIFICATE OF REPORTER

2
3 STATE OF NEW MEXICO)
4 COUNTY OF SANTA FE) ss.
5

6 I, Carla Diane Rodriguez, Certified
7 Court Reporter and Notary Public, HEREBY CERTIFY
8 that the foregoing transcript of proceedings
9 before the Oil Conservation Division was reported
10 by me; that I caused my notes to be transcribed
11 under my personal supervision; and that the
12 foregoing is a true and accurate record of the
13 proceedings.

14 I FURTHER CERTIFY that I am not a
15 relative or employee of any of the parties or
16 attorneys involved in this matter and that I have
17 no personal interest in the final disposition of
18 this matter.

19 WITNESS MY HAND AND SEAL March 4, 1993.
20

21
22 
23 CARLA DIANE RODRIGUEZ, RPR
24 CCR No. 4
25