

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

STATE OF NEW MEXICO
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
OIL CONSERVATION DIVISION


IN THE MATTER OF THE HEARING)
CALLED BY THE OIL CONSERVATION)
DIVISION FOR THE PURPOSE OF)
CONSIDERING:)
APPLICATION OF CONOCO, INC.) CASE NO. 10677
-----)

REPORTER'S TRANSCRIPT OF PROCEEDINGS
EXAMINER HEARING

BEFORE: David R. Catanach, Hearing Examiner
March 4, 1993
Santa Fe, New Mexico

This matter came on for hearing before the Oil Conservation Division on March 4, 1993, at 10:36 a.m. at the Oil Conservation Division Conference Room, State Land Office Building, 310 Old Santa Fe Trail, Santa Fe, New Mexico, before Freda Donica, RPR, Certified Court Reporter No. 45, for the State of New Mexico.

ORIGINAL



1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

I N D E X

March 4, 1993
Examiner Hearing
CASE NO. 10677

PAGE
3

APPEARANCES

CONOCO'S WITNESSES:

BILL HARDIE

Direct Examination by Mr. Kellahin 4
Examination by Examiner Catanach 19

REPORTER'S CERTIFICATE

22

* * *

E X H I B I T S

	ID	ADMTD
1 - Structure Map	5	19
2 - Plat Map	8	19
3 - Structure Map	10	19
4 - Isopach Map	12	19
5 - Cross Section	14	19
6 - Structure Map	15	19
7 - Acreage Dedication/Well Location Diagram	18	19
8 - Certificate of Mailing	18	19
9 - Letter Agreement with Yates Petroleum	19	19

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

A P P E A R A N C E S

FOR THE DIVISION: ROBERT G. STOVALL, ESQ.
 General Counsel
 Oil Conservation Commission
 State Land Office Building
 310 Old Santa Fe Trail
 Santa Fe, New Mexico 87501

FOR THE APPLICANT: KELLAHIN & KELLAHIN
 117 N. Guadalupe
 Santa Fe, New Mexico
BY: THOMAS KELLAHIN, ESQ.

1 EXAMINER CATANACH: At this time we'll call
2 Case 10677.

3 MR. STOVALL: Application of Conoco, Inc.
4 for an unorthodox gas well location, Eddy County, New
5 Mexico.

6 EXAMINER CATANACH: Are there appearances
7 in this case?

8 MR. KELLAHIN: Mr. Examiner, I'm Tom
9 Kellahin of the Santa Fe law firm of Kellahin &
10 Kellahin appearing on behalf of the applicant, and I
11 have one witness to be sworn.

12 EXAMINER CATANACH: Any other appearances?
13 Will you please swear in the witness, Mr.
14 Stovall?

15 MR. STOVALL: It would be my pleasure.

16 EXAMINER CATANACH: Thank you.

17 (Witness sworn.)

18 BILL HARDIE

19 the witness herein, after having been first duly sworn
20 upon his oath, was examined and testified as follows:

21 EXAMINATION

22 BY MR. KELLAHIN:

23 Q. Mr. Hardie, would you please state your
24 name and occupation?

25 A. Bill Hardie. I'm a geologist with Conoco,

1 Inc. in Midland, Texas.

2 Q. Do you spell your last name with an i-e and
3 not a y?

4 A. That is correct.

5 Q. On prior occasions, Mr. Hardie, have you
6 testified as a petroleum geologist before the
7 Division?

8 A. I have.

9 Q. Your prior testimony has included geologic
10 conclusions and evidence concerning the South Dagger
11 Draw Pool in New Mexico?

12 A. That is correct.

13 Q. And you're appearing here again today on
14 that pool?

15 A. That is correct.

16 MR. KELLAHIN: We tender Mr. Hardie as an
17 expert petroleum geologist.

18 EXAMINER CATANACH: He is so qualified.

19 Q. (By Mr. Kellahin) Mr. Hardie, let me ask
20 you to turn your attention to Exhibit Number 1.
21 Before we talk about the details of your conclusion,
22 tell us what your objective is. What do you want to
23 do?

24 A. Conoco is requesting an unorthodox location
25 in its Preston Federal Number 5 so that we can test

1 the Morrow Formation. The primary objective for the
2 Preston Federal Number 5 is not the Morrow Formation,
3 but rather the Cisco, the shallower Cisco Formation.
4 And this well is, in fact, a development well in the
5 South Dagger Draw-Upper Penn Pool. It is at a
6 standard location for that pool. Unfortunately, due
7 to the excessive risks of Morrow development out here,
8 the only way that it can be done economically is as an
9 extension on a Cisco well. It takes about 1600 extra
10 feet of drilling to reach the Morrow. And our
11 testimony and exhibits today will show that it is not
12 possible to -- it is not possible at a standard Morrow
13 location to also maximize our opportunity in
14 developing the Cisco Formation. And that is why we
15 are requesting an unorthodox location in order to test
16 the Morrow.

17 Q. Using Exhibit Number 1 as an illustration,
18 show us the spacing unit you propose to utilize, not
19 only in the South Dagger Draw Upper Pennsylvanian
20 Pool, but for the Morrow gas pool if you're successful
21 in that formation.

22 A. Both the Cisco and the Morrow will be
23 tested with the proposed well, the Preston Federal
24 Number 5, and that well will be dedicated to a
25 320-acre proration unit which comprises the east half

1 of Section 34 and is shown by the dashed black line in
2 that east half.

3 Q. On this display have you spotted the
4 proposed location for the Preston 5 Well?

5 A. I have. It's shown by the open red circle
6 in the southeast quarter of Section 34. And the
7 footage on that is 840 feet from the south line, 1980
8 feet from the east line.

9 Q. What's the purpose of the four green
10 squares?

11 A. The green squares indicate all of the
12 possible standard Morrow locations for that 320-acre
13 proration unit.

14 Q. When we look at the surface topography for
15 that spacing unit and for those four standard
16 locations, what have you concluded?

17 A. As you can see, Box Canyon Draw, as
18 indicated by the dashed blue line, runs through the
19 middle of those four standard Morrow locations. That
20 would condemn at least two of those green boxes, not
21 all of them. I think the remaining exhibits that we
22 have to show will demonstrate that, if we were to
23 drill a Cisco well at any of those standard Morrow
24 locations, we would encounter insufficient reservoir
25 at the Cisco horizon.

1 Q. You've provided a point of reference on
2 this display and captioned it, "Western Limit of Cisco
3 Fairway"?

4 A. That is correct.

5 Q. What does that mean?

6 A. That indicates the end of the Cisco
7 dolomite reservoir. In other words, the reservoir
8 exists only south and to the east of that line. We
9 will further substantiate that in the later exhibits.

10 Q. Let's turn now to Exhibit Number 2.
11 Identify and describe this display.

12 A. Exhibit Number 2 is simply a plat map
13 showing, first of all, Conoco's 100 percent working
14 interest acreage in solid yellow, our partial interest
15 acreage in crosshatched yellow. Also shown are all
16 of the Cisco and Morrow penetrations by the various
17 well symbols. The 320-acre proration unit to which
18 the proposed well will be dedicated is shown by a
19 dashed red line. We are also showing all of the
20 offset operators which would be affected and are
21 adjacent to this proration unit. Other than Conoco,
22 the only operator that would be affected is Yates
23 Petroleum.

24 Q. When we look at Yates Petroleum interest in
25 Section 34, they are the operator of the west half of

1 34?

2 A. That is correct.

3 Q. And you're standard in the Morrow as to
4 that boundary towards that operator?

5 A. We are standard. We are 660 feet from that
6 boundary. So the only encroachment that we are
7 proposing is toward the south.

8 Q. When you look at Section 35, that is an
9 odd-sized section, is it not?

10 A. That is correct.

11 Q. The hatched area represents an ownership
12 for that portion of 35 between what parties?

13 A. Between Conoco and Yates Petroleum. We own
14 slightly more than half of the interest in that
15 acreage. They own the rest.

16 Q. Have you discussed your well proposal and
17 its unorthodox location in the Morrow with
18 representatives of Yates Petroleum Corporation?

19 A. We have done that.

20 Q. And what was the result of those
21 conversations?

22 A. We agreed that we would not contest a
23 similarly unorthodox location should they wish to
24 drill one in the west half of Section 34. "Similarly
25 unorthodox" meaning that it encroaches on our acreage

1 no more than ours encroaches upon their acreage.

2 Q. In exchange for that agreement, has Yates
3 waived objection, as you know it, for your location?

4 A. They have done that.

5 Q. Let's turn now, sir, and look at the Cisco
6 maps. Have you prepared for illustration for the
7 Examiner a geologic display for the Cisco?

8 A. I have.

9 Q. Turning to Exhibit 3, identify that for
10 us.

11 A. Exhibit Number 3 is a structure map on the
12 top of the Cisco dolomite reservoir. And the reason I
13 prepared this exhibit was to show the detrimental
14 effects of us moving our proposed Preston 5 location
15 toward an orthodox Morrow location. The contour
16 interval here is in 50-foot increments. This map
17 shows a general northeast direction of depth for the
18 top of the reservoir so that the highest portion of
19 the reservoir is down here on the southwest end of the
20 map, the lowest portion is up towards the northeast
21 end of the map.

22 Q. On the display there's a green dotted line
23 and it says, "Limit of Cisco Oil Production." What
24 does that represent?

25 A. That represents the transition from the oil

1 column into the gas cap for this reservoir. As you
2 can see, most of the wells in the northeast end of
3 this map are oil wells. As we move to the southwest,
4 you see that all the wells are gas wells. That line
5 indicates that transition from the oil column into the
6 gas cap.

7 Q. Identify for us on this display the well
8 identification for gas wells that would be classified
9 as South Dagger Draw-Upper Pennsylvanian gas wells.
10 Do we have any on this display?

11 A. I'm sorry, I don't understand your
12 question.

13 Q. The identity of the gas wells on this
14 display, you've got gas well symbols?

15 A. That is correct.

16 Q. Are those Morrow gas well symbols, or do
17 they represent gas wells in the South Dagger
18 Draw-Upper Pennsylvanian gas pool?

19 A. All of the gas well symbols that you see
20 that are within the confines of the dolomite
21 reservoir, as indicated by the heavy red lines, all of
22 those gas wells symbols indicate production from the
23 Cisco reservoir, with the exception of one well, and
24 that is the Preston Federal Number 6, which is in the
25 northeasternmost corner of Section 35. And that well

1 is producing from the Morrow Formation. This is a
2 Morrow gas well.

3 Q. Do you have an estimate of the vertical
4 distance of structure that is gained between the
5 closest standard location in 34 to the proposed
6 location for the Preston 5?

7 A. Yes. The closest standard location for the
8 Morrow would be north -- about 300 feet north of that
9 Smith Number 1 Well in the southeast corner of Section
10 34. The difference in elevation between our proposed
11 location and that closest orthodox Morrow location is
12 between 20 and 50 feet. We would lose about 20 to 50
13 feet of structural elevation by moving toward the
14 orthodox Morrow location.

15 Q. Is that of significance to you as a
16 geologist?

17 A. It is. And if it is 50 feet of elevation
18 difference, that's 50 feet of lost pay.

19 Q. Have you prepared an isopach map of this
20 Cisco dolomite in the South Dagger Draw-Upper
21 Pennsylvanian Pool?

22 A. I have; that's Exhibit Number 4.

23 Q. Identify and describe this display.

24 A. Exhibit Number 4 is simply an isopach map
25 of the dolomite reservoir of the Cisco Formation.

1 There are -- there's a range of thickness here from
2 zero at its outer flanks upwards -- a thicknesses of
3 400 feet at its core. As you can see, the Preston
4 Federal Number 5 at its proposed location, we
5 anticipate encountering approximately 240 feet of
6 dolomite reservoir at that location. Were we to move
7 that location to the north toward an orthodox Morrow
8 location, the estimated thickness we would encounter
9 would be between 100 and 150 feet of thickness.
10 That's a loss of approximately 150 feet of reservoir.
11 And that is a significant loss.

12 Q. In determining the optimum location for the
13 Cisco penetration in the east half of 34, why have you
14 not moved farther east and south for the Preston 5
15 location?

16 A. Our location was based on three factors.
17 We wanted to gain the maximum structural advantage
18 that we could. We wanted to gain the maximum
19 thickness in the reservoir that we could for the
20 Cisco. And, thirdly, we wanted to stay far enough
21 from that Preston Federal Number 1 Well, the west half
22 of Section 35, to avoid potential depletion or
23 drainage. That well has been producing from the Cisco
24 for almost 20 years and has cum'd almost four BCF of
25 gas. The drainage radius on that, although it is not

1 -- it's -- we don't have it precisely nailed down, we
2 feel like we could minimize our risk of depletion by
3 staying far enough away from that well. That is why
4 we placed the Preston 5 at its current location as
5 proposed.

6 Q. Do you anticipate the Preston 5 to be a gas
7 well in the Cisco pool?

8 A. We do.

9 Q. How do you propose to drill the well to
10 test the opportunity in the Cisco as well as the
11 Morrow?

12 A. We would drill the well to test the Cisco.
13 We anticipate encountering the top of the Cisco
14 Formation at about 7500 feet, the base at about 8200
15 feet. From there we would continue drilling until we
16 reached the base of the Morrow, about 9650 feet. If
17 we find reserves, or economic reserves, in the Morrow,
18 we would then dually complete the well as a Cisco
19 gas-Morrow gas well.

20 Q. Let's turn now to the cross section, which
21 is Exhibit 5.

22 A. Exhibit 5 was included in order to further
23 document that abrupt truncation of the dolomite
24 fairway between the Number 1 Smith Well and the Number
25 2 Preston Well. On the exhibit you can see the

1 location of the cross section over on the right-hand
2 side with the index map. It passes from the Mohave 1,
3 through our proposed Preston 5 location, into the
4 Smith 1 and the Number 2 Preston in a
5 northwest-southeast orientation. The purple shaded
6 area on the cross section itself indicates the Cisco
7 dolomite reservoir.

8 As you can see, between the Number 1 Smith
9 and the Number 2 Preston Fed Well on the left-hand
10 side of the cross section, the dolomite fairway
11 truncates abruptly. And it goes from 240 feet of
12 thickness in the Number 1 Smith to zero feet in the
13 Number 2 Preston. All of the available orthodox
14 Morrow locations lie between those two wells. And you
15 can see for yourself the kind of risk we would be
16 facing by trying to encounter economic Cisco reserves
17 between those two wells.

18 Q. Let's turn now, Mr. Hardie, to your mapping
19 of the Morrow. Would you identify for us Exhibit
20 Number 6?

21 A. Exhibit Number 6 is a structure map on the
22 top of the Morrow clastics. This is the map which we
23 are using to justify taking our Cisco well deeper and
24 testing the Morrow as well. The horizon that I've
25 mapped here occurs in the lower portion of the Morrow

1 Formation and, typically, it occurs right above an
2 interval in which we would expect to find Morrow
3 channel sands, if they were going to be present.

4 Q. Give us your geological description of the
5 deposition of the Morrow as it affects this area.

6 A. That interval which I described, when you
7 find a Morrow reservoir in there, it is invariably
8 known as a distributary channel sand. Typically,
9 these can be between, say, ten and 50 feet in
10 thickness, typically, a very clean, well-sorted sand
11 with a porosity ranging between eight and 16 percent.

12 Q. What are the critical well control points
13 for helping you locate the Morrow channel as it may be
14 present in Section 34?

15 A. The various wells that have actually
16 penetrated the Morrow are highlighted on this map in
17 red. And those provide me with the control for this
18 map. Our basis for wanting to take the Preston 5 on
19 down to the Morrow is from the prominent east-west
20 trending structural nose that you can see running
21 through Sections 34, 35, and 36.

22 Q. What is the orientation of this Morrow
23 channel that's your target in relation to that
24 structure?

25 A. We believe that it parallels that

1 structure, that these channels tend to run
2 perpendicular to structural striate and, in that case,
3 it would be generally in an east-west direction.

4 Q. Do you have an example of a wellbore in
5 this area that is actually produced from the Morrow
6 channel that you've targeted for the Preston 5 Well?

7 A. Yes. Conoco used this same map to take the
8 Preston Federal Number 6 down to the Morrow. That's
9 in the northeasternmost corner of Section 35. The
10 Preston Federal Number 6 encountered 30 feet of clean,
11 well-sorted channel sand in the Morrow and is
12 currently completed in that formation. Our Preston
13 Number 5 is simply an attempt to find the updip limit
14 of this same channel.

15 Q. North of your location, the Preston 2 Well
16 was also an attempt in the Morrow channel?

17 A. And it was dry.

18 Q. And south of the location, when you pick up
19 the Mohave 1 in Section 35, what happened with that
20 well in the Morrow?

21 A. The Mohave 1, which was drilled by Yates
22 Petroleum, was -- tested Morrow Formation and tested
23 it as dry as well. It was then recompleted as a Cisco
24 gas well.

25 Q. What does that information cause you to

1 conclude as a geologist?

2 A. That our Preston 5 location, at least in
3 terms of a Morrow test, is extremely risky. We're
4 drilling between two dry holes, and we feel that the
5 only way we can test the Morrow economically, because
6 of that extreme risk, is as an extension on our Cisco
7 well.

8 Q. It would be your hope that you're going to
9 find a southwest continuation of a channel that's
10 productive in the Preston 6 Well?

11 A. That is correct.

12 Q. Identify and describe for us Exhibit Number
13 7.

14 A. Exhibit Number 7 is an acreage dedication
15 and well location diagram showing the staked location
16 of our proposed Preston Federal Number 5. It's 840
17 feet from the south line, 1980 feet from the east
18 line.

19 Q. Were all the geologic displays prepared by
20 you, Mr. Hardie, or complied under your direction and
21 supervision?

22 A. That is correct.

23 MR. KELLAHIN: Mr. Examiner, Exhibit Number
24 8 is our Certificate of Mailing in compliance with the
25 Division notice rules that show that the Yates

1 entities have been notified concerning our request.
2 We would at this time move the introduction of
3 Exhibits 1 through 8.

4 EXAMINER CATANACH: Exhibits 1 through 8
5 will be admitted as evidence.

6 MR. KELLAHIN: That concludes my
7 examination of Mr. Hardie.

8 EXAMINER CATANACH: With regards to the
9 waiver obtained by Yates, is that on behalf of all the
10 Yates entities?

11 MR. KELLAHIN: I believe that's our
12 representation from Kathy Porter. We do not have a
13 written document to verify that.

14 THE WITNESS: The agreement we reached with
15 Yates Petroleum was over the phone, and we confirmed
16 that agreement in a letter that we wrote to Yates
17 Petroleum.

18 MR. KELLAHIN: I have overlooked an
19 exhibit. I think you may have it in your package.
20 It's Exhibit 9, which is Conoco's effort to reduce the
21 agreement to a written document between Yates and its
22 entities and Conoco.

23 EXAMINER CATANACH: All right. We'll enter
24 that as Exhibit Number 9.

25 Mr. Hardie, what geologic evidence have you

1 used to determine that the structural nosing in the
2 Morrow Formation is present?

3 THE WITNESS: That's -- a lot of it -- the
4 evidence is fairly slim, which adds to a lot of the
5 risk. As you can see, our well control is not great.
6 We do not have any seismic data out here either. But
7 the various tops that I have picked in those wells, as
8 shown in red, do tend to illustrate that there is a
9 nose trending through there. We feel like when there
10 is a thick sand developed in that lower Morrow
11 interval that it will push the top of the Morrow
12 clastic up so that it's not really a structure so much
13 as it is an indication of underlying sands.

14 EXAMINER CATANACH: The closest Morrow
15 production would be in Section 35?

16 THE WITNESS: Yes, sir. The Preston
17 Federal Number 6 was completed about two weeks ago,
18 had a calculated open-hole flow of, I think, 31.2
19 million per day.

20 EXAMINER CATANACH: When you hit them, you
21 hit them good.

22 THE WITNESS: That's right. If you miss
23 them, there's nothing at all.

24 EXAMINER CATANACH: I don't have anything
25 else. There being nothing further in this case, Case

1 10677 will be taken under advisement.

2 (The foregoing hearing was adjourned at the
3 approximate hour of 11:00 a.m.)
4
5
6
7
8
9
10
11
12
13
14

I do hereby certify that the foregoing is
a complete record of the proceedings in
the Examiner hearing of Case No. 10677,
heard by me on March 4 1983.
David Catant, Examiner
Oil Conservation Division

15
16
17
18
19
20
21
22
23
24
25

1 STATE OF NEW MEXICO)


2 :

3 COUNTY OF SANTA FE)

4 I, FREDA DONICA, RPR, a Certified Court
5 Reporter, DO HEREBY CERTIFY that I stenographically
6 reported these proceedings before the Oil Conservation
7 Division; and that the foregoing is a true, complete
8 and accurate transcript of the proceedings of said
9 hearing as appears from my stenographic notes so taken
10 and transcribed under my personal supervision.

11 I FURTHER CERTIFY that I am not related to nor
12 employed by any of the parties hereto, and have no
13 interest in the outcome hereof.

14 DATED at Santa Fe, New Mexico, this 26th
15 day of March, 1993.

16 
17 Freda Donica
18 Certified Court Reporter
19 CCR No. 45
20
21
22
23
24
25