

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

NEW MEXICO OIL CONSERVATION DIVISION
STATE LAND OFFICE BUILDING
STATE OF NEW MEXICO
CASE NO. 10923

IN THE MATTER OF:

The Application of Marathon Oil Company
for a High Angle/Horizontal
Directional Drilling Pilot Project,
Special Operating Rules Therefor, and
an Unorthodox Producing Interval,
Eddy County, New Mexico.

BEFORE:

DAVID R. CATANACH
Hearing Examiner
State Land Office Building
March 3, 1994

REPORTED BY:

APR 12 1994

CARLA DIANE RODRIGUEZ
Certified Shorthand Reporter
for the State of New Mexico

ORIGINAL

A P P E A R A N C E S

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

FOR THE NEW MEXICO OIL CONSERVATION DIVISION:

ROBERT G. STOVALL, ESQ.
General Counsel
State Land Office Building
Santa Fe, New Mexico 87504

FOR THE APPLICANT:

KELLAHIN & KELLAHIN
Post Office Box 2265
Santa Fe, New Mexico 87504-2265
BY: **W. THOMAS KELLAHIN, ESQ.**

-and-

MARATHON OIL COMPANY
Post Office Box 552
Midland, Texas 79702
BY: **DOW CAMPBELL, ESQ.**

I N D E X

		Page Number
1		
2		
3	Appearances	2
4	WITNESSES FOR THE APPLICANT:	
5	1. <u>KURT MILLER</u>	
6	Examination by Mr. Kellahin	4
7	Examination by Mr. Catanach	12
8	2. <u>CRAIG E. YOUNG</u>	
9	Examination by Mr. Kellahin	17
10	Examination by Mr. Catanach	22
11	3. <u>RODNEY STEWARD</u>	
12	Examination by Mr. Kellahin	25
13	Examination by Mr. Catanach	31, 34
14	Examination by Mr. Stovall	33, 35
15	Certificate of Reporter	37

E X H I B I T S

		Page Marked
13	Exhibit No. 1	6
14	Exhibit No. 2	7
15	Exhibit No. 3	11
16	Exhibit No. 4	17
17	Exhibit No. 5	17
18	Exhibit No. 6	19
19	Exhibit No. 7	20
20	Exhibit No. 8	21
21	Exhibit No. 9	26
22	Exhibit No. 10	28
23	Exhibit No. 11	30
24	Exhibit No. 12	31
25		

1 EXAMINER CATANACH: At this time we'll
2 call Case 10923, which is the application of
3 Marathon Oil Company for a high-angle/horizontal
4 directional drilling pilot project, special
5 operating rules therefor, and for an unorthodox
6 producing interval, Eddy County, New Mexico.

7 Appearances in this case?

8 MR. KELLAHIN: Mr. Examiner, I'm Tom
9 Kellahin of the Santa Fe law firm Kellahin &
10 Kellahin. I'm appearing today in association
11 with Mr. Dow Campbell, an attorney with Marathon
12 Oil Company, from Midland, Texas. We're
13 representing the Applicant in this case, and we
14 have three witnesses to be sworn.

15 EXAMINER CATANACH: Any additional
16 appearances? Let me swear in the witnesses at
17 this time.

18 [And the witnesses were duly sworn.]

19 **KURT MILLER**

20 Having been first duly sworn upon his oath, was
21 examined and testified as follows:

22 EXAMINATION

23 BY MR. KELLAHIN:

24 Q. Would you please state your name and
25 occupation?

1 A. My name is Kurt Miller. I'm a
2 geologist for Marathon Oil Company in Midland.

3 Q. Mr. Miller, on prior occasions, have
4 you testified before the Division as a petroleum
5 geologist?

6 A. No, sir, I have not.

7 Q. Summarize for us your education.

8 A. I received my bachelor of science
9 degree in geology from the University of
10 California, Los Angeles, in 1984. I received my
11 master of science degree in geology from the
12 Colorado School of Mines in 1987.

13 Q. Summarize for us your employment
14 experience as a petroleum geologist.

15 A. I've worked for Marathon Oil Company as
16 a geologist, full-time, since 1987.

17 Q. Have you been involved in making a
18 geologic study of the facts surrounding this
19 particular application?

20 A. Yes, sir, I have.

21 Q. Based upon that study, do you now have
22 certain geologic conclusions and opinions?

23 A. Yes, sir, I do.

24 MR. KELLAHIN: Mr. Examiner, we tender
25 Mr. Miller as an expert petroleum geologist.

1 EXAMINER CATANACH: Mr. Miller is so
2 qualified.

3 Q. Mr. Miller, if you'll turn to what
4 we've marked as Exhibit No. 1. Take a moment and
5 explain to us where we are.

6 A. This is a general location map, showing
7 the location of the Marathon Indian Basin "C"
8 No. 1, within the Indian Basin field, and the
9 proximity of that well to the South Dagger Draw
10 field in the top center portion of the map,
11 approximately five miles to the north.

12 Q. When you look north in this same
13 township with your project well, you get to the
14 north side of the township and there's a row of,
15 what I would characterize, irregular-sized or
16 short-sized sections?

17 A. Yes, sir.

18 Q. That's the approximate transition, if
19 you will, between South Dagger Draw and Indian
20 Basin?

21 A. Yes, sir, that's correct.

22 Q. All right. The spacing that you're
23 dealing with in Indian Basin is what, sir?

24 A. 640 acres.

25 Q. What are your setback requirements for

1 wells within that reservoir?

2 A. 1650 feet.

3 Q. Let's turn to Exhibit No. 2. Let's
4 identify the project area and the offsetting
5 sections more specifically. Describe for us,
6 exclusive of the structure for a moment, the
7 information shown on the nine-section plat.

8 A. This is the nine-section plat
9 surrounding the Marathon Indian Basin "C" No. 1.
10 It shows the operatorship of these sections, and
11 the wells that have penetrated the Upper Penn
12 reservoir in the area.

13 Q. To your knowledge, has Marathon
14 satisfied itself as to the accuracy of the
15 offsetting operator information shown on the
16 display?

17 A. Yes, sir.

18 Q. Have you caused notification to be sent
19 to the other operators of your application for a
20 high-angle/horizontal project area?

21 A. Yes, sir, we have.

22 Q. And has there been any objection
23 received, to your knowledge, from any of the
24 offset operators?

25 A. No.

1 Q. Show for us the significance of the
2 structure that you have interpreted on this
3 exhibit.

4 A. As I think I mentioned, this is a
5 structure map, top of the Upper Penn reservoir,
6 the producing reservoir within the Indian Basin
7 field.

8 The significance of the structure here
9 is that almost all of the wells downdip of the
10 minus 3500-foot contour have watered out in the
11 Indian Basin Field from gas production, and some
12 of the wells just updip of the minus 3500-foot
13 contour have also watered out or have seen some
14 water encroachment.

15 Q. What is the objective of trying to take
16 the existing well in Section 26, apply a short
17 radius lateral to that well, and continue to
18 produce, then, out of the Indian Basin? Why are
19 you trying to do?

20 A. The objective is to position the short
21 radius horizontal such that we stay above
22 suspected water zone below the producing portion
23 of the reservoir. And, being near the current
24 gas/water contact, we'll be able to greatly
25 increase the exposure of the borehole to the

1 reservoir interval and enhance productivity and
2 ultimate recoverable reserves.

3 Q. Why would that make a difference over
4 the ability of the vertical well to continue to
5 produce its share of the gas out of the reservoir
6 with its well?

7 A. The data we have on the vertical well
8 at this time, we are seeing an increase in water
9 production. We feel that water is coming into
10 the wellbore from the zone beneath where the gas
11 is being produced. And, if this continues as it
12 is currently, we think the well will soon reach a
13 point where it will not be producible.

14 Q. What is the basis for determining that
15 you want to go south, within the spacing unit?

16 A. There's really two reasons. One is
17 that the well directly to the north and wells
18 also to the northeast, do not have the
19 dolomite--productive dolomite facies within the
20 top of the Upper Penn as we have in our well.
21 So, we know the reservoir continuity does
22 pinchout to the north, and we know that the
23 reservoir is present to the south.

24 Also, we are going updip in that
25 direction, away from where we think water

1 encroachment would be, and that is why we have
2 chosen that direction.

3 Also, we are not going to go west at
4 all from our current location, so we will not
5 infringe upon the standard setback.

6 Q. Your application seeks to have a
7 drilling/producing window that is contained
8 within the section, whereby you would have an
9 east boundary of 1650, a southern boundary of
10 1650, but that the north and west boundaries of
11 the producing/drilling window would be 1500 feet
12 from those two boundaries?

13 A. That is correct.

14 Q. What's the reason for that?

15 A. We ran a gyro on this well and,
16 although the surface location is 1650 feet from
17 the lease line, the kickoff point is 20 feet west
18 of that point where we are initially drilling
19 that horizontal out of the current well.

20 Q. So, the actual wellbore at the kickoff
21 point has drifted slightly out of a standard
22 location, and you want an additional footage in
23 order to avoid any encroachment into the
24 offsetting spacing units?

25 A. That is correct.

1 Q. All right. Do you have a cross-section
2 that illustrates the relationship of the
3 controlling wells in this area and shows us how
4 you plan to do this?

5 A. Yes, sir. That is Exhibit 3.

6 Q. If you'll identify for us Exhibit
7 No. 3?

8 A. Exhibit No. 3 is a south to north
9 cross-section. The location of that
10 cross-section is shown on Exhibit 2. It goes
11 from the well immediately south of our "C" No. 1,
12 through our well, and to the dry hole to the
13 north in Section 23.

14 It is hung structurally on a minus 3600
15 foot datum, and the correlation of the top of the
16 Upper Penn is shown. The perforations in the
17 wells are also shown, and the DST information is
18 shown.

19 The proposed short radius lateral is
20 shown just left of our well location on the
21 cross-section, by a schematic diagram of that
22 horizontal.

23 Q. If the drilling engineer is successful
24 in his efforts to execute your plan, where will
25 that lateral be when we look at the log of the

1 Indian Basin "C" No. 1 well?

2 A. The window within the "C" No. 1 is from
3 7400 feet in depth to 7420 feet in depth.

4 Q. Why is that the objective?

5 A. Based on a log analysis, examining of
6 cuttings from this well, and, I think as the
7 reservoir engineer may testify, the production
8 log that we have run on this well, the gas
9 production appears to be coming from the
10 approximately lower 10 feet of perforations in
11 this wellbore, and that is a dolomite which is a
12 producing rock type within the reservoir. The
13 perforations above that point are actually within
14 a tight limestone and add nothing to the
15 production.

16 Q. The plan is to drill the lateral
17 southerly, towards the well to the left on the
18 cross-section? Towards the Apache Federal well?

19 A. Yes, that is correct, approximately
20 plus or minus 500 feet, depending on the ease of
21 getting that footage.

22 Q. What's the basis for having an
23 objective of 500 feet, more or less?

24 A. From my understanding, it's basically a
25 mechanical zone of comfort. We feel we can get

1 500 feet. We may, if it is drilling a well, as
2 we get out to 500 feet, we may exceed that
3 number.

4 Q. Are you seeking the flexibility to make
5 those types of decisions in the field, such that
6 so long as you honor the proposed setbacks, you
7 might change the azimuth or extend the length of
8 the lateral?

9 A. Yes, sir.

10 Q. Were Exhibits 1, 2 and 3 prepared by
11 you or compiled under your direction and
12 supervision, Mr. Miller?

13 A. Yes, sir, they were.

14 MR. KELLAHIN: We move the introduction
15 of Mr. Miller's Exhibits 1, 2 and 3.

16 EXAMINER CATANACH: Exhibits 1, 2 and 3
17 will be admitted as evidence.

18 MR. KELLAHIN: That concludes my
19 examination.

20 EXAMINATION

21 BY EXAMINER CATANACH:

22 Q. Mr. Miller, the No. 1 well is currently
23 producing?

24 A. Yes, it is currently producing.

25 Q. Do you know how much it's producing at

1 this time?

2 A. Yes. It's making approximately two
3 million cubic feet of gas per day and 150 barrels
4 of water per day, and we've seen some increase in
5 the water production and dropping off of the gas
6 rate.

7 Q. 150 barrels of water a day?

8 A. That's right.

9 Q. And you said that it's producing from a
10 limestone?

11 A. No. Actually, it's producing from
12 dolomite. What I was referring to, the interval
13 that is perforated, by examining the cuttings and
14 the logs, I feel that most of the upper part of
15 the perforated interval is actually tight
16 limestone. All the production appears to be
17 coming from the lower 10 feet or so of
18 perforations. And the rock type, based on
19 cuttings and the logs, again, is a dolomite in
20 that interval. So that agrees with what we
21 understand about the reservoir and agrees with
22 the production log we have over this well.

23 Q. Okay.

24 A. As you go to the north, the well
25 downdip on the cross-section, that same interval

1 is all tight limestone, and it was a dry hole.

2 Q. So your objective is to just drill the
3 horizontal wellbore up-structure, to get above
4 the gas/water contact?

5 A. Well, we believe that the water is
6 actually channeling behind pipe in our well, as
7 it currently is, and that by staying in that
8 dolomite interval I referred to, from 7400 to
9 7420, that window, we should stay out of that
10 water.

11 Q. So, it's really a mechanical problem
12 with the well?

13 A. Yeah, there is some channeling behind
14 pipe based on a production log. We do feel that
15 the position that we're at structurally, that
16 well has seen water encroachment, as other wells
17 in the downdip area have seen, too.

18 Q. The objective is to get above the water
19 and to get out of the water in your wellbore?

20 A. That is one objective. And, as I
21 mentioned, by drilling the horizontal in a
22 relatively thin reservoir, we should be able to
23 greatly increase our exposure of the wellbore to
24 the reservoir, increasing our productivity of the
25 well.

1 Q. Are there fractures in the wellbore
2 that you believe this is a fracture reservoir?

3 A. We feel that fractures are of minor
4 importance. The vuggy porosity is the dominant
5 factor of the production capability of the
6 dolomite reservoir, in that we don't see a whole
7 lot of indication of large, free-going fractures.

8 Q. By increasing your wellbore's exposure
9 to the formation, that's just going to increase
10 your recovery?

11 A. We feel that it will. It is
12 experimental, in that no other horizontal wells
13 have been drilled in the field in this
14 reservoir.

15 Q. How long do you think your current well
16 would last before it watered out?

17 A. We feel that probably within the year,
18 or a matter of months. But it's difficult to
19 estimate, from what I understand.

20 EXAMINER CATANACH: I think that's all
21 I have.

22 MR. KELLAHIN: Mr. Examiner, I would
23 like to recall Mr. Craig Young, who is our
24 drilling engineer, as the drilling expert in this
25 case.

1 May the record reflect that Mr. Young
2 has been qualified as an expert, and continues to
3 testify in that capacity in this case.

4 EXAMINER CATANACH: The record shall so
5 reflect.

6 **CRAIG E. YOUNG**

7 Having been previously duly sworn upon his oath,
8 was examined and testified further as follows:

9 EXAMINATION

10 BY MR. KELLAHIN:

11 Q. Mr. Young, if you'll turn to what we've
12 marked as Exhibit No. 4, what is shown on this
13 display?

14 A. This is a wellbore, a current wellbore
15 diagram representing the condition of the well
16 today.

17 Q. Is this a viable candidate to take this
18 wellbore, with this type of configuration, and
19 reenter it for a short radius lateral, as Mr.
20 Miller testified he wanted to accomplish?

21 A. Yes. It should be no problem at all in
22 this particular wellbore.

23 Q. All right, sir. Let's turn to Exhibit
24 No. 5. What are we looking at here?

25 A. Exhibit No. 5 is the result of the

1 directional surface survey that Kurt had
2 mentioned. Basically, it was a gyro tool that
3 was run to gather the deviation on the vertical
4 wellbore. The upper right-hand quad depicts the
5 displacement of the well.

6 Q. Surface location of the subject well is
7 1650 from the west and north boundaries of the
8 spacing unit?

9 A. That is correct.

10 Q. When we get to your proposed kickoff
11 point in this well, where are we?

12 A. At our proposed kickoff point, we are
13 approximately 20 feet to the north and
14 approximately 40 feet to the west.

15 Q. If we adjust the north and west
16 boundaries of the drilling/producing window such
17 that they're 1500 feet rather than 1650, does
18 that give you enough operational flexibility, as
19 a drilling engineer, to stay within that adjusted
20 setback?

21 A. Yes. There should be no problem with
22 that 1500 foot setback line.

23 Q. What is the basis for the kickoff
24 point?

25 A. The basis for the kickoff point here

1 was one to kickoff below the shale that overlies
2 the Upper Penn formation, or to minimize our
3 contact with that shale.

4 Q. Why would you want to do that?

5 A. Basically, having the shales open, will
6 tend to aggravation drilling and completion
7 problems, and seize our open hole completions
8 throughout the life. It's just a problem you may
9 have to live with.

10 Q. Let's turn to Exhibit No. 6. Identify
11 and describe what's shown on that display.

12 A. Basically, this is a plane view of our
13 proposed horizontal well. It shows Section 26,
14 it shows the proposed setback, and it shows the
15 current bottomhole location of approximately 1630
16 feet from the north, 1610 from the west.

17 Q. What's the basis of proposing a lateral
18 of 500 feet in length?

19 A. Experience in the short radius tells us
20 that the first 300 to 500 feet are pretty easy to
21 get. After that our costs tends to go up
22 rapidly. A lot of that depends on the formation
23 you're drilling, but current technology as it
24 exists, the 500 foot is a reasonable length in a
25 formation like this.

1 Q. Let's turn to Exhibit 7. Let me have
2 you take this illustration shown on Exhibit 7 and
3 walk us through the procedure.

4 A. Okay. This is a vertical section of
5 the proposed well. The vertical line represents
6 the current wellbore.

7 What will be done initially, we'll pull
8 the production equipment again, squeeze the
9 perforations that are existing in the wellbore,
10 we'll section mill the casing, kick out of the
11 casing, and drill approximately a 45-foot radius
12 curve.

13 After that's done, then that curve will
14 be drilled to approximately a 90-degree
15 inclination.

16 After that's done, we will proceed with
17 the drilling of our horizontal section.

18 Q. What's the drilling fluid used for the
19 process?

20 A. Typically, in these type scenarios, a
21 sheer cleaning polymer, an XCD type polymer are
22 used.

23 Q. How are you going to know where you are
24 at a given point in the process?

25 A. We have the results of the survey that

1 was presented earlier, and again we'll be running
2 MWD tools right behind the motors we'll have a
3 probe to tell us, in three dimensions, exactly
4 where we are. We also have steering tool backups
5 should the MWD tool fail.

6 Q. Once you have completed the drilling
7 and stopped at the endpoint of the lateral, what,
8 then, do you do?

9 A. Basically, at that point in time, we'll
10 pull all the drilling equipment out of the well,
11 run in with tubing to the end of the well,
12 circulate the drilling fluids out, and then come
13 up and set our protection equipment up such that
14 tubing goes through the end of the curve, we have
15 a production packer, and we'll attempt to get the
16 well flowing at that point in time. It's more
17 represented on the next exhibit.

18 Q. Turn now to Exhibit No. 8, Mr. Young.
19 Do you have an illustration to show how you
20 propose to complete the well?

21 A. Yes. This is a proposal on how we
22 would complete the well. After the horizontal is
23 drilled and all the drilling fluids are displaced
24 out of the hole, we'll run in and land the
25 production tubing basically at the end of the

1 curve.

2 Production tubing, then, would come
3 back into the vertical well up to a packer. We
4 would have a normal packer type completion from
5 that point forward.

6 Q. Anything unusual or particularly
7 complicated or troublesome about the drilling and
8 completion of this well?

9 A. No, there's not.

10 MR. KELLAHIN: That concludes my
11 examination of Mr. Young. We would move the
12 introduction of his Exhibits 4 through 8.

13 EXAMINER CATANACH: Exhibits 4 through
14 8 will be admitted as evidence.

15 EXAMINATION

16 BY EXAMINER CATANACH:

17 Q. Mr. Young, I'm a little unclear about
18 the location of the kickoff point. First of all,
19 what depth is that?

20 A. The approximate kickoff point is 7362.

21 Q. At that depth, the location of the
22 wellbore, you told me, is...

23 A. 1630 feet from the north line, 1610
24 feet from the west line.

25 Q. Where does the 1500 foot setback come

1 into play?

2 A. Due to the desire to drill in a due
3 south orientation, what that does is give us some
4 flexibility in the field. If, for example, we
5 lose control of the tools during a period of time
6 and start turning, it gives us time to react and
7 correct back, without encroaching over the
8 setback. It gives us a window of cushion there.

9 Q. Why would you need that flexibility in
10 the north direction?

11 A. For this particular well, since we're
12 already--I guess, to answer that question, we in
13 all probability will not need that 1500 foot.
14 But, as we get down there, and, for example, if
15 we kickoff--I can't see us needing the 1500
16 foot. It's to provide the flexibility for field
17 operations.

18 The only thing I could think of is if
19 we kicked off in the wrong direction, and through
20 trying to change directions and coming back to
21 the due south direction.

22 Q. That direction has already been
23 established?

24 A. That is correct.

25 Q. And it is directly due south?

1 A. That is correct.

2 Q. What type of drilling fluid do you use?

3 A. Typically, we like to use a sheer
4 cleaning polymer, typically an XCD type system, a
5 xanthene gum type system. What this does is
6 gives us low viscosity while we're pumping.
7 Then, when we stop pumping, it kind of provides
8 us a lot of gel strength to hold cuttings.

9 Other advantages are, it's very good
10 friction reducer, it's a very good lubricant, to
11 help us slide out.

12 In this type of drilling we don't
13 rotate the pipe while we're drilling, so all of
14 its's sliding and we have an incredible amount of
15 friction we're always combating.

16 Q. How big a section of casing do you mill
17 in this type of operation?

18 A. 50 feet. Below kickoff point, we'll go
19 20 feet. Above kickoff point, we'll go 30 feet.

20 Primary reason for 30 foot above, is to
21 remove magnetic effects and let us orient during
22 kickoff. Primary reason for 20 foot below, is to
23 give us time to get the bit out of the casing
24 before we run into the stub we've left down
25 there.

1 Q. Again, you only intend to take the well
2 500 feet at this point, but you want the
3 flexibility to go further?

4 A. That is correct.

5 EXAMINER CATANACH: Okay. That's all I
6 have of the witness. He may be excused.

7 MR. KELLAHIN: Call at this time, Mr.
8 Examiner, our reservoir engineer, Rod Steward.

9 **RODNEY STEWARD**

10 Having been first duly sworn upon his oath, was
11 examined and testified as follows:

12 **EXAMINATION**

13 **BY MR. KELLAHIN:**

14 Q. Mr. Steward, for the record, would you
15 please state your name and occupation.

16 A. My name is Rodney Steward. I'm a
17 petroleum engineer with Marathon Oil Company in
18 Midland, Texas.

19 Q. Mr. Steward, on prior occasions, have
20 you testified as an engineer before the Division?

21 A. No, I have not.

22 Q. Summarize for us your education.

23 A. I received a bachelor of science in
24 petroleum engineering, from the University of
25 Oklahoma, in 1988.

1 Q. Subsequent to graduation, would you
2 summarize your employment experience as a
3 petroleum engineer?

4 A. I have been employed by Marathon Oil
5 Company since graduation, in Midland, Texas, as
6 both operation and reservoir engineer.

7 Q. Do your duties include reservoir duties
8 with regards to the Indian Basin Upper
9 Pennsylvanian gas pool, and within the area that
10 this project is requesting?

11 A. Yes, that is correct.

12 MR. KELLAHIN: We tender Mr. Steward as
13 an expert petroleum engineer.

14 EXAMINER CATANACH: Mr. Steward is so
15 qualified.

16 Q. Mr. Steward, summarize, from an
17 engineering perspective, what you're trying to
18 accomplish.

19 A. The objective of the project is to
20 improve productivity from this wellbore, while
21 minimizing water production, extending the well's
22 life, and hopefully increasing ultimate recovery.

23 Q. Let me have you turn, sir, to what's
24 marked as Exhibit No. 9. What is this?

25 A. This is a section of a production log

1 run in this well. I believe it was run December
2 15th of last year.

3 Q. To what purpose have you utilized this
4 information in deciding what to do with this
5 well?

6 A. We've used this log in trying to
7 determine where the production, both gas and
8 water, are occurring in the wellbore.

9 Q. What have you concluded?

10 A. We see two interesting features in this
11 well. In the far left track of the log, there is
12 a section that is shaded in a squiggly line.
13 Below 7420 feet, you're looking at a no-flow
14 baseline. As you move up the wellbore, when the
15 width of the shading increases, you're seeing
16 increased flow rate in the wellbore. And you
17 reach 100 percent flow of the well by the time
18 you get to about 7405.

19 So, what we see is, all the production
20 from this well is coming from the bottom 10 feet
21 of perforations. And that basically helped us
22 determine and justify the geologist's
23 interpretation of the log and cuttings. In fact,
24 all the dolomite section is low in the
25 perforations.

1 Q. Does that tell you, based upon this
2 data, where, in the reservoir, you need to put
3 the lateral?

4 A. That gives you an indication of where
5 the productive interval in the wellbore is.

6 Q. So, from your engineering perspective,
7 where will you recommend that the lateral
8 commence in the reservoir?

9 A. The lateral will be drilled in that
10 area, below 7400 and above 7420.

11 Q. Have you plotted the production on this
12 well?

13 A. Yes, I have.

14 Q. Let's turn to Exhibit 10. What is
15 that?

16 A. Exhibit 10 is a production plot of the
17 Indian Basin "C" No. 1, dating from 1980 forward.

18 Q. If we continue to produce this as a
19 vertical well in the reservoir, without doing any
20 more work on it, what do you forecast or foresee
21 to happen to this well?

22 A. We forecast this well to continue
23 declining rapidly. In general, the gas wells in
24 this field begin to see increased water
25 production at some time in their life as water

1 encroaches upon the well. At that time, the gas
2 rates start to fall off. They literally roll
3 over, and the wells die.

4 Q. Are you beginning to see that, or
5 anticipate that event to occur in the near future
6 in this well?

7 A. Yes.

8 Q. What kind of current rates do you have
9 in the well?

10 A. This well is currently producing about
11 two million cubic feet of gas a day, and about
12 150 barrels of water. The well was producing
13 four million cubic feet of gas a day as recently
14 as 1992.

15 Q. What is your forecast of the remaining
16 productive life of this well, if we don't do
17 anything?

18 A. You know, it's very hard to pinpoint,
19 but we don't believe the well will last more than
20 a couple of years, at tops, and probably much
21 less than that.

22 Q. If the Division approves the
23 application of the horizontal technology to this
24 well, what do you hope to achieve, then, in terms
25 of recovery? Will this improve or decrease

1 ultimate recovery from the reservoir?

2 A. This has never been tried before in
3 Indian Basin, and our analysis indicates that we
4 should improve recovery simply by abandoning this
5 wellbore at a lower bottomhole pressure.

6 Q. Why would that be the case?

7 A. As you move down-structure, these wells
8 are being encroached on by water and they're
9 watering out. And, when you deplete the well or
10 when it waters out, it's at a higher bottomhole
11 pressure than those wells will be up-structure of
12 the current contact.

13 Q. Have you visited with other operators
14 in the area to determine whether or not they'll
15 have any objection to the application of this
16 technology in this portion of the pool?

17 A. Yes, we have.

18 Q. Have you received any objection?

19 A. No, we have not.

20 Q. Have you received any communications or
21 support?

22 A. Yes, we have.

23 Q. Turn to Exhibit No. 11. Would you
24 identify and describe that?

25 A. This is a letter from Mr. Rick Hall of

1 Oryx Energy Company addressed to Mr. Kellahin.
2 This letter basically offers Oryx's support to
3 this experimental project.

4 Q. What is the timing or the schedule for
5 doing this work, Mr. Steward?

6 A. At the current time, we are looking at
7 performing this work sometime later this summer,
8 as we watch the oil rates fall off.

9 MR. KELLAHIN: Mr. Examiner, that
10 concludes my examination of Mr. Steward. The
11 final exhibit is Exhibit 12. It's our
12 certificate of mailing in compliance with the
13 notice rules.

14 We would move the introduction of Mr.
15 Steward's Exhibits 9, 10, 11, which are his
16 exhibits, and 12 is the notice. We move the
17 introduction of Exhibits 9 through 12.

18 EXAMINER CATANACH: Exhibits 9 through
19 12 will be admitted as evidence.

20 EXAMINATION

21 BY EXAMINER CATANACH:

22 Q. Mr. Steward, is it possible to
23 calculate the recoverable reserves at this point
24 in time from the wellbore, left as it is?

25 A. Left as it is? The problem you're

1 dealing with, with trying to estimate remaining
2 reserves in these wells, is you don't know. It's
3 more of a mechanical problem. The gas rate falls
4 off as the water comes up and at some point they
5 die.

6 At this point in time, I think it would
7 be really hard to project these reserves.

8 Q. Being this is experimental, is it
9 possible you might lose this well by horizontally
10 drilling it?

11 A. There is a possibility that, well, when
12 you do perform the work, the likelihood of you
13 being able to reenter the well and get back into
14 the vertical completion is very slim. So, when
15 you elect to do the work, then, you're going to
16 take the horizontal well as its final completion.

17 Q. Do you think it's possible that this
18 type of experiment can be conducted on the well
19 that's already been watered out?

20 A. We've had little to no success in
21 isolating water production in these wells, and
22 we're not the only operator. There are no wells
23 that we currently operate, that I know of, which
24 have a gas productive interval, a small gas
25 productive interval, that is still above the

1 encroaching water in which, you know, you could
2 apply this technology.

3 Why horizontal technology is applicable
4 here is that you have a narrow gas window still
5 remaining in the well's producing area.

6 Q. You don't think it could be done on
7 wells that are already watered out?

8 A. We don't have any wells that I think it
9 could be done on right now.

10 EXAMINATION

11 BY MR. STOVALL:

12 Q. If a new well were being drilled in
13 this reservoir today, would it be practical to
14 drill it as a horizontal well initially, in an
15 effort to, I guess, spread out the pressure sync
16 and possibly reduce water encroachment in the
17 first place, or would that work in this
18 reservoir?

19 A. Depending on where in structure you
20 are. We have a very low vertical permeability
21 compared to the horizontal permeability. So, in
22 areas high on structure, where you have several
23 hundred feet of gas column, then a horizontal
24 well is not applicable simply because you really
25 don't have the positive aspects for it.

1 Very close to the gas/water contact is
2 where it's more applicable. Historically, the
3 method of operation out here has been when a well
4 waters out, you move to the most up-structure
5 spots you can on your lease in that reservoir,
6 and drill another vertical well.

7 In this particular case, in Section 26,
8 that well is down-structure roughly a hundred
9 feet and, if I can refer to Exhibit 2, I think
10 you can see it a little better, the structure
11 map.

12 That well is approximately 100 feet
13 down-structure of the Apache Federal "C" No. 1,
14 and that well has already watered out. So, to
15 come up-structure and drill another vertical
16 well, would mean you're moving closer towards a
17 well that's already been encroached upon and
18 ceased to produce.

19 FURTHER EXAMINATION

20 BY EXAMINER CATANACH:

21 Q. Is there any way to quantify the
22 additional recoveries you might get from this
23 type of scenario?

24 A. We have looked at some numbers, using
25 both reservoir models and analytical approaches.

1 What we've determined, or what we estimate, is we
2 should be able to get anywhere between 250 to 300
3 million, up to closer to a Bcf of incremental
4 gas. It's a pretty broad range right now, what
5 we're working with.

6 Q. Is that 1 Bcf, that's additional from
7 what you may recover from the vertical wellbore?

8 A. That's correct.

9 Q. Do you see this kind of technology as
10 being widely applicable in this pool, or is this
11 generally limited?

12 A. I see the technology as being very
13 applicable along near the gas/water contact. I
14 see it as not so applicable on top of structure,
15 where you still have a very large gas column.

16 FURTHER EXAMINATION

17 BY MR. STOVALL:

18 Q. As the water moves in on the structure,
19 would it be--water is coming from the west,
20 right?

21 A. That's correct.

22 MR. KELLAHIN: No, east.

23 Q. Right. East. I'm trying to picture
24 it. As the water moves in towards the west and
25 it's filling up the structure, do you see doing

1 this to wells as the water--I mean, you could
2 conceivably develop a line of horizontal wells,
3 as the water encroaches more and more?

4 A. Over time you could do that.

5 MR. STOVALL: Nothing else.

6 EXAMINER CATANACH: That's all I have.

7 The witness may be excused.

8 Is there anything further?

9 MR. KELLAHIN: That concludes our
10 presentation.

11 EXAMINER CATANACH: There being nothing
12 further in this case, Case 10923 will be taken
13 under advisement.

14 (And the proceedings concluded.)

15

16

17

18

19

20

21

22

23

24

25

I do hereby certify that the foregoing is
a complete record of the proceedings in
the Examiner hearing of Case No. 10923,
heard by me on March 1994.

David R. Catanch, Examiner
Oil Conservation Division

CERTIFICATE OF REPORTER


1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

STATE OF NEW MEXICO)
) ss.
COUNTY OF SANTA FE)

I, Carla Diane Rodriguez, Certified
Shorthand Reporter and Notary Public, HEREBY
CERTIFY that the foregoing transcript of
proceedings before the Oil Conservation Division
was reported by me; that I caused my notes to be
transcribed under my personal supervision; and
that the foregoing is a true and accurate record
of the proceedings.

I FURTHER CERTIFY that I am not a
relative or employee of any of the parties or
attorneys involved in this matter and that I have
no personal interest in the final disposition of
this matter.

WITNESS MY HAND AND SEAL April 11,
1994.


CARLA DIANE RODRIGUEZ, RPR
CSR No. 4