

1 STATE OF NEW MEXICO
2 ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
3 OIL CONSERVATION DIVISION
4 STATE LAND OFFICE BUILDING
5 SANTA FE, NEW MEXICO

6 15 March 1989

7 EXAMINER HEARING

8 IN THE MATTER OF:

9 Application of BHP Petroleum, Inc. for CASE
10 special GOR, Eddy County, New Mexico. 9602

11
12 BEFORE: Michael E. Stogner, Examiner

13
14 TRANSCRIPT OF HEARING

15
16 A P P E A R A N C E S

17 For the Division: Robert G. Stovall
18 Attorney at Law
19 Legal Counsel to the Division
State Land Office Bldg.
Santa Fe, New Mexico

20 For BHP Petroleum, Inc.: W. Thomas Kellahin
21 Attorney at Law
22 KELLAHIN, KELLAHIN & AUBREY
P. O. Box 2265
23 Santa Fe, New Mexico 87504
24
25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

I N D E X

HAL CRABB

Direct Examination by Mr. Kellahin	4
Cross Examination Mr. Stogner	26

E X H I B I T S

BHP Petroleum Exhibit One, Land Map	4
BHP Petroleum Exhibit Two, Ownership Map	6
BHP Petroleum Exhibit Three, Well Count	7
BHP Petroleum Exhibit Four, Tabulation	9
BHP Petroleum Exhibit Five, Field Rules	10
BHP Petroleum Exhibit Six, Decline Curve	11
BHP Petroleum Exhibit Seven, Data	13
BHP Petroleum Exhibit Eight, Tabulation	14
BHP Petroleum Exhibit Nine, Contour Maps	16
BHP Petroleum Exhibit Ten, Decline Curve	18
BHP Petroleum Exhibit Eleven, Graphs	21
BHP Petroleum Exhibit Twelve, Calculation	23
BHP Petroleum Exhibit Thirteen, Letters	24
BHP Petroleum Exhibit Fourteen, Letter	25

1 MR. STOGNER: Okay, call next
2 Case Number 9602.

3 MR. STOVALL: Application of
4 BHP Petroleum, Inc., for special GOR, Eddy County, New
5 Mexico.

6 MR. KELLAHIN: Mr. Examiner,
7 I'm Tom Kellahin of the Santa Fe law firm of Kellahin,
8 Kellahin & Aubrey. I'm appearing on behalf of BHP Petro-
9 leum, Inc. I have one witness to be sworn.

10 MR. STOGNER: Are there any
11 other appearances?

12 Will the witness please stand
13 to be sworn?

14
15 (Witness sworn.)

16
17 MR. STOGNER: Mr. Kellahin.

18 MR. KELLAHIN: Thank you.

19
20 HAL CRABB,
21 being called as a witness and being duly sworn upon his
22 oath, testified as follows, to-wit:

23

24

25

DIRECT EXAMINATION

1
2 BY MR. KELLAHIN:

3 Q Mr. Crabb, for the record would you
4 please state your name and occupation?

5 A My name is Hal Crabb and I'm a petroleum
6 engineer for BHP Petroleum Company, Inc.

7 Q Mr. Crabb, on prior occasions have you
8 testified before the Division as a petroleum engineer?

9 A Yes, I have.

10 Q Pursuant to your employment as a petro-
11 leum engineer for your company have you made a study of the
12 facts surrounding the application to increase the gas/oil
13 ratio in the East Avalon Bone Springs Pool of Eddy County,
14 New Mexico?

15 A Yes, I have.

16 MR. KELLAHIN: We tender Mr.
17 Crabb as an expert petroleum engineer.

18 MR. STOGNER: Mr. Crabb is so
19 qualified.

20 Q Mr. Crabb, will you take the exhibit
21 package that you have prepared and turn to Exhibit Number
22 One and first of all help orient us to the location of the
23 East Avalon Bone Springs Field?

24 A Yes. The Exhibit Number One is a land
25 map showing the location of wells in the field. The field

1 itself is located about five miles northeast of Carlsbad in
2 Eddy County, New Mexico.

3 Q When we look at Exhibit Number One I
4 notice you have colored certain well locations in differ-
5 ent colors. What's the purpose of doing that?

6 A The purpose is to show which wells are
7 located in the main reservoir or the reservoir proper, as I
8 will refer to it this morning.

9 I've color coded some wells in blue and
10 others in yellow. The focus of our discussion this morning
11 is going to center around the wells in Sections 1 and 2 in
12 Township 21 South, Range 27 East, kind of in the center of
13 the exhibit there, and these wells -- there's 26 wells and
14 they are all in pressure communication and they make up the
15 -- what I will refer to as the East Avalon Bone Springs
16 Reservoir.

17 Now we have some wells to the north in
18 Township 20 South, Range 28 East, six wells which are
19 colored in blue, which technically are classified in this
20 same field but they're not in pressure communication with
21 the wells to the south.

22 We have one well to the south there in
23 Section 11 in 21, 27, which is also technically classified
24 as being in the field but is not in the reservoir proper.

25 And these, these wells that are colored

1 in blue, the production is generally low and many of these
2 wells have been either TA'd or P & A'd, so they really have
3 no material effect on the reservoir that we're going to be
4 talking about.

5 Q Let's look now more specifically, Mr.
6 Crabb, at the area around the central portion of the re-
7 servoir in which you've identified a number of these wells
8 in the pool.

9 Let me direct your attention to Exhibit
10 Number Two. What are we looking at with Exhibit Number
11 Two?

12 A Exhibit Number Two is a lease ownership
13 map showing who owns what leases in the field. There are
14 six operators in the field, that being LNT Oil, Monsanto,
15 and the remaining four operators are the, what I'll call
16 the major players, the operators in the reservoir proper.
17 That would be BHP, Petrus Oil Company, Presidio and Exxon,
18 and just moving from the west to the east or from the left
19 to the right of the exhibit, BHP operates the wells there
20 in Section 2. This is the Burton Flat lease. And moving
21 farther to the east, Exxon operates wells in the Burton
22 Flat B Federal, the Scott Federal, and the Renfro lease.

23 Moving on, Presidio has two wells on
24 that, on the Scott Federal lease, and to the far east there
25 in Section 1 Petrus operates wells in the Burton Flat and

1 the Government D Lease.

2 So there are six operators in this
3 field.

4 Q Have you discussed your request to in-
5 crease the gas/oil ratio in the field up to a rate of
6 5000-to-1 with all the current operators of wells in the
7 field?

8 A Yes, I have.

9 Q Have you received any objection from any
10 of those operators?

11 A No, I have not.

12 Q Let's turn now, sir, to Exhibit Number
13 Three. Would you identify the information shown on that
14 exhibit?

15 A Exhibit Number Three is a well count of
16 the East Avalon Field showing how many wells are operated
17 by each oil company.

18 First of all, I'll just briefly go over
19 this, there are 30 producing wells in the field. There are
20 26 active wells. There are 4 wells which are currently
21 shut in or TA'd, and there have been 3 wells in the field
22 P & A'd.

23 Now, BHP operates 9 wells in the field.
24 Exxon operates 9 wells. Petrus Oil, which was formerly
25 Mobil, operates 8 wells. Presidio, which was formerly

1 Liberty, operates 3 wells, and Monsanto operates 1 well.

2 Q Can you summarize for us what has been
3 the history of the production and development of the field?

4 A Yes. The field was discovered by Exxon
5 in October of 1983 with the drilling of the Burton Flat B
6 Federal No. 1, and at that time development took place in
7 1984 through the middle of 1986 and although the initial
8 GOR's were in the 2-to-4000 range, at this point in time
9 the field GOR is in excess of 60,000, so at this point many
10 wells are shut in due to extensive overproduction. The
11 operators are losing money due to wells being shut in be-
12 cause of overproduction, and that's why I'm here this morn-
13 ing, to seek a reasonable amount of GOR relief so that we
14 can restore these wells to economic status and efficiently
15 recover the remaining oil and gas reserves in the
16 reservoir.

17 Q Approximately where are we in the pro-
18 ductive life of the reservoir?

19 A This reservoir is in its final stages of
20 depletions, of depletion, excuse me, which I'll show later
21 with subsequent exhibits, and when I undertook this study
22 to evaluate the feasibility of GOR relief, I looked at it
23 as to whether or not it would affect ultimate recovery and
24 whether or not it would violate correlative rights and be
25 of benefit to all the operators in the field.

1 I've come to the conclusion that this
2 increased GOR is necessary and proper to -- in order to
3 practically produce the remaining reserves of the field and
4 the other operators are in agreement.

5 Q Give us an approximation so we have some
6 sense of what the range of average is for current oil pro-
7 duction in the reservoir on a well basis.

8 A Well, the field is currently producing,
9 which I'll show later, around 50 barrels of oil a day out
10 of the 30 wells; around 3-million cubic feet per day; and
11 what this boils down to or what this averages out to on a
12 per well basis is less than 2 barrels of oil a day per
13 well.

14 Q Let's go on with the specifics of your
15 study, Mr. Crabb. In doing so let me have you refer to
16 Exhibit Number Four. Would you identify that for us?

17 A Yes. Exhibit Number Four is a
18 tabulation of reservoir parameters in the East Avalon Bone
19 Springs Field.

20 Just very quickly I'll touch on the
21 highlights. This pay zone is occurs at an average depth of
22 5500 feet. It is a sandstone with shale laminations. The
23 gross pay thickness is 25 feet and it is consistent
24 throughout the reservoir. It doesn't really vary in -- in
25 pay thickness.

1 The porosity is 12 percent and that's
2 determined from core analysis. The permeability is an
3 average of 1 millidarcy so it's a very tight reservoir and
4 the wells must be fracture treated before they can produce
5 commercially.

6 The oil gravity is relatively high aver-
7 aging from 44 to 46 degree API and we would classify this
8 as a volatile oil.

9 Now moving down to the latter portion of
10 this exhibit, I'd like to make some major points here.

11 We found the initial reservoir pressure
12 to be 2500 psi and the bubble point from -- taken from PVT
13 data was shown to be somewhat higher than that at 2515 psi.

14 So we feel that because of this data and
15 other exhibits that I'll show later, there was an initial
16 gas cap, so I would classify this particular reservoir as a
17 combination drive of gas cap and solution gas drive origin-
18 ally, and going on to the final point here, the estimated
19 reservoir size is 980 acres and we feel that we have a good
20 handle on the areal extent because it has been -- the
21 limits have been -- have been found in every direction, as
22 far as drilling dry holes.

23 Q Turn now, sir, to Exhibit Number Five.
24 Would you describe that for us?

25 A Yes. Exhibit Number Five is the exist-

1 ing field rules. As I said previously, we are currently
2 under statewide rules, which are 40-acre spacing and a
3 depth bracket oil allowable of 107 barrels per day and the
4 most important point are the GOR limitation of 2000 and we
5 feel that for this particular reservoir this is inappro-
6 priate because the characteristics of the reservoir have
7 now changed to the point where an increase in this GOR is
8 necessary and practical in order for us to be able to pro-
9 duce the reservoir economically and efficiently, and I'll
10 expand on this a little later.

11 Q Have you prepared a decline curve for
12 field production in the Avalon Bone Springs Field?

13 A Yes, I have.

14 Q And is that shown on Exhibit Number Six?

15 A Yes, it is.

16 Q Would you describe for us the conclu-
17 sions you've reached from an examination of the information
18 on Exhibit Six?

19 A Exhibit Six shows me -- well, first of
20 all, I'd like to point out some of the characteristics of
21 this decline curve, and I'd ask Mr. Examiner to follow
22 along with me.

23 First of all, just on how to read this
24 thing, the -- the curve with the X's is the gas production
25 in MCF per month and that is to be read on a scale to the

1 left.

2 The oil production is the open circles,
3 the curve with the open circles, and that is to be read
4 using the scale to the right.

5 And the other important curve is the GOR
6 curve in MCF per barrel and that is a closed circle and
7 that is also to be read from the scale on the left.

8 And some major points I'd like to make
9 here, first of all, a tabulation is attached there on the
10 second page for you to look at, and it shows that the field
11 through January of 1989 has produced a total of 507, approx-
12 imately, 507,000 barrels of oil; 6.842 BCF, which is a
13 substantial amount of gas; and around 30,000 barrels of
14 water.

15 And currently, if you'll look at the
16 monthly production in December of 1988, it made approxi-
17 mately 1600 barrels of oil for that month; approximately
18 92-million cubic feet of gas, and what this translates to,
19 as I said earlier, is about 50 barrels a day for the field,
20 or less than 2 barrels per day per well, showing that the
21 field is in the latter stage of the depletion and there's
22 very little remaining oil to be recovered.

23 Going back to the decline curve, there
24 are a couple of things I'd like to point out.

25 First of all, if you'd look at the oil

1 production curve, the open circles there, initially, when
2 the field was developed through 1984 through the first half
3 of 1986, it looks like the oil production is pretty well
4 stabilized at a certain rate. This is in a way misleading
5 because wells were being drilled all through this time
6 period. For example, in 1984 at least 12 wells were
7 drilled and in 1985 another 8 wells were drilled, so if
8 you'll also note that in July or August of 1986, when the
9 well -- when the field was fully developed, the oil produc-
10 tion began to decline drastically, 70 or 80 percent I've
11 got there, and it has continued on a very sharp decline,
12 and the reason we feel like it is declining so rapidly is
13 that this is a volatile oil reservoir and we have, as the
14 pressure had decreased in the reservoir, gas, the oil is
15 flashing into the gas phase and we are recovering gas, we
16 are recovering the hydrocarbon in the gas phase.

17 The other point I'd like to make is the
18 -- the steady increase in the GOR, as you can see from the
19 GOR curve.

20 It started out in the 2000 to 4000 range
21 and it's currently above 60,000 for the field.

22 Q Have you turn now, sir, to Exhibit
23 Number Seven. What's the purpose of this exhibit?

24 A Exhibit Number Seven is a reservoir
25 fluid classifications taken from a reservoir engineering

1 book and this is for the purpose of classifying the various
2 reservoirs based on their GOR and what I'd like to show
3 here is that we initially started off in the reservoir, I
4 believe, with a volatile oil due to the fact of the GOR
5 being above 4000 in many of the wells and currently, with
6 the GOR in excess of 60,000, this shows us that according
7 to this classification this reservoir would qualify for a
8 wet gas reservoir. So this is not a typical oil -- oil
9 zone.

10 Q Let's go to Exhibit Number Eight, now.
11 Would you, before we look at the conclusions about Exhibit
12 Number Eight, identify for us how to read the display?

13 A Exhibit Number Eight is a tabulation of
14 the initial potentials and the GOR and the date of comple-
15 tion for each well, and you'll notice the three lines by
16 each well.

17 The top line is the initial potential
18 in barrels of oil per day, MCF of gas per day and barrels
19 of water per day.

20 The second line is the initial GOR based
21 on those producing rates and the third line is the date
22 that the well was potentialed, and this is also a -- the
23 map this is presented on is a contour map based on the top
24 of the Bone Springs pay zone and these are 20 foot contour
25 intervals and are approximately 240 foot -- 240 feet of

1 relief in this reservoir from the structurally highest
2 well, which is the Burton Flat Deep Unit No. 2 operated by
3 us, it will be your well farthest to the left there, or to
4 the west, and the structurally lowest well, which is in the
5 south -- no, it's the northeast corner of Section 12, there
6 toward the bottom of the exhibit, approximately 240 foot of
7 relief there.

8 Q What does an examination of this infor-
9 mation tell you, Mr. Crabb?

10 A An examination of this information tells
11 me that you initially had a gas cap in the formation and I
12 would direct the Examiner's attention to Well No. -- Well
13 No. 2, which is the well to the farthest to the left there.
14 It's initial GOR was 12,857 and when we move to the right
15 one and down one location to Well No. 28, its initial GOR
16 was 25,900, and if we move up from that well to Well No.
17 27, the initial GOR was 8750.

18 And there's another point I'd like to
19 make from this exhibit. There's an interesting, interest-
20 ing feature here. I direct your attention to the southeast
21 corner or southeast quarter of Section 1 and note Petrus
22 Well No. 3, which was potentialized in August of 1986 and had
23 an initial GOR of 25,538, when the well right before it was
24 potentialized three months earlier and had a GOR of only
25 1909. So in that short period of time you could see a

1 dramatic increase in the GOR in the down dip wells, which
2 is indicative of the -- the oil going into the gas phase
3 and along with a gas cap expanding down dip and this will
4 be shown later also.

5 Q All right, sir. Let's turn to Exhibit
6 Number Nine. That's a series of exhibits marked Exhibit
7 Nine-1 through Exhibit Nine-5. What's the purpose of these
8 exhibits?

9 A Okay, the purpose of these exhibits are
10 to show the movement of the gas in the reservoir and the
11 increasing GOR with time.

12 There are five pages to this exhibit.
13 We'll just kind of tab through it briefly and I'll show
14 what -- what happens here.

15 The -- each map represents one year's
16 passing of time and the first map shown here is in January
17 of 1985. You can see that the wells up dip had the highest
18 GOR's, on an average over 10,000, and your GOR's toward the
19 center of the field were more moderate, in the 3-to-4000
20 range, and the wells to the southeast there in Section 1
21 had not been developed at this time in January of '85.

22 And if we'll move to page number 2, this
23 is the gas cap in January of 1986, and you can see that the
24 GOR's have increased on the up dip wells to in the
25 20-to-30,000 range and your wells in mid-structure have

1 also increased in GOR and more of the down structure wells
2 have -- have been drilled.

3 Moving on to the situation in January of
4 1987, you'll note that by this time the field was fully
5 developed, the wells in the structure -- highest portion of
6 the reservoir or in the 30-to-50,000 GOR range, and if
7 you'll turn to page four, showing the situation in January
8 of 1988, one year later, the wells in the top are over the
9 100,000 GOR mark and your down dip wells are beginning to
10 show a very high GOR, also. If you'll notice, in the
11 structurally lowest wells you have GOR's of 25,000, 19,000.

12 And, finally, turning to page number 5,
13 which is the latest production information that I have for
14 the -- for the field as a whole, in August the 1st of 1988
15 you can see the up dip wells are 3-to-400,000 GOR and the
16 down dip wells, I direct your attention to a well in the
17 southeast corner of Section 1 with a GOR of 35,900, and the
18 structurally lowest well in the field, which is the Petrus
19 Government No. 10-D, it's there in the northeast corner of
20 Section 12, that has a GOR of about 20,000. I don't know
21 if that's shown on that.

22 Q Other than the expanding gas cap that
23 you have documented over the history of production, as
24 shown on Exhibit Number Nine, is there a direct relation-
25 ship to the gas/oil ratios and the structural position of

1 the well?

2 A Yes, there is. The structurally higher
3 wells initially had the highest GOR's but we're in a
4 situation now where even the wells in the lowest part of
5 the structure are shut in due to overproduction because of
6 the -- the gas cap expanding and essentially gassing out
7 the entire reservoir.

8 Q Does there continue to be any necessity
9 or need to control the gas/oil ratio so the gas production
10 stays within the 2000-to-1 statewide rules?

11 A Would you repeat that, please?

12 Q Yes, sir. Is there -- in the current
13 life of the reservoir does there continue to be a need to
14 maintain the gas/oil ratio at 2000-to-1 as a maximum in
15 order to conserve reservoir energy to assist in the oil
16 production from the down structure wells?

17 A No, we feel that this is not necessary
18 any longer, nor is it appropriate. The reservoir is in its
19 final stage of depletion with very little remaining oil and
20 an increase, a reasonable increase in the GOR would not
21 materially affect your ultimate oil production.

22 Q Let me have you turn to the package of
23 decline curves shown as Exhibit Number Ten, and each of the
24 pages, then, in Exhibit Number Ten are numbered from page 1
25 through page 32.

1 A Yes.

2 Q What have you done with this informa-
3 tion, Mr. Crabb?

4 A Okay, these are decline curves. This is
5 a list of decline curves for every well in the field and
6 Mr. Examiner can look at these at a later date. We won't
7 go over all of them but I would like to -- to show some
8 typical wells which are operated by each -- each party in
9 the field, just to give you an idea of what has happened
10 and how the oil production has declined whether you're up
11 dip or down dip.

12 Q Before you -- we pick out some example
13 wells, can you give us the trends or the typical charac-
14 teristics you see when you look at the decline curves?

15 A Yes. What we typically see is a sharp
16 decrease in oil regardless of your -- your production rate
17 and regardless of your structural position. We'll see it
18 on the structurally highest wells and the structurally
19 lowest wells, once again telling us that the -- we're
20 losing oil reserves to the gas phase and producing it as --
21 producing these reserves as gas, and before we go any fur-
22 ther, I'd like to show that on each curve I've shown two,
23 two horizontal lines across each curve. The lower line is
24 colored blue and that is the existing limit on gas produc-
25 tion in the field and then the yellow curve up above it is

1 the proposed increase in gas production, which we hope to
2 get.

3 Q Can you give us a sample decline curve
4 for various portions of the reservoir?

5 A Yes, I can.

6 Q All right.

7 A And on this, Mr. Examiner, just -- if
8 you'll turn to the pages which I recommend here. First of
9 all let's turn to page 5 and this is going to give you an
10 example of what our wells are doing in the top of the
11 structure. This is the Burton Flat Deep Unit No. 25. You
12 can see just by taking a look at the oil production curve
13 that the production decrease is very dramatic, around 50
14 percent or better, whereas your gas rates remain essential-
15 ly constant.

16 And if you'll turn to page 8 we'll look
17 at the Burton Flat Unit No. 32, which is also operated by
18 BHP and you see -- you see the same trend, the rapidly de-
19 clining oil production.

20 Q Where are we with the Burton Flat No. 32
21 Well in terms of its structural relationship?

22 A The Burton Flat 32 is on the far eastern
23 part of our lease line, so we're just to the -- just to the
24 west of Exxon. So we're just barely up dip of the Exxon
25 wells.

1 And if you will turn with me to page 10,
2 I'll show you some of the characteristics of Exxon's wells.
3 This is the Burton Flat -- Burton Flat D Federal No. 1,
4 which is just on the other side, one location to the east
5 of the well we just looked at, and we see the same trend,
6 sharply declining oil production.

7 Moving on to page 14, this is the Burton
8 Flat E Federal No. 1. It's farther down dip and we see the
9 same, the same thing.

10 And moving on to the lowest wells struc-
11 turally in the field, operated by Petrus, let's turn to
12 page 25 and this is the Government D No. 7. You'll note
13 the same, the same trend.

14 And finally let's turn to the next page,
15 which is the lowest well structurally in the field, the
16 Government D No. 10, and we see the same thing, and this
17 well, being the structurally lowest well in the field, is
18 producing at a rate of 3 barrels a day of oil, and this is
19 as of, I think, September of 1988.

20 Q All right, sir, let me have you direct
21 your attention to the information contained in Exhibit
22 Number Eleven. What is this package of information labeled
23 Exhibit Eleven, page 1 through 22?

24 A Okay, this is a 22-page exhibit. This
25 is once again another way of showing how the GOR has in-

1 creased. This graphically shows the increase in GOR with
2 respect to cumulative oil production, and it's really just
3 showing the movement of the gas cap and once again we won't
4 go through all these wells but we'll look at a couple of
5 representative wells.

6 If you'll turn to page 2 here and we'll
7 look at Burton Flat Unit No. 23, which is in the top of the
8 structure. You can see that by the time it had produced a
9 little over 5000 barrels the GOR just shot up well above
10 200,000; I believe that's around 300,000.

11 If you'll move on to page 9 and we'll
12 look at the Exxon well that we looked at previously on the
13 decline curve, the Burton Flat B Federal No. 1, you'll
14 notice the dramatic increase in the GOR of this well to the
15 current level of about 55,000.

16 And moving on to further down structure,
17 let's look at Petrus' Burton Flat Unit No. 2, that will be
18 (unclear) No. 16, and once again we see the same trend, the
19 GOR of around 100,000 on this well.

20 And, finally, if we turn to curve No.
21 20, we'll look at the structurally lowest well in the
22 field, the structurally lowest point. This is the Petrus'
23 Government D No. 10, which we've also looked at the decline
24 curve, and it's GOR is well over 40,000. So we're talking
25 about a very high GOR throughout the field.

1 Q All right, sir, let me have you direct
2 your attention to Exhibit Number Twelve. Would you ident-
3 ify and describe Exhibit Number Twelve for us?

4 A Yes. Exhibit Number Twelve is a reserve
5 calculation. It's an engineering work that I did in order
6 to determine whether or not the GOR (unclear) would be a
7 feasible measure. I'll just go through some of the high
8 points of this exhibit.

9 First of all I calculated the original
10 oil in place. There are two separate calculations. The
11 volumetric calculation gave me 6.74-million barrels in
12 place and a material balance calculation gave me 5.87-mil-
13 lion barrels in place, and an average of these two methods
14 yields 6.31-million barrels in place and this agrees very
15 closely with independent studies of original oil in place
16 made by Exxon and Mobil, who are also operators in the
17 field.

18 And moving to the next point, the
19 solution GOR from PVT data was shown to be 900. Now, if we
20 multiply this by the original oil in place figure, we get
21 the maximum gas in solution at original conditions to be
22 5.68 BCF and taking an 85 percent recovery factor we get
23 that we could only have recovered 4.82 BCF, and so this is
24 anomalous in the sense that the gas -- that the field has
25 already produced 6.84 BCF as of January of 1989. So the

1 only way to account for this tremendous production of gas
2 is with the presence of an original gas cap, and through ✓
3 graphical techniques we've determined that the original gas
4 in place was 5.19 BCF or 17 percent of the original oil in
5 place. So when we add the recoverable reserves from the
6 gas cap to the recoverable solution gas, we get a total
7 recoverable gas figure of 8.8 BCF.

8 Moving on down to the next item, our gas
9 production to date, as I already said, is 6.84 BCF. This
10 gives us remaining recoverable gas of 1.96 BCF. That's re-
11 maining reservoir -- I mean remaining gas to be produced
12 from the reservoir.

13 Our oil production to January 1st of '89
14 is 507,000 barrels of oil and the remaining recoverable oil
15 from the decline curve is about 22,000 barrels, or less
16 than 1000 barrels per well, which we will recover with this
17 increase in -- increased GOR.

18 Q Would you identify for us Exhibit Number
19 Thirteen, I believe it is?

20 A Yes. Exhibit Thirteen are letters of
21 support from LNT Oil Company and Monsanto. I have more
22 support letters on the way, which I'll submit as soon as
23 they come in. We have excellent support for this measure
24 from the operators in the field and we have not received
25 any opposition at all.

1 So there are more support letters com-
2 ing in and we will submit those as soon as possible.

3 Q Turn to Exhibit Number Fourteen, Mr.
4 Crabb, and identify that for us.

5 A Exhibit Number Fourteen is a letter from
6 Phillips Natural Gas Company showing that they have the
7 capacity to -- at their booster facilities for an addi-
8 tional 2-million cubic feet of gas per day and that they,
9 in my conversation with John Hawkins over the phone, he is
10 Phillips' representative, he said that they would not have
11 any problem accommodating any additional gas volume which
12 -- which we could deliver from the field because they have
13 an excellent demand for the gas.

14 MR. KELLAHIN: That concludes
15 my examination of Mr. Crabb, Mr. Stogner.

16 We would move the introduction
17 of his Exhibits One through Fourteen.

18 MR. STOGNER: Exhibits One
19 through Fourteen will be admitted into evidence.

20
21 CROSS EXAMINATION

22 BY MR. STOGNER:

23 Q Mr. Crabb, in a nutshell, what kind of a
24 reservoir do you have here? What's the driving mechanism?

25 A I believe original -- under original

1 conditions we had a gas cap and solution gas drive mechan- ✓
2 ism, and at this point the reservoir is pretty well gassed
3 out and we have a lot of wells shut in due to this high --
4 due to this GOR limitation and we're losing money on it and
5 we -- we just, as a practical measure we want the relief.

6 Q And now you mentioned volatile oil.
7 That was on --

8 A Yes.

9 Q -- on -- where did you mention that?

10 A 7, on the Exhibit 7.

11 Q Yeah, Exhibit Number 7. What do you
12 mean by volatile oil?

13 A Well, we mean an oil of a relatively
14 high API gravity, which can easily go into the gas phase,
15 more -- more readily so than, say, a lower gravity -- lower
16 gravity crude. In fact, in my -- in my dealings in Texas,
17 where I've practiced my engineering, there have been some
18 reservoirs with gravities of oil of this nature that have
19 been actually reclassified as gas, which we don't -- we
20 don't -- we don't want this for this reservoir, but it has
21 been done.

22 Q What was the original gravity of this
23 oil in virgin conditions?

24 A I would say from 44 to 46 API.

25 Q And now it is what?

1 A I don't have an existing API gravity of
2 the crude but it's probably substantially lower.

3 MR. STOGNER: I have no fur-
4 ther questions of this witness. Is there anything else,
5 Mr. Kellahin?

6 MR. KELLAHIN: Mr. Stogner,
7 we'd like to submit to you after the hearing the certifi-
8 cate of mailing.

9 For your information we have
10 taken the application that was dated January 25th and
11 mailed it to all of the interested parties we could find
12 that had working interest owners in the entire field.
13 There is an exhibit attached to the application that is
14 some 4 pages long (not clearly understood) to all those
15 parties.

16 If you'll allow me, I'll pro-
17 vide you with a certificate after the hearing to that
18 effect.

19 MR. STOGNER: Thank you, Mr.
20 Kellahin. Is there anything further?

21 MR. KELLAHIN: That's all we
22 have, sir.

23 MR. STOGNER: If there is
24 nothing further, Case 9602 will be taken under advisement.

25 (Hearing concluded.)

C E R T I F I C A T E

I, SALLY W. BOYD, C. S. R. DO HEREBY CERTIFY that the foregoing Transcript of Hearing before the Oil Conservation Division (Commission) was reported by me; that the said transcript is a full, true and correct record of the hearing, prepared by me to the best of my ability.

Sally W. Boyd CSR

I do hereby certify that the foregoing is a complete record of the proceedings in the Examiner hearing of Case No. 9602 heard by me on 15 March 1989.

Michael E. Stogor, Examiner
Oil Conservation Division