

1 STATE OF NEW MEXICO
2 ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
3 OIL CONSERVATION DIVISION
4 STATE LAND OFFICE BUILDING
5 SANTA FE, NEW MEXICO

6 1 March 1989

7 EXAMINER HEARING

8 IN THE MATTER OF:

9 In the matter of cases called on this date and continued or dismissed without testimony presented.

CASES
9610
9597
9602
9572
9573
9619
9606
9607

10
11
12
13
14 BEFORE: Victor T. Lyon, Examiner

15
16 TRANSCRIPT OF HEARING

17
18 A P P E A R A N C E S

19
20 For the Division: Robert G. Stovall
21 Attorney at Law
22 Legal Counsel to the Division
23 State Land Office Bldg.
24 Santa Fe, New Mexico
25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

I N D E X

2

3
4
5
6
7
8
9
10

CASE 9610
CASE 9597
CASE 9602
CASE 9572
CASE 9573
CASE 9619
CASE 9606
CASE 9607

1 MR. LYON: I'm Victor T. Lyon
2 for this docket, which is Docket No. 7-89, for March 1st,
3 1989.

4 The first order of business,
5 we'll go through those cases which are to be continued.

6 Case 9610.

7 MR. STOVALL: In the matter of
8 the hearing called by the Oil Conservation Division on its
9 own motion to permit Knights Bridge Petroleum Corporation
10 and James Marchbanks and all other interested parties to
11 appear and show cause why the Triple Crown Well No. 1,
12 located 660 feet from the south line and 1980 feet from the
13 east line, Section 6, Township 19 North, Range 31 West,
14 Quay County, New Mexico, should not be plugged and aban-
15 doned in accordance with a Division-approved plugging pro-
16 gram.

17 The Division requests this
18 case be continued to March 15th.

19 MR. LYON: Case 9610 will be
20 continued to March 15th.

21
22 (Hearing concluded)
23
24
25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

MR. LYON: Call Case 9597.

MR. STOVALL: Application of Meridian Oil, Inc., for compulsory pooling, San Juan County, New Mexico.

Applicant requests this case be continued to March 19th.

MR. LYON: Case 9597 will be continued to the hearing on March 29th.

(Hearing concluded.)

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

MR. LYON: Case 9602.

MR. STOVALL: Application of
BHP Petroleum, Inc., for a special GOR, Eddy County, New
Mexico.

Applicant requests this case
be continued to March 15th, 1989.

MR. LYON Case 9602 will be
continued to the Examiner Hearing on March 15th, 1989.

(Hearing concluded.)

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

MR. LYON: Case 9572.

MR. STOVALL: Application of Dugan Production Corporation for a nonstandard gas proration unit, San Juan County, New Mexico.

Applicant requests this case be continued to March 12th -- I mean April 12th, 1989.

MR. LYON Case 9572 will be continued to the Examiner Hearing on April 12th, 1989.

(Hearing concluded.)

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

MR. LYON: Call Case 9573.

MR. STOVALL: Application of
Dugan Production Corporation for a nonstandard gas prora-
tion unit, San Juan County, New Mexico.

Applicant requests this case
be continued to April 12th, 1989.

MR. LYON: Case 9573 will be
continued to the Examiner Hearing scheduled for April 12th,
1989.

(Hearing concluded.)

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

MR. LYON: Case 9619.

MR. STOVALL: Application of Santa Fe Exploration Company for an unorthodox gas well location, Eddy County, New Mexico.

Applicant requests this case be continued to March 15th.

MR. LYON: Case 9619 will be continued to the Examiner Hearing to be held March 15th, 1989.

(Hearing concluded.)

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

MR. LYON: Case 9606.

MR. STOVALL: Application of
Read & Stevens, Inc., for statutory unitization, Eddy
County, New Mexico.

Applicant requests this case
be continued to March 15th, 1989.

MR. LYON: Case 9606 will be
continued to the Examiner Hearing to be held March 15th,
1989.

(Hearing concluded.)

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

MR. LYON: Case 9607.

MR. STOVALL: Application of
Read & Stevens, Inc., for a waterflood project, Eddy
County, New Mexico.

Applicant requests this case
be continued to March 15th, 1989.

MR. LYON: Case 9607 will be
continued to the Examiner Hearing to be held March 15th,
1989.

(Hearing concluded.)

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

C E R T I F I C A T E

I, SALLY W. BOYD, C. S. R. DO HEREBY CERTIFY that the foregoing Transcript of Hearing before the Oil Conservation Division (Commission) was reported by me; that the said transcript is a full, true and correct record of the hearing, prepared by me to the best of my ability.

Sally W. Boyd CSR

I do hereby certify that the foregoing is a complete record of the proceedings in the Examiner hearing of Case No. various heard by me on March 1 1989.

W. Boyd, Examiner
Oil Conservation Division

1 STATE OF NEW MEXICO
2 ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
3 OIL CONSERVATION DIVISION
4 STATE LAND OFFICE BUILDING
5 SANTA FE, NEW MEXICO

6 15 February 1989

7 EXAMINER HEARING

8 IN THE MATTER OF:

9 Application of Read & Stevens, Inc. CASE
for statutory unitization, Eddy County, 9606
New Mexico, and

10 Application of Read & Stevens, Inc. 9607
11 for a waterflood project, Eddy County,
New Mexico.

12 BEFORE: Michael E. Stogner, Examiner
13

14 TRANSCRIPT OF HEARING
15

16 A P P E A R A N C E S

17 For the Division: Robert G. Stovall
18 Attorney at Law
19 Legal Counsel to the Division
State Land Office Bldg.
Santa Fe, New Mexico

20 For Read & Stevens, Inc.: Randolph M. Richardson
21 Attorney at Law
22 P. O. Box 2423
Roswell, New Mexico 88201

23 For H & S Oil: Ernest L. Carroll
24 Attorney at Law
LOSEE, CARSON, HAAS & CARROLL
25 P. O. Drawer 239
Artesia, New Mexico 88211

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

I N D E X

STATEMENT BY MR. CARROLL	4
GEORGE "BUD" NEWTON	
Direct Examination by Mr. Richardson	15
Cross Examination by Mr. Carroll	37
Cross Examination by Mr. Stogner	55
RANDALL R. FORT	
Direct Examination by Mr. Richardson	60
Cross Examination by Mr. Stovall	78
Cross Examination by Mr. Stogner	79
JOHN C. MAXEY	
Direct Examination by Mr. Richardson	81
Cross Examination by Mr. Stogner	98
Cross Examination by Mr. Carroll	99
Recross Examination by Mr. Stogner	100

E X H I B I T S

Case 9606	
Read & Stevens Exhibit One, Cover Letter	17
Read & Stevens Exhibit Two, History	19

E X H I B I T S Cont'd

1		
2		
3	Read & Stevens Exhibit Three, Data	20
4	Read & Stevens Exhibit Four, Estimate, etc.	26
5	Read & Stevens Exhibit Five, Data	28
6	Read & Stevens Exhibit Six, Tabulation	35
7	Read & Stevens Exhibit Seven, Performance Curve	35
8	Read & Stevens Exhibit Eight, Land Plat	62
9	Read & Stevens Exhibit Nine, Letter	64
10	Read & Stevens Exhibit Ten, Letter	64
11	Read & Stevens Exhibit Eleven, Affidavit	76
12		
13	Case 9607	
14	Read & Stevens Exhibit One, Water Analysis	90
15	Read & Stevens Exhibit Two, Plat	92
16	Read & Stevens Exhibit Two A, C-108 with	
17	Attachments	98
18	Read & Stevens Exhibit Three, Plat	94
19	Read & Stevens Exhibit Four, Affidavit	96
20		
21		
22		
23		
24		
25		

1 MR. STOGNER: Call next Case
2 Number 9606, which is the application of Read & Stevens,
3 Inc. for statutory unitization, Eddy County, New Mexico.

4 Call for appearances in this
5 case.

6 MR. RICHARDSON: Randolph M.
7 Richardson, Roswell, New Mexico, P. O. Box 2423, appearing
8 on behalf of applicant.

9 I have two witnesses who need
10 to be sworn.

11 MR. STOGNER: Any other ap-
12 pearances?

13 MR. CARROLL: Yes. I'm Ernest
14 Carroll of the law firm of Losee, Carson, Haas and Carroll
15 of Artesia, New Mexico, and I'm here appearing on behalf of
16 H & S Oil Company.

17 I have no witnesses. I sup-
18 pose I should bring this to the Examiner's attention at
19 this time. We had planned on behalf of H & S Oil to pre-
20 sent witnesses today; in particular Rupe Heinsch and Ray-
21 mond Lamb.

22 Last week when we began to put
23 the case together, Mr. Heinsch has been under -- had some
24 problems for the last two months, in particular a leg prob-
25 lem that was causing him considerable pain. We broke out

1 of a meeting, I think on Wednesday or Thursday, he went to
2 Carlsbad and never returned. The doctor put him in the
3 hospital and performed an emergency operation on his leg
4 and he is still in the hospital. I hope he will be out
5 this week. He was in a sedated situation and we just were
6 unable to prepare or adequately prepare our -- of course he
7 was just totally unavailable, and I could not get Mr. Lamb
8 prepared because Mr. Heinsch was not available to work with
9 us.

10 I am going to make a motion
11 now, and I will renew it. What I would like to do, I would
12 ask the Examiner then at the close of the applicant's case,
13 I would ask that we continue this hearing until the next
14 available Examiner's date and I'm not trying to delay it
15 any more than is just necessary, and that is up to whatever
16 Mr. Richardson and his -- what he might have to say and
17 you, Mr. Stogner, but allow us to at the next hearing pre-
18 sent my two witnesses, if we feel it's necessary.

19 I can tell the Commission that
20 there are negotiations going on. We have made a couple of
21 offers back and forth. Part of the problem, I'm not sure
22 that one of the offers is totally understood, but it's be-
23 cause Mr. Heinsch was -- was in a situation where I'm not
24 sure he knew what he was talking about. There is a possi-
25 bility that we could settle this and then all we'd have to

1 do is notify the Commission that we rest and could take the
2 case under advisement.

3 So that's procedurally what
4 I'm asking, just to continue the case until the next avail-
5 able time so that we can then present our evidence.

6 I have also advised Mr. Rich-
7 ardson that should -- I don't want to cause too many unnec-
8 essary returns before the Commission, but should there be a
9 necessity for additional, say, rebuttal evidence, I would
10 make this representation, that I would work with Mr. Rich-
11 ardson in any manner and would not make any objection to
12 how he wanted to present that evidence, whether by affi-
13 davit, deposition, whatever form, just written form or what
14 have you, I would allow that under the circumstances be-
15 cause I know I'm coming here and it is an imposition. It's
16 just something that was totally beyond our control; Mr.
17 Heinsch's health, it's something that was just unforeseen,
18 but whatever way it takes, it's just -- Mr. Heinsch should
19 be out of the hospital this week, so any time after that we
20 should -- we should be able to, and even if he's not out of
21 the hospital I can at least prepare Ray Lamb because he
22 would be able to meet -- I have been talking with him,
23 talked with him yesterday at the hospital and his mind is
24 at least clear now and is not (unclear).

25 MR. STOGNER: Mr. Richardson?

1 MR. RICHARDSON: I would like
2 to wait until after the testimony and all the hearing is in
3 and determine if possibly there's enough in the entry in
4 the hearing that we could forego having a continuance.

5 MR. STOVALL: Let me do this
6 on the record, Mr. Examiner, if I might.

7 My advice, we're talking about
8 a legal procedural issue and I will tell you now how I will
9 advise the Examiner to -- to conduct this. I think the re-
10 quest for a continuance under the circumstances is very ap-
11 propriate. Our objective here is that all parties have a
12 fair opportunity to be heard. It's a legal procedure; it's
13 an adjudicatory proceeding; and under the circumstances I
14 would advise the Examiner to grant such continuance as is
15 necessary to enable Mr. Carroll's client and witnesses to
16 be present, given the circumstances that it is not a dila-
17 tory tactic and was necessitated by a true medical situa-
18 tion.

19 And the question I would raise
20 for the parties at this time is given that information, you
21 know, think for a moment, if you will, as to whether you
22 wish to present your direct case now anticipating that you
23 will be back for a hearing in two weeks, or whether you
24 would prefer to have the entire hearing conducted at one
25 time.

1 MR. RICHARDSON: I had rather
2 go ahead and proceed today.

3 MR. STOVALL: Mr. Carroll, ap-
4 parently is --

5 MR. CARROLL: I don't feel
6 right making an objection to that because I know he was
7 brought witnesses in from as far away as Wichita Falls and
8 I think he should be allowed to go ahead and put them on.

9 MR. STOVALL: If you don't
10 have any objection to that, then that's, you know, certain-
11 ly I would advise the Examiner to continue with it, but I
12 want you to be aware, particularly, Mr. Richardson, that I
13 am going to advise him that the continuance should be
14 granted, that they have the opportunity to -- and you know,
15 it avoids also, it avoids the risk of a de novo hearing,
16 too, so in the long run, ultimately it's expeditious for
17 everybody to make sure we've had full and proper hearing at
18 this level.

19 MR. RICHARDSON: Fair enough.

20 MR. DAMON RICHARDS: Could the
21 continuance be limited to just the witnesses of H & S Oil
22 Company being, what, Rupe Heinsch and Ray Lamb, and any re-
23 buttal by Read & Stevens?

24 MR. STOVALL: As opposed to
25 what? What are you thinking, Mr. Richards?

1 MR. RICHARDS: Well, I'm
2 assuming to limit it down. I don't want anybody else com-
3 ing in at later times saying, hey, since that whole thing
4 was continued, I think I'm going want to --

5 MR. STOVALL: You mean another
6 party appearing in the case?

7 MR. RICHARDS: Yeah.

8 MR. STOVALL: Quite frankly,
9 I'm not sure whether we could deny another party appearance
10 if they showed up at the continued hearing.

11 MR. RICHARDS: That's the
12 reason I'd like to have it limited just to Mr. Carroll re-
13 presenting the H & S Oil Company and the two witnesses that
14 he's named today.

15 MR. STOVALL: Well, I think
16 his -- I think his representations would, you know, he has
17 made a representation as a lawyer to you and to the
18 Examiner, and I expect him to honor that. I'm not sure I
19 necessarily would limit his witnesses, if he had to rear-
20 range and come up with some other witnesses on the issue.
21 That would be fine.

22 As far as other parties who
23 are not presently in this room appearing at a continued
24 hearing, I'd have some real questions as to whether we
25 could permit them at hearings.

1 MR. RICHARDSON: This case
2 will not be readvertised.

3 MR. STOVALL: It will appear
4 on the next -- I don't know if we'll advertise in the paper
5 or not.

6 MR. STOGNER: It will not be
7 advertised, but it will appear on the next docket.

8 MR. STOVALL: It will appear
9 on the next docket, so it will be noticed in that manner.

10 My concern as a procedural
11 matter is that these hearings be -- we have a full, full
12 blown hearing opportunity to be heard, cross examination,
13 the entire --

14 MR. RICHARDS: That's fine but
15 I feel like a party not showing up today has waived their
16 right to appear later. Mr. Carroll and his client are ap-
17 pearing. There are certain circumstances beyond our con-
18 trol why they couldn't be here, and I can understand the
19 continuance as to that one party.

20 I really don't see any reason
21 to continue it for anybody else.

22 MR. STOVALL: I'm not passing
23 on the question. I don't know, I mean, quite frankly I
24 have to just look into it and do a little research. I
25 understand your point and I will not make a recommendation

1 at this point to the Examiner.

2 MR. RICHARDS: Okay.

3 MR. STOVALL: But that's my
4 recommendation so that's --

5 MR. CARROLL: When would the
6 next Examiner Hearing be that you would call this on?

7 MR. STOGNER: March 1st.

8 MR. CARROLL: It would be
9 March 1st.

10 MR. STOGNER: And I will be
11 here also. I'm not the scheduled hearing officer, I'm an
12 alternate hearing officer, but I will be here that day and
13 will be present in the room and maybe even co-chair this --

14 MR. STOVALL: Or you can come
15 in as alternate examiner and hear this case so you can
16 determining --

17 MR. STOGNER: It's sometimes
18 difficult to have two hearing officers hearing the same
19 testimony and --

20 MR. RICHARDS: I agree.

21 MR. CARROLL: That will be
22 fine. That will be fine.

23 MR. STOGNER: I think for the
24 -- for the sake of the record, let's go ahead and rule on
25 this motion and grant your continuance for two weeks.

1 Mr. Richards, your question
2 brought up about limiting it, as Mr. Stovall has mentioned
3 in the record, I -- there's some question about whether --
4 legalities of what we'll do, and let's just cross that
5 bridge when we get to it, is about the only thing I can say
6 at this point.

7 Anything further, Mr. Carroll?

8 MR. CARROLL: I have nothing
9 else.

10 MR. STOGNER: Mr. Richards?

11 MR. STOVALL: Now let me go
12 off the record for just a second, Sally.

13

14 (Thereupon a discussion was had off the record.)

15

16 MR. RICHARDSON: Randolph M.
17 Richardson would like to make a motion that Cases 9607 and
18 9606 be combined, consolidated, since they are both con-
19 nected to the Bunker Hill Unit secondary recovery.

20 MR. STOGNER: Thank you, Mr.
21 Richardson. We'll call next Case Number 9607 at this
22 point.

23 MR. STOVALL: Application of
24 Read & Stevens, Inc., for a waterflood project, Eddy
25 County, New Mexico.

1 MR. STOGNER: Mr. Richardson
2 has made his presentation in 9607, is that correct?

3 MR. RICHARDSON: No, I've --

4 MR. STOVALL: Entered your ap-
5 pearance.

6 MR. RICHARDSON: Entered an
7 appearance, yes.

8 MR. CARROLL: And I would
9 enter my appearance in both cases, too, consolidated, on
10 behalf of H & S Oil Company.

11 MR. STOVALL: I think, to ad-
12 dress the attorneys again in this case, we've had a motion
13 in 9606 with respect to a continuance and I assume that
14 would apply to 9607.

15 MR. CARROLL: That's correct.

16 MR. STOVALL: Is there any
17 concern of having that motion apply to both cases?

18 MR. RICHARDSON: They do tie
19 together.

20 MR. STOVALL: Mr. Richards,
21 are you entering an appearance in this case, as well?

22 MR. RICHARDS: I'm just
23 sitting around.

24 MR. STOVALL: Okay.

25 MR. STOGNER: Well, since

1 you're on the record, why don't you go ahead and --

2 MR. RICHARDS: Okay, I'm Damon
3 Richards of the law firm of Sanders, Bruin, Coll & Worley,
4 of Roswell, and I'm just sitting here next to Mr. Richard-
5 son.

6 MR. RICHARDSON: Mr. Examiner,
7 could I ask, if we combine the cases for testimony, will
8 you have two orders or will there be a combined order?

9 MR. STOGNER: It will be two
10 orders.

11 MR. RICHARDSON: Two orders.

12 MR. STOGNER: And in the order
13 there will be a finding that they were consolidated for
14 purposes of testimony. It is customary and usually benefi-
15 cial in matters such as statutory unitization and water-
16 flood, since they do go hand in hand, to hear both cases at
17 the same time but an order will -- there will be two separ-
18 ate -- two separate orders issued.

19 Are there any other appear-
20 ances at this time in either case?

21 MR. RICHARDSON: For all three
22 cases, yes, or two cases.

23 MR. STOGNER: Two cases. I
24 wanted to give everybody in the room a chance to appear if
25 they please.

1 MR. RICHARDSON: Three
2 witnesses to be sworn.

3 Would you all stand and be
4 sworn.

5 MR. STOVALL: You don't have
6 any witnesses at this time, Mr. Carroll, is that correct?

7 MR. CARROLL: No, I do not.

8

9 (Witnesses sworn.)

10

11 MR. RICHARDSON: The first
12 witness will be Mr. Bud Newton.

13 I would like to submit Exhi-
14 bits One through Eleven.

15

16 GEORGE "BUD" NEWTON,
17 being called as a witness and being duly sworn upon his
18 oath, testified as follows, to-wit:

19

20 DIRECT EXAMINATION

21 BY MR. RICHARDSON:

22 Q Mr. Newton, would you please state your
23 name, address, together with your educational and profes-
24 sional background which would enable you to testify as an
25 expert witness in this case?

1 A My name is Bud Newton. I'm with the
2 firm of Stephens Engineering in Wichita Falls, Consulting
3 Petroleum Engineers.

4 I received a Bachelor of Science degree
5 from the University of Texas at Austin. I've been with
6 Stephens Engineering in the capacity of petroleum engineer
7 since that time.

8 Q Has Stephens Engineering conducted many
9 waterfloods or has had much experience in the State of New
10 Mexico?

11 A Yes, we have. Stephens Engineering in-
12 stalled and supervised the very first secondary recovery
13 project in the State of New Mexico back in the fifties and
14 successfully completed that project, I believe it was in
15 1986.

16 Since that time we have supervised and
17 installed in excess of nine waterflood projects in the
18 State of New Mexico. Currently we are operating three
19 waterflood projects, two of which are in Eddy County, and
20 we're supervising one additional waterflood project for
21 Barber Oil in Eddy County.

22 Some of the clients that we have per-
23 formed waterflood supervision services for are McClellan
24 Oil and Gas, Murphy Operating, and Barber. We're currently
25 operating one Penrose waterflood project approximately 15

1 miles to the south, 15 miles to the northeast -- to the
2 southeast of called the East Millman Pool Unit.

3 Q Mr. Newton, you have before you a bound
4 brochure of 53 pages entitle Preliminary Waterflood Study.
5 Was this brochure prepared by Stephens Engineering with
6 your aid and assistance?

7 A Yes, it was.

8 MR. RICHARDSON: Would his
9 qualifications be acceptable?

10 MR. STOGNER: Are there any
11 objections, Mr. Carroll?

12 MR. CARROLL: None.

13 MR. STOGNER: Mr. Newton is so
14 qualified.

15 Q The Division has been handed and submit-
16 ted a duplicate copy marked Exhibit One through Seven. It
17 has been divided into seven different exhibits with each
18 exhibit being tagged, clearly identified as Exhibit One,
19 Exhibit Two. One or two of the exhibits refer to a map.
20 The maps have been given an exhibit number as well as the
21 map of the map, so that it can be readily identified.

22 The -- if you would, Mr. Newton, please
23 refer to Exhibit Number One, which is a cover letter, and
24 would you please briefly state the contents of this Exhibit
25 One, Cover Letter?

1 been completed, this Exhibit One recommends that the re-
2 mainder of the field be converted to a secondary recovery
3 unit for the purpose of full waterflood operations.

4 Q Will you now please refer to Exhibit
5 Two, which is entitled History and Development and please
6 state the contents of this exhibit?

7 A History and development is a detail of
8 the history of drilling and completion Penrose Sand Wells
9 as well as other nearby formations in the Bunker Hill
10 Field, giving a chronological order of how the wells were
11 drilled and completed and by whom these wells were drilled
12 and completed. Also gives a detail of the previous produc-
13 tion obtained from the various reservoirs in the Bunker
14 Hill Field.

15 Q Do you say when the first Penrose -- the
16 Penrose was first found to be productive in the Bunker Hill
17 area?

18 A That was in October of 1964.

19 Q And how many Penrose wells were drilled
20 between 1964 and 1980?

21 A None.

22 Q And when were these wells drilled?

23 A The wells were drilled between 1980 and
24 1983.

25 Q So practically all the drilling and de-

1 velopment within the Bunker Hill Penrose Field has been
2 between 1980 and 1983 and when would you consider that that
3 Penrose Field, Bunker Hill Penrose Field, reached its eco-
4 nomic limits?

5 A I would say late 1987 or early 1988.

6 Q What was the daily production from the
7 28 wells within the unit area at the time you began assemb-
8 ling information for this engineering study?

9 A Approximately 115 barrels of oil per
10 day, 3 barrels of water per day, and 325 MCF of gas per
11 day.

12 Q And this would equate to an average of
13 how many barrels per well per day?

14 A It would be 4.1 barrels of oil per day
15 per well.

16 Q So, from having studied this field and
17 area, can you state positively that the reservoir has --
18 reservoir to be unitized has been reasonably defined by de-
19 velopment?

20 A Yes, it has.

21 Q If you would, would you please now refer
22 to Exhibit Three, which covers pages 5 through 21 of the
23 brochure, and is entitled Geological and Reservoir Data.
24 The written test refers to plats and maps by name and I
25 have tabbed these plats as Exhibit Three, together with

1 name. Please briefly describe the lithology and structural
2 features and thickness of the Penrose Sand as found within
3 the unit area. When referring to a plat or a map, please
4 state the Exhibit Three and name of plat.

5 A From the report the Penrose Sand is a
6 Guadalupe Series, Permian Age sandstone found at an aver-
7 age subsurface depth of approximately 3,550 feet in the
8 project area.

9 Reservoir rock is described as a moder-
10 ately compacted, moderately sorted arkosic sandstone with
11 anhydrite occurring as the major cementing agent. The
12 sandstone grains are consistently coated with corrensite
13 and discrete chlorite which are water and acid sensitive
14 clays.

15 Field structure indicates the Penrose
16 Sand to be draped on the eastern flank of a subsurface high
17 rising to the northwest at an average rate of 70 feet per
18 mile. The zone is bound on the top and bottom by distinc-
19 tive anhydrite beds. Areal reservoir limits are defined
20 to the northwest, west, and southwest by the gas cap and to
21 the east, southeast, and northeast by an increasing loss of
22 adequate porosity.

23 Exhibit Three, Geologic Structure Map,
24 page 19, is a map that is contoured on the bottom of the
25 Penrose Sand. Along with that map, Exhibit Three,

1 Structure Map, the top of the Penrose Sand is a structure
2 map contoured on the top of the Penrose Sand.

3 Page 20, Exhibit Three, Isopachous Map
4 Oil Column, shows the limits of the reservoir as they ex-
5 tend in each direction, north, east, south and west, as
6 well as the contoured intervals of that sand.

7 Exhibit Twenty-one -- I mean Exhibit
8 Three, Isopachous Map Gas Cap on page 21, is a gas cap
9 gross volume pay that shows the areal limits and contour
10 intervals of the gas cap existing in the pool.

11 Q Mr. Newton. you'll also find a tab which
12 reads Exhibit Three, Well Records, and another which reads
13 Exhibit Three, Reservoir Data. Could you please state the
14 contents of these portions of Exhibit Three?

15 A Exhibit Three, Well Records, is a
16 summary by well for each well in the proposed unit area, of
17 each well's drilling and completion history as well as re-
18 completions, subsequent treatments. This well records
19 tabulation shows dates and depths formations were encount-
20 ered and completed in the Bunker Hill Field.

21 Exhibit Three, Reservoir Data, deals
22 specifically with the Penrose Sand as it occurs in each
23 well in the proposed unit outline. This tabulation shows
24 the surface KB elevation of the well. It shows the occur-
25 rence of the Penrose Sand in each well. It shows the per-

1 forated interval in each well and the total gross pay in
2 each well. In addition it shows several, or two, reservoir
3 characteristics, those being the average porosity encount-
4 ered in each well, as well as the average water saturation
5 encountered in each well.

6 Q Mr. Newton, from your studies and re-
7 port, did you determine that the reservoir was in effect
8 composed of three different areas --

9 A Yes, I did.

10 Q -- of production and what would those
11 areas be?

12 A Those areas will be an area comprised of
13 gas cap only; an area comprised of a gas cap underlain by
14 an oil column; and an area comprised of an oil column only.

15 Q In calculating your gross acre feet of
16 pay in the reservoir, what percent porosity did you use as
17 a minimum or a cutoff?

18 A 11.8 percent of the pore volume.

19 Q With your calculations, what is the net
20 productive oil reservoir volume?

21 A 4,380.8 acre feet.

22 Q In addition to the 11.8 percent porosity
23 cutoff, Exhibit Three shows that you use some 13 other
24 factors in analyzing the reservoir. Without going into de-
25 tail as to all of the tremendous calculations and consider-

1 ations, what were your conclusions as to the original oil
2 in place and the amount that has been recovered through
3 primary operations?

4 A I had calculated the original oil in
5 place in the Penrose Sand in the Bunker Hill Field to be
6 548.8 stock tank barrels per acre foot

7 Primary recovery operations have recov-
8 ered 76.1 stock tank barrels per acre foot.

9 Q In your opinion what is the estimated
10 percentage of original oil in place that has been recov-
11 ered?

12 A 13.9 percent.

13 Q And you also show some cumulative gas
14 production and as of August 1st, 1988, your cumulative gas
15 production shows to be 618,600 MCF. Did you estimate
16 what percentage of this gas was produced from the gas cap
17 and what percentage produced is solution gas?

18 A Yes, I did. I estimated the percentage
19 of the gas recovered that would be included as solution gas
20 was 43 percent, while the gas that had been recovered that
21 was attributable to the gas cap was 57 percent.

22 Q And your calculated oil saturation as of
23 August the 1st, 1988, shows to be 43.3 percent. In a solu-
24 tion gas drive reservoir what does this movable oil satura-
25 tion indicate?

1 A First off it indicates that normal pri-
2 mary recovery has occurred. There was no -- there were no
3 extraneous circumstances involved with primary recovery.

4 Secondly, it indicates that there is a
5 sufficient oil saturation remaining in the reservoir to
6 economically justify a waterflood program.

7 Q Does Exhibit Three, which you have just
8 reviewed, state a statement or contain a statement as to
9 the reservoir horizontal limits?

10 A Yes, it does. Horizontal reservoir
11 limits, as referenced in Exhibit three, Geological Reser-
12 voir Data, states that areally the reservoir limits are de-
13 fined to the northwest, west and southwest by the gas cap;
14 to the east, southeast and northeast by an increasing loss
15 of adequate porosity.

16 Q Was a unit outline determined from and
17 made to correspond to the horizontal limits of the reser-
18 voir?

19 A Yes, it was. In determining our recom-
20 mendation for the proposed unit outline we included each
21 40-acre tract that was cut 50 percent or more by the 5-foot
22 contour interval.

23 Q Has there been any water produced along
24 with the oil and gas from the Penrose?

25 A Very negligible.

1 Q And what does this lack of water indi-
2 cate?

3 A It indicates firstly that the reservoir
4 is not now nor has been in the past affected by active
5 water encroachment.

6 If further indicates that the reservoir
7 is an irreducible water saturation.

8 Q Mr. Newton, I have marked pages 22
9 through 38 as Exhibit Four, which is entitled Estimate of
10 Recoverable Oil. Please state the contents of this Exhibit
11 Four and your conclusions as to the number of additional
12 barrels of stock tank oil that are estimated to be recover-
13 ed through secondary recovery operations.

14 A Exhibit Four shows our methods for
15 determining oil in place, as well as our method for deter-
16 mining the cumulative primary production and what percent-
17 age that occupied.

18 It further indicates our methods for
19 determining the projected secondary recovery of oil from
20 the Penrose Sand as a result of waterflooding.

21 We've determined or have estimated the
22 future recovery in stock tank barrels from the Penrose Sand
23 as the result of waterflooding operations to be 342,959
24 barrels.

25 Q That is additional oil to be recovered

1 through secondary.

2 A Right.

3 Q You have previously testified that ap-
4 proximately 13.9 percent of the original oil in place has
5 been recovered through primary operation. If you add pri-
6 mary and secondary you estimate a recovery of 676,237 bar-
7 rels. What percent recovery of original oil in place do
8 you estimate this as being?

9 A This would represent 33.7 percent of the
10 original oil in place.

11 Q And your secondary to primary ratio you
12 calculate as being what?

13 A 1.03 to 1.

14 Q Now, Mr. Newton, Exhibit Four, pages 24
15 through 38, are graphs showing reservoir performance curves
16 on 15 leases in the Bunker Hill Pool.

17 Based upon your study of reservoir per-
18 formance did you confirm that the Penrose Sand reservoir
19 has reached its economic limits under primary operation?

20 A Yes, it is has.

21 Q What generally happens to a pool or a
22 field that has reached economic limits?

23 A If secondary recovery operations are not
24 undertaken, then wells will be plugged and abandoned
25 leaving recoverable reserves in the ground.

1 Q Will your recommended water injection
2 program has been marked Exhibit Five and consists of pages
3 39 through 51 of the brochure with page 47 being a plat of
4 proposed injection facilities for a completed, full flood.

5 Does this Exhibit Five also set forth
6 the participation formula?

7 A Yes, it does.

8 Q Would you please state the parameters or
9 factors which are the basis of your participation formula?

10 A Surface acreage per tract, the floodable
11 volume, floodable reservoir volume contained beneath each
12 tract, the cumulative primary recovery experienced by each
13 tract, and the current barrels of oil per day equivalent
14 being experienced on each tract.

15 Q And what weight percentage do you give
16 each of these four factors?

17 A We gave surface acreage 3 percent
18 weight; reservoir floodable volume, 47 percent; cumulative
19 primary recovery, 25 percent; and current barrel -- barrels
20 of oil per day equivalent, 25 percent.

21 Q Which factor or what factor has been the
22 greatest weight?

23 A The floodable reservoir volume contained
24 beneath each tract.

25 Q And prior to arriving at your

1 participation formula did you consider other factors which
2 may have been involved, or other factors, say, that you had
3 used on different waterflood areas?

4 Just, in other words, these four things
5 weren't the only things that you considered?

6 A That's correct. There are always a num-
7 ber of different parameters that can be included in a par-
8 ticipation formula in any combination. Other factors that
9 we included, that we considered while developing this for-
10 mula were the gross Penrose footages included in each well
11 as well as the current cash flow being experienced on each
12 tract; however, the final formula did include just these
13 four.

14 Q Well, based upon your study, knowledge
15 and experience, is this participation formula you have pre-
16 scribed the most logical and perhaps the best for this par-
17 ticular reservoir?

18 A Yes, it is.

19 Q Will the participation formula allocate
20 production to the separately owned tracts on a fair,
21 reasonable and equitable basis?

22 A Yes, it will.

23 Q We note that there are several tracts
24 within the unit area that have not been drilled. What is
25 the purpose of including the undrilled tracts?

1 A The purpose of these undrilled tracts is
2 to protect the unit from non-unitized offsetting withdraw-
3 als. If allowed, if someone were allowed to come in and
4 offset the unit while not cooperating with the unit, they
5 could do considerable damage to the future operations.

6 Q Were these undrilled tracts given any
7 weight in your participation formula?

8 A Yes, they were. We included a 3 per-
9 cent weighted factor for surface acreage.

10 Q Exhibit Five also, Mr. Newton, mentions
11 certain reservoir characteristics which could affect per-
12 meability. Would you mention these and state what can be
13 done to perhaps overcome that effect.

14 Q Potentially detrimental to the success
15 of the waterflood is the fact that the reservoir does con-
16 tain corrensite and discrete chlorite, which are water sen-
17 sitive clays. If not properly handled and if injected
18 water is not properly treated, those clays could be caused
19 to swell, limiting permeability in the reservoir. That
20 would be a detrimental effect.

21 The other detrimental possibility is
22 that within the reservoir there are contained high
23 permeability streaks which would preferentially control the
24 flow of water; however, with a properly monitored
25 waterflood program, those things can be overcome, also.

1 Q Exhibit Five also contains a cost esti-
2 mate for a pilot as well as for a completed, poolwide
3 flood.

4 As I understand it, this cost estimate
5 was prepared last August or September and was based on
6 prior cost experience personally gained from other water-
7 flood of a similar nature. A more recent cost estimate,
8 prepared in December, is considerably higher than that set
9 out in Exhibit Five.

10 Without going into an item by item cost
11 analysis, will you please state the estimated cost of the
12 pilot project as well as a completed poolwide flood as
13 shown by the most recent December estimate?

14 A The most recent estimates for installa-
15 tion of a pilot project is \$165,905. Upon installation of
16 that pilot project there will be existing salvage equipment
17 available in the field for sale and after the sale of that
18 equipment the net investment for that pilot waterflood pro-
19 ject would be \$151,705.

20 When expansion to the full waterflood
21 came about, the investment there would be \$303,690. Once
22 again there would be considerable salvaged equipment avail-
23 able for sale and that would bring the net investment for
24 the expansion down to \$196,201.

25 Q Are there any particular items that you

1 would like to mention that would account for this increase
2 from your first estimate as shown in the Exhibit Five to
3 the December estimate?

4 A Yes. One of the specific items that ac-
5 counted for the increase in cost was plastic-lined tubing
6 to be run in the injection wells. I had previously not --
7 not included plastic-lined tubing for the injection wells.

8 In addition costs have been included for
9 damages to right-of-way, preparation of location, just sim-
10 ply updated costs from the time that I initially did my
11 estimate till December, as well as some included costs for
12 ditching and laying of lines.

13 Q Mr. Newton, the unit operating agree-
14 ment, specifically the accounting procedure, attached as
15 Exhibit E to the operating agreement, provides for admini-
16 strative overhead rate of \$3,500 for drilling wells and
17 \$325 dollars for each producing well.

18 Could you explain, please, why admini-
19 strative overhead rates on an injection well should be the
20 same, or very nearly the same, as a producing oil well?

21 A It is my opinion from experience dealing
22 with injection projects, that an injection well requires
23 the same, if not more, administrative work on a regular
24 basis than do producing wells. By that I mean that vol-
25 umes, injected volumes of pressures on injection wells must

1 be monitored and recorded daily, as well as filing regu-
2 latory forms. So I believe that injection wells do take
3 just as much time, if not more time, to administratively
4 keep up with as producing wells do.

5 Q Well, assuming that the waterflood will
6 progress beyond the pilot stage and will result in an ulti-
7 mate recovery of an additional 343 barrels of stock tank
8 oil, could you please tell the Division your calculated re-
9 turn on investment and how you adjusted for widely fluctu-
10 ating oil prices?

11 A To take into account the fluctuating oil
12 prices, we ran two pricing scenarios, the first of which
13 was a flat oil price case. Currently in the Bunker Hill
14 Field we're receiving 7 -- \$16.79 -- .75 per barrel for
15 oil. Based on that flat case the return investment for the
16 waterflood project is 3.7-to-1 after operating expenses.

17 Along the same lines to make some kind
18 of an indication of what the return on investment would be
19 from an escalated pricing case, we did just that, we esca-
20 lated prices throughout the life of the flood in a reason-
21 able manner, not at all what I would consider to be out of
22 line as far as installation, and that pricing scenario
23 yields the return on investment of 70.6-to-1.

24 Q This return on investment will be over
25 what period of time?

- 1 A Over an 8 to 10 year period.
- 2 Q And you did talk about that. In arriv-
3 ing at this return to investment ratio you did include and
4 calculate into your computations the monthly operating
5 cost.
- 6 A Yes, I did.
- 7 Q Is that correct?
- 8 A Yes, I did.
- 9 Q In your opinion will the additional cost
10 for this waterflood and unit return a reasonable profit to
11 the working interest owners?
- 12 A Yes, it will.
- 13 Q Is a unit and unit operations necessary
14 to effectively conduct secondary recovery operations?
- 15 A Yes, I believe they're absolutely neces-
16 sary if this project is to be undertaken.
- 17 Q Will unitized operations substantially
18 increase ultimate recovery?
- 19 A Yes, they will.
- 20 Q Will unitized operations of the Penrose
21 Sand reservoir prevent waste and result in substantially
22 more recovery of oil and gas than otherwise would be recov-
23 ered?
- 24 A Yes, it will result in substantially
25 more recovery of oil and gas. The amount of additional oil

1 recovery is approximately equal to the primary oil recov-
2 ery; therefore secondary operations would double oil re-
3 covery.

4 Q I have marked page 52 of the brochure as
5 Exhibit Six. Would you please state what this exhibit
6 shows or contains?

7 A Page 52, which is Exhibit Six, is a tab-
8 ulation of the calculated unitization parameters pursuant
9 to the participation formula previously discussed. This
10 tabulation lists each parameter that we included into the
11 unitization formula by tract and then gives a resulting
12 tract participation factor for each tract.

13 Q And is this the breakdown on a lease by
14 lease, tract by tract basis of all of your participation
15 for --

16 A Right.

17 Q -- all the factors in that?

18 Mr. Newton, the last exhibit, being the
19 last page of the brochure, has been marked Exhibit Seven,
20 and is entitled Composite Performance Curve. Would you
21 please briefly describe what this graph shows paying parti-
22 cular attention to the projected points in time?

23 A This is a projection of our estimate of
24 future withdrawal with the recommended waterflood program.
25 The first point, being January 1 or February 1 of 1989, is

1 when we projected the pilot waterflood project to begin.

2 Approximately one year later, which is
3 1-1 of 90, is where recommended that expansion to the full
4 waterflood program occur. As you can see, with wells being
5 converted to water injection, you would have a drop in your
6 current oil production rate at that time.

7 Ten months later we propose to see the
8 first response from water injection on a fieldwide basis
9 and it would take 30 months to reach the peak oil produc-
10 tion rate, as indicated by the peak on the curve.

11 At the end of the flood, which is 53
12 months later, we propose that -- or we had estimated that
13 the performance will be at economic limit by that time.

14 Q Mr. Newton, could you or could anyone, a
15 petroleum engineer, production specialist, layman, whatnot,
16 guarantee that a waterflood would be successful?

17 A No.

18 Q Is it possible for three or four more,
19 three, four, or more petroleum engineers, geologists, what-
20 not, to have three or four different opinions as to work-
21 ability?

22 A Yes, very possible.

23 MR. RICHARDSON: I have no
24 further questions, Mr. Examiner.

25 MR. STOGNER: Thank you, Mr.

1 Richardson.

2 Mr. Carroll, your witness.

3
4 CROSS EXAMINATION

5 BY MR. CARROLL:

6 Q Mr. Newton, in your study of this parti-
7 cular Bunker Hill area, have you found that the pay zone
8 throughout this area is -- is generally the same with re-
9 spect to porosity and permeability?

10 A I didn't find any wide variations, no.

11 Q Have you, and I'm not sure, just trying
12 to determine just exactly what process you were going
13 through in calculating the pay zone, have you determined --
14 did you calculate what would be called a net pay zone for
15 these wells?

16 A Yes, I did.

17 Q Okay. What was the criteria that you
18 used in determining the net pay zone?

19 A The net pay zone was determined by first
20 projecting what future and then ultimate primary recovery
21 should be. We know from experience (unclear) speaking of
22 "we", know from experience that recovery, primary recovery
23 in a clean sand in this area should be 13 to 14 percent of
24 the oil in place.

25 Using that we -- we calculated the net

1 pay, first by determining the gross pay in each well. We
2 then planimetered a map constructed of contoured intervals
3 and applied that 12 to 14 percent primary into that, coming
4 up with a net to gross adjustment of 30.8 percent.

5 Q Well, how -- how did you determine gross
6 pay?

7 A By log analysis.

8 Q Okay, did you examine each log for all
9 the wells, then, in this -- the -- that are contained
10 within this outline of this proposed waterflood?

11 A Yes.

12 Q Now, this particular -- the sand that we
13 find out here, this Penrose Sand, in this area, it is not
14 what one would normally call a clean sand, is it?

15 A It's not entirely clean, no.

16 Q In fact there's a high concentration of
17 anhydrite or an anhydritic sand found in this -- this
18 Penrose area.

19 A There is a concentration. I don't know
20 that I can call it high, but there is present anhydrite
21 right here.

22 Q Did you take into consideration in de-
23 termining the net pay zone this occurrence?

24 A Yes. The anhydrite was precisely why I
25 could not use gross pay calculations. The logs that I had

1 to work with when beginning this study, did not discrim-
2 inate between sandstone and anhydrite. Those logs were
3 just not able to do that. Therefore, I did have to take
4 anhydrite into consideration.

5 Q All right. Did you try to determine
6 what the net pay zone for each of these wells was on the
7 basis of log, log analysis?

8 A I did try, yes.

9 Q All right, I take it by your answer that
10 you were unsuccessful or you threw that out.

11 A Right.

12 Q Why were you unsuccessful and why did
13 you throw it out?

14 A I was unsuccessful in determining net
15 pay directly from logs because of what I just stated, that
16 anhydrite, on the logs that I had to work with, was not
17 distinguishable from the pay sand. The logs simply did not
18 differentiate between nonproductive anhydrite and produc-
19 tive sand, and after -- after going through and making some
20 assumptions as to net pay and then running those through
21 volumetric calculations, the recovery results were simply
22 not -- were simply not possible; therefore I threw those
23 numbers out.

24 Q Did you prepare any cross sections of
25 this area, the proposed waterflood area?

1 A I did not personally, no.

2 Q Were any cross sections prepared in con-
3 nection with the preparation of this report that you've
4 been testifying to that has the Stephens Engineering stamp?

5 A Not to my knowledge.

6 Q Wouldn't a cross section have been help-
7 ful in trying to determine some of the problems with the
8 anhydritic occurrence in this reservoir and also the -- you
9 mentioned one of the problems of this kind of reservoir is
10 these permeability streaks.

11 Wouldn't a cross section have helped you
12 determine where those things lie and given you some aid?

13 A Not from the suite of logs that I had to
14 work with, no. I didn't see any particular reason to go to
15 -- to do the cross section. I didn't see any wide varia-
16 tion from well to well as I looked at logs, to indicate any
17 discontinuity in the reservoir. Further, the suite of logs
18 that I had to work with would not have shown any appreci-
19 able permeability differences between the wells, so I did
20 not feel it was necessary in this case to do a cross sec-
21 tion.

22 Q All right. Are you saying that each log
23 that you looked at, the area that -- the pay zone area that
24 we're talking about in the Penrose Sand, appeared to be
25 virtually the same?

1 A I didn't see any major differences, no,
2 that I recall.

3 Q All right. Now you spoke "suite of
4 logs". What kind of logs are we talking about that you
5 were examining?

6 A There were electric logs and, if I re-
7 member correctly, a suite of logs called guard logs, and
8 those are the type logs that I have worked with.

9 Q All right. Did you examine this --
10 these same kind of logs on the wells that were found on the
11 Larue and Muncy operated acreage?

12 A Well, off the top of my head I cannot
13 recall what type of logs I had to work with on those. I
14 just -- I don't remember.

15 Q It is your testimony that the porosity
16 and permeability on the H -- on the Larue and Muncy acreage
17 which are -- were noted by the names the Rutter Federal
18 Lease and the Joe Lease, do they exhibit the same kind of
19 porosity and permeability that you find throughout the rest
20 -- the remainder of this proposed waterflood area?

21 A I do have an indication, a well -- re-
22 servoir data tabulation in the report.

23 The Joe No. 1 exhibited normal porosity.
24 I did not have a porosity available for the other (not
25 clearly understood.)

1 MR. RICHARDSON: Might I make
2 a slight clarification here?

3 You referred to the Larue and
4 Muncy wells and that is the wells under which your client
5 has an interest.

6 MR. CARROLL: That's correct.

7 MR. RICHARDSON: And you're
8 representing H & S; however, the leases that are being
9 discussed as Larue and Muncy are the leases under which
10 your client has an interest.

11 MR. CARROLL: Yes.

12 MR. RICHARDSON: The Larue and
13 Muncy wells are yours, you're talking about.

14 MR. CARROLL: That's -- that's
15 correct, the Larue and Muncy, for the record, and for the
16 Examiner, is the actual operator of some 200 acres and my
17 client, H & S Oil is a working interest owner of approxi-
18 mately 25 percent under those two leases.

19 MR. STOGNER: Let me go back
20 and make sure I'm clarified on this.

21 On Exhibit Number Six, page
22 52, Larue and Muncy, there's two leases, a Joe lease and a
23 Rutter Federal, is that correct?

24 MR. RICHARDSON: Right, yes.

25 MR. STOGNER: Do those have

1 tract numbers?

2 MR. RICHARDSON: Yes, under
3 the unit agreement. I think they are both Tract 1 and 2 in
4 the unit.

5 MR. STOGNER: So Joe would be
6 Tract 1?

7 MR. RICHARDSON: I believe
8 that's correct. Randy, do you have a copy of the unit
9 agreement there that would have that?

10 MR. STOGNER: Maybe I'm
11 getting ahead of myself. I just -- let me rephrase that.
12 It's clearly shown on -- in some later testimony which will
13 be coming up, is that correct?

14 MR. RICHARDSON: Yes, the
15 Larue and Muncy Joe Federal Lease is Tract Number 1.

16 The Larue and Muncy Rutter
17 Federal is Tract No. 2.

18 MR. STOGNER: For more clari-
19 fication, Mr. Carroll, H & S has -- do they have a certain
20 percentage in both of these leases?

21 MR. CARROLL: They have, as I
22 understand, it is the same percentage, roughly, in both
23 leases, approximately 25 percent working interest.

24 MR. STOGNER: Thank you, Mr.
25 Carroll, you may proceed.

1 A In answer to your question about poro-
2 sity on the Larue and Muncy properties, I found the poro-
3 sity on the Joe No. 1 to be 13.9 percent, while the field-
4 wide average porosity was 13.4 percent; therefore, the
5 Larue and Muncy property to the south had above average
6 porosity.

7 Q All right, then the porosity that you're
8 talking about is determined the same way that you described
9 earlier. You did not determine it from the logs but you
10 determined it through the process of using, I guess, volu-
11 metric type calculations.

12 A The porosity was determined from logs,
13 right.

14 Q Oh, the porosity was determined from the
15 logs?

16 A Yes.

17 Q Now, you used, and in questions by Mr.
18 Richardson, you -- you talked about the fact that these
19 wells out here had reached their economic limit. Would you
20 define what you meant by economic limit?

21 A Economic limit is commonly referred to
22 as the point at which a well is no longer economic to pro-
23 duce. In other words, you're losing money by keeping that
24 running.

25 Q All right. Did you perform -- what kind

1 of calculations did you perform? Was it just one general
2 calculation or did you look at each well in this area?

3 A I did not look at each well. I calcu-
4 lated perhaps a field-wide economic limit and I understand
5 from -- from speaking with Read & Stevens and to their em-
6 ployees, that in fact lease by lease the property has
7 declined to the economic limit.

8 Q Well, have you performed any kind of
9 analysis of the Larue & Muncy acreage, or obtained any
10 figures concerning operating costs, that sort of thing?

11 A I did obtain figures for operating costs
12 on that lease, yes.

13 MR. RICHARDSON: And also pro-
14 duction figures.

15 A And production figures, also.

16 Q What value for oil were you using in
17 determining your economic limit?

18 A What value?

19 Q Yes, what price.

20 A The current price at that time.

21 Q Do you recall what that was?

22 A I don't recall just what that was.

23 Q That is -- it was lower than the 16.75
24 that we -- that you talked about when you were determining
25 your return on oil.

1 A I believe it was at that time; however,
2 I still believe the field has an economic limit at \$16.75.

3 Q Okay, do you recall what -- what your
4 average lease cost was for a well or for a lease that you
5 were using?

6 A Oh, --

7 MR. RICHARDSON: You're
8 speaking of operating cost, is that correct?

9 MR. CARROLL: Yes.

10 A No, I do not recall. I'd have to look
11 that information up.

12 Q Now, you -- on page 41 of this brochure
13 that's been prepared by your company, the -- at the top of
14 it you have the -- this is the participation formula that
15 you're proposing to be used by -- in this project, is that
16 correct?

17 A Yes, it is.

18 Q That formula, was this a formula that
19 you arrived at, Stephens Engineering arrived at?

20 A Yes.

21 Q Can you tell me what information was
22 used in determining that with respect to the surface acre-
23 age that it would be given a, I guess, an influence factor
24 of 3 percent. What -- what caused that?

25 A The main reason that we decided to

1 include a 3 percent weighted average for surface acreage
2 was due to the fact that we were including non-drilled
3 tracts. Those non-drilled tracts had to have -- had to be
4 given some -- some type of participation in the unit. With
5 no production occurring on those tracts at the time, no
6 prior production on those tracts, surface acreage was about
7 the only thing left.

8 In addition there were some acreages to
9 the south, I believe the Joe Federal, as a matter of fact,
10 was one that has considerable surface acreage but was not
11 drilled up. In order to fairly include that tract in the
12 unit we decided the surface acreage was fair.

13 Q Why did you choose the figure of 3 per-
14 cent as opposed to, say, 5 or 10 percent?

15 A Because of this problem.

16 Q What criteria did you use --

17 A To arrive at this 3 percent?

18 Q Yes, that's a fair question.

19 A Just talking with -- with my employers
20 and what they found out there in the past as far as
21 secondary recovery formulas, as well as some -- some dis-
22 cussion with the BLM.

23 Q Do you recall what -- what is the
24 closest waterflood unit to this particular area? Do you
25 know?

1 A No, I don't. I don't know what the
2 closest waterflood unit is to this, no.

3 Q All right.

4 MR. RICHARDSON: The Square
5 Lake, I think, is a waterflood. It's right close but it's
6 not Penrose.

7 A We have a Penrose 15 miles away.

8 Q Okay. Most of the undrilled acreage
9 that's going into this unit does occur on acreage that my
10 client has a working interest under, isn't that true?

11 MR. RICHARDSON: About 50 per-
12 cent.

13 A Yeah, there are other undrilled tracts
14 included in the unit that I don't -- I have no knowledge
15 that your client has an interest in.

16 Q Mr. Richardson indicated that about 50
17 percent of the undrilled acreage is under this, is that
18 what you --

19 MR. RICHARDSON: The west half
20 of the northeast of 14 and the north half southwest of 14,
21 which is, what, 160?

22 MR. CARROLL: Uh-huh.

23 MR. RICHARDSON: So there's 40
24 acres, roughly -- no, it wouldn't be that much -- there's
25 80, 80 acres Larue and Muncy acreage going in.

1 MR. CARROLL: Uh-huh.

2 MR. RICHARDSON: And 160 of
3 non Larue and Muncy acreage.

4 MR. CARROLL: All right.

5 Q The remainder of these figures, the
6 weighting of 47 percent towards -- with respect to the
7 floodable volumes, the 25 percent for the cumulative pri-
8 mary production, and the current barrels of oil per day
9 equivalent, you're saying that these are just figures that
10 you arrived at after consultation within your organization.

11 A Yes, and consultation with Read &
12 Stevens and other people knowledgeable about this project
13 and knowledgeable about unitization.

14 Q Okay, well, what -- was there any esta-
15 blished criteria that you looked at, I mean other than,
16 well, we get 25 percent over here, 28 percent over here,
17 was there actual criteria that you looked at to arrive at a
18 numerical value?

19 A There were no specific written guide-
20 lines to have me arrive at those figures, no.

21 Q Okay. Now, apparently you have used, in
22 determining what -- what the cost for this project is going
23 to be, you have actually taken into consideration the fact
24 that once this area is unitized, that the wells that have
25 already been drilled, you will have available to the

1 operator of this waterflood to salvage equipment and -- and
2 have taken that into account in trying to reduce the
3 overall cost.

4 A Yes, that's correct.

5 Q So that is, in fact, one of the -- a
6 prime consideration, then, of this operator, is to utilize
7 the material or the well equipment out there on these
8 leases.

9 A Use as much as possible and sell the re-
10 mainder so a credit can be issued to the unit.

11 Q Now, you have testified that the \$325
12 per month overhead cost is, I guess, an appropriate figure
13 not only for the producing wells but the injection wells in
14 this waterflood, is that correct?

15 A Yes, that's correct.

16 Q Where and how did you arrive at the \$325
17 per month? How did you determine --

18 A Those figures were arrived at indepen-
19 dently of anything I had to do with. Those figures were
20 arrived at, I believe, by Read & Stevens. They did consult
21 us on what we felt like averages were running in that area,
22 and this figure does fall within averages, published aver-
23 ages.

24 MR. RICHARDSON: Those aver-
25 ages are published, I think by the Ernst and Whinney Sur-

1 vey.

2 Q So you're telling me that you did con-
3 sult Ernst and Whinney, the published averages that they --
4 that service that they provide when you -- you at least
5 compared the figure to you by Read & Stevens to those pub-
6 lished averages.

7 A Yes, I did.

8 Q What -- do you recall what the low is
9 for a figure per month overhead cost in this area?

10 A No, I don't know. I don't know that that
11 was published. It may have been and I didn't pick up on
12 it. I do not recall what the low and high were in that
13 area; just the average.

14 Q In figuring your return on investment,
15 you've stated that you first figures a return of 3. -- 3.7
16 to 1 based on 16.75 flat oil price.

17 Then you stated that you had an
18 escalated pricing formula. Is that escalated pricing form-
19 ula one of your exhibits that have been presented to the
20 Commission?

21 A No, it's not.

22 Q How did you escalate this pricing and
23 could you describe for me what you were doing then?

24 A I increase the price of oil \$1.00 per
25 barrel per year for the first five years and then I -- at

1 that point I put the oil price on a (unclear) 6 percent
2 increase per year throughout the life of the flood.

3 As far as gas production, I increase the
4 price of gas by 10 cents a year for five years and then put
5 the price of gas on a 6 percent escalation thereafter.

6 Q Mr. Newton, did you -- on page 20 of
7 your brochure you have prepared an exhibit and as I under-
8 stand it, and correct me if I am incorrect, there is a dot-
9 ted or hashed line that goes around and I believe it is --
10 is labeled "estimated floodable limit."

11 Is that, the area within that hashed
12 line, is that the area which you feel like you're going to
13 have an effective waterflood?

14 A Yes.

15 Q Did you prepare or try to determine how
16 much of the acreage that you've included in the boundaries
17 of this unit lie outside of that estimated floodable limit
18 but within the boundaries that you've proposed?

19 A Ask that again. I'm not following you.

20 Q Okay, what I'm trying to find -- if you
21 use a -- defined a -- a waterflood, the outer limits, and
22 I'm just trying to determine the percentage of the acreage
23 that lies within your estimated floodable limits and -- and
24 the percentage of the acreage that lies outside of it.

25 A I do not know what percentage of acreage

1 lies outside of the floodable limit.

2 MR. RICHARDSON: What page are
3 you on?

4 MR. CARROLL: Page 20.

5 A That would be easily arrived at but I
6 have not done that.

7 Q How long do you feel it will be before
8 the outer limits that you have, this estimated floodable
9 limit will be reached in this waterflood?

10 A Approximately, from -- from the time of
11 waterflood inception?

12 Q Yes.

13 A Seven -- seven to eight years.

14 MR. RICHARDSON: Mr. Carroll,
15 did you say page 20?

16 MR. CARROLL: Page 20, yes.

17 MR. RICHARDSON: That is your
18 oil, isopach map oil column, is that correct?

19 MR. CARROLL: That's -- that's
20 the one I was referring to, yes --

21 Q If you would look at page 15 of your --
22 your brochure and I've forgotten now what -- I think you
23 call that exhibit -- part of Exhibit Three, Well Records.

24 The well records that you have here for
25 the Larue and Muncy, it's got -- you show, at least, the

1 Amoco Federal. The Amoco Federal was not included in your
2 boundaries of this unit, was it?

3 A No, it was not.

4 Q Okay. Now is there -- and I'm just won-
5 dering if there's some omission or what have you -- I -- I
6 see no well records for the well on the Rutter Federal
7 acreage. Is it -- have I just overlooked it?

8 A Now I believe that -- I believe that
9 lease, as far as well records, did get left out because I
10 was not able to obtain any well records for that well.

11 Q Now this Amoco Federal acreage was ex-
12 cluded, and could you tell me again why it was excluded?

13 A Amoco Federal lease was not included in
14 the unit because it had no substantial primary oil produc-
15 tion. We felt like it was not going to contribute anything
16 to the unit if it were included.

17 MR. RICHARDSON: I'm sorry I
18 didn't mark you a book, too, Mr. Carroll.

19 MR. CARROLL: Well, you didn't
20 have it to mark.

21 And just to clear up, Mr.
22 Richards, were there other exhibits outside the book that
23 you presented to the Commission?

24 MR. RICHARDSON: Yes, not on
25 his testimony. It was a unit plat and land testimony,

1 which will come up later.

2 MR. CARROLL: Okay, well,
3 that's what I wanted. All the exhibits that Mr. Newton had
4 testified to are in this particular volume.

5 Okay, I think I'm just about
6 through. Let me check one thing.

7 MR. STOGNER: Mr. Carroll, Mr.
8 Richardson, any redirect?

9 MR. RICHARDSON: No.

10

11

CROSS EXAMINATION

12

BY MR. STOGNER:

13

Q

14 Mr. Newton, in your testimony you stated
15 how you came up with the unit area and what -- could you go
16 over that with me again?

16

A

17 Yes. We included in the unit outline
18 each tract that was cut -- that had 50 percent or more of
19 its area included within the 5-foot contour interval.

19

Q

20 Okay, now direct me to the map with the
21 5-foot contour interval.

21

A

22 Page 20, which is Exhibit Three, Isopach
23 Oil.

23

Q

24 Okay. Now when I look up in the north-
25 western portion of this, like in Section 14, the northeast
26 quarter of the -- I'm sorry, the northwest quarter of the

1 northeast quarter, I, correct me if I'm wrong, I don't see
2 that any of that quarter quarter section is included in the
3 5-foot interval.

4 A Let me -- let me go back and say, I've
5 forgotten also to mention that we did throw in a couple of
6 tracts for the purposes of protecting the unit from non-
7 unitized withdrawals. There were a few, there were a few
8 tracts that were included to protect the unit but were not
9 cut by that 5-foot contour.

10 Q Could you tell me what tracts those
11 were?

12 A All right, let me find it. Just a
13 second.

14 Okay, let me direct your attention to
15 page 40 of the report.

16 Q Okay.

17 A At the top of the page, a little ways
18 down, consequently the north half of the southwest quarter
19 of Section 14; the southwest quarter of the southwest quar-
20 ter of Section 14; the west half of the northeast quarter
21 of Section 14, were included for protection purposes.

22 Q What do you mean protection purposes, if
23 you can go into that in a little more detail.

24 A Okay. Let's get back to a map to look
25 at here. If you'll look at pages 20 and 21, which is the

1 isopachous map for the oil column, and the gas cap. If un-
2 authorized and uncooperative or non-unitized parties were
3 allowed to come in at certain -- in these tracts that we
4 have included for protection, if they were allowed to come
5 in and uncontrollably withdraw fluids or gas from those
6 areas, they could cause a lot of damage to the future of
7 the waterflood project. Therefore we protect the unit by
8 including those tracts so that non-authorized withdrawals
9 cannot occur.

10 Q Why wasn't, for instance, the southeast
11 quarter of the northwest quarter, that Texaco lease, why
12 wasn't that brought in? It looks like that appears that it
13 could be in the same parameters for protection purposes?

14 A That Texaco tract, we didn't feel like
15 there was much possibility at all that a well would be
16 drilled there.

17 If you'll look directly to the west,
18 Read & Stevens has that tract and we feel like that their
19 well can block any gas cap withdrawals from that Texaco
20 tract.

21 Q Okay, now this is an associated pool, is
22 that correct?

23 MR. RICHARDSON: Correct.

24 MR. STOGNER: Now, is this
25 Read & Stevens well in the south portion of the northwest

1 quarter, is that a gas well? Do you know, Mr. Newton?

2 A Are you referring to that Amoco Skeeter
3 Well?

4 Q No, the Read & Stevens No. 1 Well, which
5 you -- I'm sorry, is that the Amoco Skeeter 1?

6 A Yes.

7 Q Yes.

8 A No, I believe that is a gas well. I be-
9 lieve that's an oil well in a different formation.

10 Q In your opinion a well drilled into the
11 Penrose formation, do you feel -- in this particular area
12 -- do you feel that would be a gas well or an oil well?

13 A Gas well.

14 Q Okay. Now as far as the percentage in
15 the quarter quarter section which is included in the unit,
16 other than these protection areas, as we look into the
17 south and to the east and to the north, those parameters
18 are included, is that correct?

19 A Which parameters?

20 Q You said your 50 percent of a quarter
21 quarter section that falls within the --

22 A Right, that's correct, and that's indi-
23 cated by page 20, the isopachous map of the oil column.

24 Q Do any of these wells make water?

25 A I think the total field makes 3 barrels

1 a day.

2 Q So there is no water --

3 A Nothing to speak of.

4 Q All right; strictly a gas cap reservoir
5 in the truest sense.

6 A Exactly.

7 Q Okay.

8 MR. STOGNER: Mr. Richardson,
9 the witnesses coming up, will they be testifying as to the
10 presentations that was made to the mineral interest owners
11 in this unit area concerning the proposed packers and all
12 that kind of -- and such as that?

13 MR. RICHARDSON: Yes.

14 MR. STOGNER: Okay.

15 I have no other questions of
16 this witness at this time.

17 Are there any other questions
18 of Mr. Newton?

19 MR. CARROLL: I have none.

20 MR. STOGNER: Okay, you may be
21 excused at this point, Mr. Newton, but we may recall you
22 later.

23 A Okay.

24 MR. STOGNER: Let's take about
25 a ten or fifteen minute recess, how about that?

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

(Thereupon a recess was taken.)

MR. STOGNER: This hearing will resume to order.

Mr. Richardson?

MR. RICHARDSON: Yes, sir, I have one witness which has been sworn.

RANDALL R. FORT,
being called as a witness and being duly sworn upon his oath, testified as follows, to-wit:

DIRECT EXAMINATION

BY MR. RICHARDSON:

Q Mr. Fort, would you please state your name, address, educational and professional background which enable you to testify in this case?

A My name is Randall R. Fort. I live at Box 3084, Roswell, New Mexico. My educational background, I have a Bachelor's degree and a Master's degree from Eastern New Mexico University; been a landman approximately twelve years, independent and company landman.

I've been with Read & Stevens the past eight years.

1 Q You are employed by Read & Stevens at
2 the present time as an in-house full employee --

3 A That's correct.

4 Q -- landman.

5 A That's right.

6 Q And as part of your duties, you were
7 charged with contacting royalty owners, working interest
8 owners, and aiding in the assembling of signatures to this
9 unit agreement and unit operating agreement.

10 A Yes, sir.

11 Q And have you read the unit agreement and
12 unit operating agreement and are familiar with the
13 contents?

14 A Yes, sir.

15 MR. RICHARDSON: Will Mr. Fort
16 -- let's see, are his qualifications accepted?

17 MR. STOGNER: Are there any
18 objections?

19 MR. CARROLL: None.

20 MR. STOGNER: Mr. Fort is so
21 qualified.

22 Q Mr. Fort, you have before you a plat
23 which has been marked Exhibit Eight. I have already handed
24 these, or submitted his plats as the case continuation.
25 This will be Exhibit Eight.

1 MR. STOGNER: Thank you.

2 Q You have before you a plat which has
3 been marked Exhibit Eight. Would you please tell the Div-
4 ision what this plat reveals?

5 A That's the unit outline of the Bunker
6 Hill Waterflood Unit proposed. It's in Township 16 South,
7 Range 31 East, Eddy County, New Mexico. It covers parts of
8 Sections 13, 14, 23 and 24.

9 You'll note that the pilot program is
10 also delineated thereon.

11 Q Could you please tell the Division by
12 legal description the lands that are included within this
13 unit area?

14 A Okay, it's all in 16 South, 31 East,
15 Section 13, the southwest quarter of the northeast quarter
16 and the west half of 13; Section 14, the northeast quarter
17 and the south half; Section 23, the east half of the north-
18 west quarter, the southwest quarter of the northwest quar-
19 ter, the northeast quarter, the northeast quarter of the
20 southwest quarter, the north half of the southeast quarter;
21 and in Section 24, north half of the northwest quarter and
22 the southwest quarter of the northwest quarter.

23 Q Mr. Fort, again referring to the plat,
24 would you please state the number of acres of Federal,
25 State and fee lands within the unit outline?

1 A There are 840 acres of State of New
2 Mexico lands, 320 fee acres, and 200 Federal acres.

3 Q And total acreage would be what?

4 A 1360 acres.

5 Q Could this unit outline be considered as
6 the horizontal limits of the Penrose Sands formation?

7 A Yes, sir, that's my understanding.

8 Q You have before you, Mr. Fort, a copy of
9 the unit agreement, also sometimes referred to as the plan
10 of unitization. Three copies of this unit agreement were
11 filed with the Division along with the application for
12 statutory unitization.

13 Have any changes been made in the unit
14 agreement between January 23rd and today, February 15th?

15 A There's no material changes. There's
16 been some typos that we found and three of the partners
17 have elected to sell their interests and just get out, so
18 they've sold their interests to Read & Stevens.

19 Q There are no material changes that would
20 affect the meaning of anything, though.

21 A No, sir.

22 Q The unit area contains 200 acres of Fed-
23 eral lands. Has the BLM designated this unit area as suit-
24 able for secondary recovery operations?

25 A Yes, sir, they have.

1 Q I have submitted to the Examiner a copy
2 of a letter marked Exhibit Nine. Could you briefly say
3 what Exhibit Nine shows?

4 A It's a letter from the BLM in Roswell to
5 Randolph Richardson just saying that the unit has been
6 tentatively approved by the BLM.

7 Q And has the BLM approved the form of
8 unit agreement?

9 A Yes, sir, they have.

10 Q The Commissioner of Public Lands, has
11 the Commissioner of Public Lands approved the unit agree-
12 ment?

13 A Yes, sir, he has.

14 Q A copy of the letter of approval, tenta-
15 tive approval or preliminary approval by the Commissioner
16 of Public Lands, has been submitted as Exhibit Ten.

17 Have both the BLM and Commissioner been
18 furnished copies of the engineering study introduced by the
19 previous witness?

20 A Yes, sir, it's my understanding that
21 they have.

22 Q The preliminary approval letter from the
23 Commissioner provides that you must submit the initial plan
24 of operations as provided for in Article 11 of the unit
25 agreement, as well as a redesignation of well names, num-

1 bers and descriptions. This is to be submitted at the time
2 the unit agreement is filed for final approval. At the
3 proper time for filing what would be your initial plan of
4 operations?

5 A They'll begin the pilot operation, oper-
6 ation of the pilot flood at that time.

7 Q You would also file proper Division
8 forms redesignating the unit wells.

9 A Yes, sir, that's correct.

10 Q Is that correct?

11 A That's correct.

12 Q Please, Mr. Fort, if you would, turn to
13 Article 11 (h), paragraph 3 of the unit agreement and read
14 for the record the definition of unitized formation.

15 A A unitized formation shall mean that in-
16 terval contained in the Penrose Sand underlying the unit
17 area, the vertical limits of which extend from an upper
18 limit described as +950 feet above mean sea level to a
19 lower limit of +700 feet above mean sea level. The Penrose
20 Sand was recorded on the Dresser Atlas compensated Densi-
21 log, compensated neutron log taken on the Dartmouth No. 1
22 Well located at 660 feet from the south line and 660 feet
23 from the east line of Section 14, Township 16 South, Range
24 31 East, Eddy County, New Mexico, on April 29, 1981, as
25 being the interval from +804 feet above sea level to +776

1 feet above sea level, said log being measured from a cor-
2 rected Kelly drive bushing elevation of 4,402 feet above
3 sea level.

4 Q Would this definition of unitized form-
5 ation also define the vertical limits of the unit area?

6 A Yes sir, to my understanding, it does.

7 Q Would you please now refer to Article
8 II (i), or little 1 on page 3 and read the definition of
9 unitized substances.

10 A Unitized substances are all oil, gas,
11 gaseous substances, sulphur contained in gas, condensate,
12 distillate, and all associated and constituent liquid or
13 liquifiable hydrocarbons, other than outside substances
14 within and produced from the unitized formation.

15 Q Mr. Fort, does the unit agreement
16 provide for allocation of unitized substances among the
17 several different tracts of land within the unit area?

18 A Yes, sir, it does.

19 Q What is the basis of this allocation?

20 A It's the tract participation formula in
21 the unit agreement.

22 Q In your opinion does the unit agreement
23 and participation formula allocate unitized substances on a
24 fair, reasonable and equitable basis?

25 A Yes, sir.

1 Q Who is designated as unit operator?

2 A Read & Stevens, Incorporated.

3 Q Would you say what the effective date of
4 the unit agreement would be?

5 A It should be the first day of the month
6 after approval by the BLM, authorized officer of the Com-
7 missioner of Public Lands, and the OCD.

8 Q And the filing in Eddy County.

9 A Right.

10 Q Exhibit B, Mr. Fort, to the unit agree-
11 ment shows a very divided ownership as to most of the
12 tracts, as well as a great difference of ownership between
13 tracts.

14 Does this extreme diversification of
15 ownership between tracts, as well as there being several
16 1-well tract, indicate that unitization is necessary?

17 A Yes, sir, definitely.

18 Q Approximately how long has this unit and
19 secondary recovery operation been under consideration?

20 A We started in approximately May of '86,
21 approximately 2-1/2 or 3 years, you might say.

22 Q Have all individuals and entities owning
23 an interest, whether royalty, overriding royalty or working
24 interest, been furnished copies of the unit agree- ment and
25 their joinder solicited?

1 A Yes, sir, they have.

2 Q How many different individuals or enti-
3 ties were furnished copies of the unit agreement?

4 A 98.

5 Q 98. Excluding the BLM and State of New
6 Mexico, royalty owners are entitled to 15.24 percent of the
7 unit production. What part of this 15.24 percent has been
8 committed to the unit agreement?

9 A We have 11.574864 percent committed.

10 Q And if you include Federal and State
11 royalty in your total commitment, what percentage do you
12 have?

13 A I have 20.744631 percent.

14 Q And this is what percent of the total?

15 A It's 70 -- well, with the State and Fed-
16 eral, you mean?

17 Q Yeah, with the State and Federal.

18 A 84.9 percent.

19 Q 84.9 percent. In other words, 84.9 per-
20 cent of the royalty is committed.

21 A Right.

22 Q And the working interest owners, Mr.
23 Fort, are due to pay 100 percent of the cost of unit opera-
24 tions and what part of the working interest, or what is
25 your percentage of the working interest that is committed?

1 A We have 80.183689 percent.

2 Q Of the working interest --

3 A Of the working interest --

4 Q -- that is committed.

5 A -- right.

6 Q Have you made any efforts to obtain
7 joinder by the noncommitted owners?

8 A Yes, sir. We have several letters that
9 we've written and then phone calls to some of them; a trip
10 to Artesia the other day.

11 Q Well, can you offer any explanation as
12 to the uncommitted working interest?

13 A Some of the people just don't want --
14 don't want to join the unit at this time. We still have
15 several that just have not returned their paperwork yet. I
16 don't think there's any problem there; just haven't got
17 around to returning it to us.

18 Q Would you say that Read & Stevens has
19 made a good faith effort to secure voluntary commitment?

20 A Yes, sir.

21 Q In your opinion will the unitization of
22 the Bunker Hill Penrose Pool and adoption of unitized oper-
23 ations therein benefit both working interest and royalty
24 owners?

25 A Yes, sir.

1 Q Does the unit agreement or plan of oper-
2 ation provide for the sharing of cost and expenses to be
3 incurred?

4 A No, sir, the unit agreement doesn't but
5 the unit operating agreement provides for that.

6 Q You have before you a copy of the unit
7 operating agreement, sometimes referred to as plan of oper-
8 ations. Three copies of this instrument have also been
9 filed with the Division, along with the application for
10 statutory unitization. Have any changes been made in this
11 unit operating agreement between January 23rd and today,
12 February 15th?

13 A Once again, no material changes. We've
14 found some typos and the owners that Read & Stevens has
15 bought out, but there are no material changes to the oper-
16 ating agreement.

17 Q Mr. Fort, will you please refer to Ar-
18 ticle X, page 6, of the unit operating agreement, and
19 please briefly state the manner in which existing invest-
20 ments in wells and equipment in connection therewith will
21 be adjusted between the working interest parties.

22 Also on page 6, Article X, the unit oper-
23 ating agreement provides that all wells and equipment, and
24 so forth, will be delivered to the unit operator. Could
25 you briefly follow through Article X and state how invest-

1 ments in such equipment will be handled and accounted for?

2 A Okay, once again very basically, your
3 working interest owners get together and appoint an invest-
4 ment committee. They then take into possession of the unit
5 any necessary items, items that are necessary for the unit,
6 and a value is established for each of those items when
7 they're taken.

8 After that's done, then the working in-
9 terest owners, all the working interest owners, then are
10 asked to approve that valuation to make sure that you all
11 agree.

12 Q And it's balanced out credit to each --

13 A Right, like I said earlier, then you
14 have either a credit or a charge to that person's account.

15 Q What provision is made in the unit oper-
16 ating agreement governing the cost of capital investments?

17 A Well, they're paid for by the unit oper-
18 ator and then the consenting working interest owners pay
19 their unit working interest share.

20 Q How will operating costs, as well as
21 capital investments be allocated and charged to the differ-
22 ent working interest owners?

23 A According to the unit participation.

24 Q How will the operator recover
25 expenditures made on behalf of a working interest owner who

1 does not in turn reimburse the operator?

2 A Well, the operator's granted a lien to
3 recover unpaid amounts, to recover it out of production.

4 Q Does the unit operating agreement
5 provide that the unit operator may charge interest on un-
6 paid invoices or statements?

7 A Yes, sir.

8 Q What interest rate is described in
9 Article 12.4?

10 A I-1/2 percent per month.

11 Q Is there a provision in the operating
12 agreement providing for the carrying of nonpaying working
13 interest owners?

14 A Once again the lien provisions and the
15 operator can request the payment of nonpaying working
16 interest owners' share by the paying of working interest
17 owners.

18 Q These would be so-called carrying provi-
19 sions where you have a lien and where we're talking about
20 consenting working interest owners who have not paid bills
21 or won't pay their share of the cost.

22 Is there anything in the unit operating
23 agreement covering nonconsenting parties, those who will
24 not join the unit?

25 A No, sir, there's not.

1 Q Does the unit operating agreement pro-
2 vide for a penalty to be recovered out of production allo-
3 cated or owned by a nonconsenting working interest owner?

4 A No, sir, it doesn't.

5 Q In view of the fact that a nonconsenting
6 party can take advantage of a waterflood without paying
7 cost and can also interfere with proper injection and with
8 its proper withdrawals, do you believe it reasonable and
9 equitable that the unit operator be allowed to obtain reim-
10 bursement as well as paying a penalty out of production?

11 A Yes, sir, I do.

12 Q In this instance what would you consider
13 a fair and reasonable penalty, taking into consideration
14 that operator can expect no production for approximately
15 one year?

16 A I'd say at least 200 percent plus costs,
17 plus actual costs.

18 Q Does the unit operating agreement desig-
19 nate Read & Stevens as unit operator and further provide
20 how Read & Stevens will supervise and conduct unit opera-
21 tions?

22 A Yes, sir, it does.

23 Q Please refer to Article VI, page 4.
24 Does this Article VI provide for resignation or removal of
25 operator and also a method of selecting a successor

1 operator?

2 A Yes, sir, it does.

3 Q Mr. Fort, an operator may resign at any
4 time but what percent rate is necessary for removal of an
5 operator?

6 A 80 percent after excluding the opera-
7 tor's interest.

8 Q So briefly upon resignation or removal,
9 how is a new operator selected?

10 A Well, three or more of your working in-
11 terest owners having 65 percent or more of the total unit
12 interest can approve a new operator. The new operator has
13 to accept the responsibility and then he has to be approved
14 by the OCD, BLM, and Commissioner of Public Lands.

15 Q And Article IV of the unit operating
16 agreement is entitled Manner of Exercising Supervision.

17 Would you please briefly state or out-
18 line the contents of this article with emphasis upon the
19 voting procedure?

20 A Okay. Well, each working interest owner
21 has a waterflood representative and each working interest
22 owner has a voting interest equal to his unit participa-
23 tion. All matters that -- will be determined by an affirm-
24 ative vote of four or more working interest owners having a
25 combined voting interest of at least 65 percent. You can

1 also vote by mail and you can also do poll votes if you
2 have a matter that comes up and notify the people by let-
3 ter or telegram and they can vote in that manner, also.

4 Q At what point in time would you antici-
5 pate commencement of the unit operations?

6 A Approximately within sixty days after
7 unit effective date.

8 Q What would be the effective date of this
9 unit operating agreement?

10 A Well, the unit operating agreement is
11 the same as the unit agreement.

12 Q And that effective date would be -- be
13 what?

14 A Well, within, as we said before, within
15 30 days of -- I'm sorry, the first day of the month after
16 approval by the various agencies and then filing in Eddy
17 County.

18 Q And what is the term of the unit oper-
19 ating agreement?

20 A Well, the term of it runs concurrent
21 with the unit agreement, and it's good as long as there's
22 production or drilling, reworking, or other operations with
23 no cessation of more than 90 days.

24 Q Does the unit operating agreement
25 provide for continuation after termination of the unit

1 agreement?

2 A Yes, sir, it does.

3 Q When does the unit operating agreement
4 terminate?

5 A After all the wells have been plugged
6 and abandoned and there's been a final adjustment made.

7 Q So the unit operating agreement does
8 provide for settlement of all accounts upon termination.

9 A Yes, sir.

10 Q Mr. Fort, you have now referred to an
11 Exhibit Eleven. You have before you a copy of an affidavit
12 which has been marked Exhibit Eleven, the original of which
13 has been handed to the Division.

14 Would you please relate the contents of
15 this affidavit, together with mentioning any exhibits at-
16 tached thereto?

17 A Okay. This basically says that I'm
18 stating that I'm a full time employee of Read & Stevens,
19 who's the operator of the unit; that I was responsible for
20 contacting all the owners of any kind within this unit;
21 that all the owners were mailed by certified mail, return
22 receipt requested, a copy of the unit agreement and the --
23 that working interest owners were mailed copies of the unit
24 operating agreement in addition to the unit agreement.
25 Joinders were solicited. All owners were also notified

1 more than 20 days prior to this hearing before the Division
2 that the hearing would be held February 15th and that pro-
3 tests could be made or -- in person or by correspondence to
4 the Division.

5 And then attached to this affidavit as
6 Exhibit A is a list of the names and addresses of all the
7 owners of interest in the unit area; and attached as Exhi-
8 bit B is a copy of the return receipts on all the certified
9 mailings that were done, which were sent to all the owners
10 in the unit.

11 MR. RICHARDSON: I have no-
12 thing further.

13 MR. CARROLL: I have no ques-
14 tions.

15 MR. STOVALL: I think at this
16 time I'd like to just get something into the record. Oh,
17 yeah, I'm sorry.

18 MR. STOGNER: How many exhi-
19 bits would you like to admit into evidence at this time?

20 MR. RICHARDSON: I'm sorry,
21 all Eleven. I'm sorry, that will be this case.

22 MR. STOGNER: One through
23 Seven and then Eight through Eleven?

24 MR. RICHARDSON: One through
25 Seven, Eight through Eleven.\

1 MR. STOGNER: Are there any
2 objections?

3 MR. CARROLL: No.

4 MR. STOGNER: Exhibits One
5 through Eleven for Case Number 9606 will be admitted into
6 evidence at this time.

7 Mr. Stovall?

8
9 CROSS EXAMINATION

10 BY MR. STOVALL:

11 Q Mr. Fort, I notice on your Exhibit
12 Eleven, your interest owners list, there appears a William
13 J. Lemay as having an overriding royalty interest.

14 A Yes, sir.

15 Q And that is the same William J. Lemay
16 who's the Director of this Division, is that not correct?

17 A Yes, sir, that's correct.

18 MR. STOVALL: Let me state for
19 the record that Mr. Lemay and I have discussed this. He
20 advised me previously that he had an interest in -- over-
21 riding royalty interest in this unit, which quite frankly,
22 he's been unable to sell and dispose of in an effort to --
23 to avoid any appearance of conflict, but because he does
24 have an interest in this unit, Mr. Lemay will not be re-
25 viewing this case as Director. He will not be -- have any

1 contact with this case whatsoever and we will assign this
2 case to Victor Lyon, Deputy Director, as Acting Director,
3 for an order in this case.

4 I want that in the record so
5 that we understand what Mr. Lemay's role is in this parti-
6 cular case.

7 I have nothing further.

8
9 CROSS EXAMINATION

10 BY MR. STOGNER:

11 Q Mr. Fort, in the provisions of the ad-
12 vertisement, as I understand it, you are seeking maximum
13 penalty pursuant to the statutes which -- for those people
14 in which the unit operator has to carry --

15 A Right.

16 Q -- of the undedicated interest, is that
17 correct?

18 A Right, that's correct.

19 Q And you are seeking now 200 percent, is
20 that correct?

21 A That's correct.

22 Q How is -- what is this 200 percent based
23 on?

24 A What's it based upon?

25 Q Yes. Why are you seeking the maximum?

1 A I guess basically just due to the risk,
2 well, we're not -- a risk factor, just the -- more of the
3 time and expense involved in putting together a waterflood
4 unit, the return on investment on our money. We normally
5 offer our partners a 4-to-1 return on their money and we
6 feel like this would just compensate us for -- for carrying
7 their interest in the unit.

8 MR. RICHARDSON: That amount
9 of penalty is within the discretion of the Division, I be-
10 lieve. It's very reasonable and equitable.

11 MR. STOGNER: Those provisions
12 will be reviewed before a decision is made.

13 Q So there is no geological or engineering
14 aspects in which this 200 percent is considered, is that
15 correct, as I understand it from you, Mr. Fort?

16 A Not that I know of. Now you may want to
17 quiz the engineer that's to come after me and he may have
18 something to add to that, but --

19 Q Okay.

20 MR. STOGNER: I have nothing
21 else further of this witness.

22 Is there anything further of
23 Mr. Fort?

24 He may be excused.

25 Mr. Richardson?

1 MR. RICHARDSON: I have one
2 more witness to call.

3 I would like to call Mr. John
4 Maxey.

5 MR. STOGNER: We'll go ahead
6 and keep these exhibits as One through whatever, but enter
7 them in Case Number 9607.

8 MR. RICHARDSON: Okay, fine,
9 thank you.

10

11

JOHN C. MAXEY,

12

being called as a witness and being duly sworn upon his
13 oath, testified as follows, to-wit:

14

15

DIRECT EXAMINATION

16

BY MR. RICHARDSON:

17

Q

Mr. Maxey, would you please state your
18 name, address, and professional, educational background,
19 which would enable you to testify?

20

A

My name is John Maxey. I reside in Ros-
21 well, New Mexico. I have a BS in petroleum engineering
22 from Oklahoma State University.

23

I've worked ten years in the oil indus-
24 try with Chevron, Mesa Petroleum, Foran Oil Company, and
25 two years consulting, all in drilling and production opera-

1 tions.

2 Q Have you ever testified as an expert be-
3 fore this Division?

4 A Yes, I have.

5 MR. RICHARDSON: Are his qual-
6 ifications acceptable?

7 MR. STOGNER: Are there any
8 objections, Mr. Carroll?

9 MR. CARROLL: None.

10 MR. STOGNER: Mr. Maxey is so
11 qualified.

12 Q Mr. Maxey, you have -- was a copy of
13 Division Form C-108 filed with the application for author-
14 ity to institute a waterflood project?

15 A Yes, it was.

16 Q This project is for the purpose of
17 secondary recovery as opposed to pressure maintenance, is
18 that correct?

19 A That's correct.

20 Q What is the geological formation or zone
21 into which you propose to inject water?

22 A Penrose Sand.

23 Q Is this formation and project within a
24 designated pool and if so, what is the pool name?

25 A Yes, it's in the Bunker Hill.

1 Q The Bunker Hill Associated Gas, I think,
2 Bunker Hill Associated Penrose -- Bunker Hill Penrose Asso-
3 ciated.

4 What will be your injection interval?

5 A It will be the Penrose Sand at approxi-
6 mately 3550 to 3575.

7 Q I notice that you're proposing four in-
8 jection wells. Were these four wells drilled for injection
9 purposes?

10 A No, they were not.

11 Q Will this be a cased hole or injection
12 through perforations?

13 A It's cased hole but the injection will
14 be through perforations.

15 Q What is the depth of the Penrose Sand
16 and approximately how thick?

17 A The average depth to the top of the Pen-
18 rose Sand is 3550 feet and it averages 25 feet thick.

19 Q At this time you are proposing to con-
20 vert four injection wells into a pilot project. Would you
21 please identify these four wells by giving lease name, well
22 number, and location by footage within the section?

23 A The four wells are the Bogle Farms No.
24 1, located 1980 from the south line and 660 from the west
25 line of Section 13; the Gulf West Mesa No. 3, located 1910

1 from west line and 730 feet from the south line of Section
2 13; the Dartmouth No. 1, located 1980 feet from the east
3 line and 660 from the south line of Section 14; and the
4 Gulf West Mesa No. 2, located 660 from the north line and
5 660 from the west line of Section 24.

6 Q Mr. Maxey, please by well name could you
7 state how each of the four proposed injection wells was
8 completed as to casing and the cement, as well as interval
9 perforated in the Penrose Sand?

10 A Yes. The Bogle Farm No. 1 was drilled,
11 the surface hole, 12-3/4 inch -- or excuse me, 12-3/4 inch
12 casing was run and cemented at 340 feet with 250 sacks of
13 cement and cement was circulated to surface.

14 The long string, or the production hole
15 was then drilled and 4-1/2 inch casing was set. The 4-1/2
16 inch casing was set at 4195. I couldn't find my TD. The
17 4-1/2 casing was cemented with 250 sacks of cement; top of
18 the cement was found to be 2,910 feet from surface by tem-
19 perature survey.

20 The Penrose and the Queen, the Penrose
21 was first perforated from 3605 to 3629 and acidized and
22 fraced.

23 The Queen was then selectively perfor-
24 ated and acidized and was -- the well was commingled, and
25 that is the way the well has been produced, was the Penrose

1 and the Queen being commingled.

2 The Dartmouth No. 1 has 8-5/8ths inch
3 surface casing set at 1,236 feet, cemented with 550 sacks
4 of cement, circulated to surface; 4-1/2 inch casing is set
5 at 4248 feet; cemented with 600 sacks of cement; top of
6 cement is 3000 feet by log.

7 The Dartmouth No. 1 has been perforated
8 in the Penrose from 3602 to 3622 and acidized and fraced.

9 The third well is the Gulf West Mesa No.
10 2. It has 8-5/8ths inch casing set at 1,252 feet, cemented
11 with 550 sacks of cement. The 4-1/2 casing was then set at
12 4,242 feet; cemented with 775 sacks of cement.

13 The Penrose and Premier were perforated.
14 The Premier was perforated first and selectively treated
15 and acidized and tested in the Penrose. The Premier was
16 4033 to 4059. The -- did I say Penrose? I'm sorry, I
17 meant Premier. The Premier was perforated from 4033 feet
18 to 4059. The Penrose was perforated selectively and indi-
19 vidually and treated from 3,600 feet to 3,622 feet and is
20 also commingled right now; was produced commingled.

21 The Gulf West Mesa No. 3 is the fourth
22 and final of the pilot injectors. 8-5/8ths casing set at
23 1,272; cement over 500 sacks to surface. The 4-1/2 casing
24 was set at 4,248 feet; cemented with 625 sacks of cement.
25 The Penrose was perforated, acidized and fraced from 3623

1 to 3647.

2 That's how the four injectors were com-
3 pleted.

4 Q Do you propose to convert all four in-
5 jectors at the same time?

6 A No. We propose to set up the Gulf West
7 Mesa No. 3 first for injection as a one well injector to
8 determine permeability trends and injectivity of the forma-
9 tion.

10 Q How long do you estimate it will be
11 necessary to study the first injector, the Gulf West Mesa
12 No. 3, or injection results in that well, before converting
13 the remaining three wells?

14 A Approximately 3 months.

15 Q Could you please describe the mechanical
16 steps or procedure you propose for converting these wells?

17 A When converting these wells we will pull
18 the rods and tubing that are in the -- currently in the
19 wells. We will run a Baker Loc Set packer and set at ap-
20 proximately 100 feet above the perforations. The 2-3/8ths
21 tubing that we run will be plastic-coated internally and a
22 packer fluid will be pumped down the back side that will
23 contain oxygen scavenger and corrosion inhibitors.

24 Once the well is, the tubing and casing
25 is run and set, the wellhead will have a stainless steel

1 similar to a Wheatley (sic) valve with a -- set up with the
2 stringer and a water meter to monitor injection of produced
3 water, or of fresh water daily from our source.

4 The two wells that were mentioned pre-
5 viously that were commingled production from either the
6 Premier or the Queen, prior to running our plastic-coated
7 tubing the Queen or the Premier in both those wells will be
8 squeezed off and isolated.

9 Q You have already testified as to the
10 next question. There are some wells -- some of the four
11 injector wells are already perforated either above or below
12 the Penrose.

13 A That's correct.

14 Q And that will be squeezed off.

15 A They will be squeezed off. The Queen is
16 above us. We will be able to have mechanical integrity
17 tests on our packers after we squeeze the Queen and the
18 Premier will be isolated before -- below a cast iron bridge
19 plug and cement.

20 Q And you have already answered a question
21 which is please describe the tubing you propose to install,
22 giving a size, lining material, and setting depth.

23 A We propose to install 2-3/8ths 4.7 pound
24 per foot J-55 material with 8 round EUE connections. It
25 will be Salta lined; that's a plastic lining. The approxi-

1 mate setting depth will be 3450. That's approximately --
2 that's 100 feet above the approximate top of the Penrose.

3 In any case, the packers will be set 100
4 feet above the individual Penrose perforations.

5 Q And the packer you're talking about,
6 could you use -- or state the name, model, and depth at
7 which you propose to set -- you already said the depth was
8 -- state the name and model of the packer.

9 A Baker Loc-Set.

10 Q Baker Loc-Set. Mr. Maxey, Division Rule
11 704-A requires certain pressure tests prior to commencement
12 of injection. What testing procedure will you use and will
13 you install any special gauges or measuring devices?

14 A The -- after the injection well has been
15 readied for use, the tubing/casing annulus will pressure
16 tested to 500 psi for 30 minutes. If the test is success-
17 ful, the pressure will be bled off. There will be a gauge
18 left on the tubing/casing annulus. We'll have a tubing
19 gauge on the tubing to monitor injection pressure and flow
20 meter on the tubing to monitor the amount of water inject-
21 ed.

22 Q Will that also be sufficient equipment
23 so that the wells can be tested and monitored monthly?

24 A Yes.

25 Q And that will be also sufficient to test

1 annular pressures.

2 A Yes.

3 Q Mr. Maxey, what is the maximum and mini-
4 mum, say, average, of water you propose to inject daily
5 into each well?

6 A The average volume of water is 140
7 barrels of water per day.

8 Q The total volume for all four wells will
9 be approximately how many barrels?

10 A 560.

11 Q What will be your minimum and maximum
12 injection pressure, or your average and maximum injection
13 pressure?

14 A Our average injection pressure we anti-
15 cipate at 300 psi. The maximum will be 710 psi.

16 Q And, Mr. Maxey, where do you propose to
17 obtain the water necessary for this project?

18 A From the Carlsbad water system.

19 Q And that is named the Carlsbad Double
20 Eagle System, is that correct?

21 A That's correct.

22 Approximately how many feet from the Double Eagle
23 Water System to your injection plant or injection facility?

24 A 600 feet.

25 Q Do you see a necessity for any water

1 pipelines on lands or leases not within the proposed unit
2 area?

3 A No.

4 Q In other words, since all water lines,
5 including those from the source to your plant, will be upon
6 applicant's leases, it will not be necessary to acquire any
7 additional right-of-way, is this correct?

8 A That's correct. No additional right-of-
9 way but we will have to reimburse surface damages and fee
10 and grazing lessees, fee owners, their fair market value
11 for damages.

12 Q Mr. Maxey, you have before you a water
13 analysis of 13 different water wells that are tied to the
14 Carlsbad Double Eagle Water System. The exhibit has been
15 stapled together and labeled Number One, Case 9607, and I
16 have labeled the composite water analysis and did not go
17 through and try to label each one of those different wells,
18 if that's satisfactory.

19 MR. STOGNER: It's satisfac-
20 tory to me. How about you, Mr. Carroll?

21 MR. CARROLL: No problem.

22 Q You have this water analysis on 13
23 water wells tied to the Double Eagle System, plus a compo-
24 site analysis dated January of '87.

25 Could you please refer to the composite

1 analysis and briefly state what this analysis shows?

2 A This analysis is of Double Eagle water,
3 the water we'll use as our source water for our waterflood.
4 It indicates fresh water and it also indicates very small
5 amounts of ionic concentration.

6 Q Is there any question as to whether or
7 not this is fresh water?

8 A No.

9 Q I understand that the Penrose Sand con-
10 tains water sensitive clays which could swell and affect
11 permeability. Do you plan to treat this water in some
12 manner to avoid this problem?

13 A Yes. we do. We plan to treat for corro-
14 sion and for clay sensitivity.

15 Q I also understand that the Double Eagle
16 Water System contains aerobic bacteria and this dictates
17 that the system be closed. Is this correct?

18 A That's correct. We're going to build a
19 closed system to attempt to keep all the oxygen we can out
20 of the system. We may use a small amount of oxygen
21 scavenger.

22 Q In your opinion will the water, after
23 adequate and proper chemical treatment be compatible with
24 the receiving Penrose Sand?

25 A Yes.

1 Q Are there any fresh water wells within
2 one mile of any of the four injection wells?

3 A Yes.

4 Q Is there a formation or zone bearing
5 fresh water overlying this area?

6 A Yes, there is.

7 Q How far beneath the surface would the
8 bottom of the fresh water zone or formation be located?

9 A The City of Carlsbad, their Double Eagle
10 System has three wells in Section 13. Their lowest perfor-
11 ations based on the drilling log of the wells would be 318
12 feet into water-bearing sand. Immediately below that they
13 hit redbed and clays.

14 Q Are those three water wells that belong
15 to the Double Eagle System, are they spotted on that map
16 that you have, which is Exhibit Two, which I hadn't got to
17 yet. Never mind.

18 A Okay.

19 Q You have previously testified that there
20 is one well differently completed in your four injection
21 wells. Most of those wells, you testified that casing was
22 set at around 3000 -- or around 1000 feet and cemented back
23 to surface.

24 There was one well different, which was
25 the Bogle -- which one?

1 A Bogle Farms.

2 Q Bogle Farms, and it was -- the casing
3 was set to what depth?

4 A 340 feet.

5 Q 340 feet and cemented --

6 A To surface.

7 Q -- to surface. On all four of the in-
8 jection wells do you think that the way the injection wells
9 have been completed, will be completed, do you think that
10 that completion will be sufficient to protect any fresh
11 water zone above the Penrose?

12 A Yes, I do. I believe the surface casing
13 on the Bogle Farms State is set at 340 feet into the redbed
14 and the Queen in the Bogle Farms will be squeezed off.
15 Thereby a mechanical integrity test can be run monthly to
16 monitor integrity of the 4-1/2 casing in that well.

17 Q Have you examined available geologic and
18 engineering data for evidence of open faults or other -- or
19 any other connection or condition which would endanger
20 fresh water in this area?

21 A Yes, I have.

22 Q Are the formations or zones within the
23 project area -- are there any formations or zones within
24 the project area which may be capable of producing oil or
25 gas?

1 A Yes.

2 Q Would you please give the name and depth
3 of the oil and gas zones or formations immediately above
4 and immediately below the Penrose Sand?

5 A The Queen is located approximately 300
6 feet above the Penrose. The Premier is located approxi-
7 mately 650 feet below the Penrose.

8 Q Mr. Maxey, you have before you two
9 plats, one of which has been marked Exhibit Two; the other,
10 marked Exhibit Three.

11 Would you please briefly state what
12 these plats show?

13 A Exhibit Number Two illustrates the half
14 mile radius around our proposed injectors. That is the
15 area of interest as outlined in the C-108.

16 Exhibit Number Three is just a copy of
17 the unit as it appears on a land map.

18 Q Mr. Maxey, in your half mile circles
19 around your injection wells there are quite a few wells
20 within the half mile radius circles. Are there any wells
21 within those half mile radius circles that are not within
22 the unit area and that are not being operated by Read &
23 Stevens, the applicants in this case?

24 A Yes, there are.

25 Q Would you please state what that well

1 would be, or what the wells would be.

2 A The Joe No. 1 and the Remuda Oil & Gas
3 Southern Union State.

4 The Joe No. 1 is operated by Larue and
5 Muncy.

6 Q Did those wells penetrate the Penrose
7 Sand?

8 A Yes, they did.

9 Q Are either of those wells now completed
10 in the Penrose Sand?

11 A The Joe No. 1 is completed in the
12 Penrose.

13 Q The Remuda Well --

14 A Is completed in the Queen.

15 Q In the Queen and has been plugged back
16 and the Penrose has been plugged off.

17 A Right, it's plugged back to the Queen
18 (not clearly understood.)

19 Q Do you see any way that injection into
20 the Penrose will damage or affect this well completed in
21 the Queen?

22 A No, I do not.

23 Q How does the -- or does the Penrose
24 produce water along with the oil and gas?

25 A Very minute quantities.

1 Q Approximately what will be the average
2 daily water production from the pilot producing well?

3 A Zero.

4 Q At what point do you -- in time do you
5 anticipate that water will increase and the wells start
6 producing water?

7 A We're anticipating three years before we
8 have breakthrough of water.

9 Q Have you given any consideration to the
10 problem of disposal of produced water?

11 A The produced water will be used for
12 make-up and we will reduce our fresh water requirements
13 from Carlsbad's water system and thereby decreasing some of
14 our operating costs.

15 Q Now, Mr. Maxey, in addition to Exhibits
16 One and Two you have before you an affidavit which has
17 been marked Exhibit Three -- no, Four, One, Two, Three, an
18 affidavit marked Exhibit Four.

19 A Right.

20 Q Please briefly relate what this affi-
21 davit states and mention the exhibits attached thereto.

22 A This affidavit is for -- is for
23 authority to inject water. It is a notification list that
24 all the surface owners around the injection wells and the
25 leaseholders of the areas of interest have notice of

1 hearing and with the return -- return receipts off the cer-
2 tified mail.

3 Q And that affidavit was sworn to and
4 attested by whom?

5 A That was sworn to and attested by you,
6 Randolph Richardson.

7 Q And it lists the names and addresses of
8 all offset operators -- of all operators within the half
9 mile radius circle.

10 A That's correct.

11 Q And in your opinion overall will the ap-
12 proval of this waterflood project and the pilot project in
13 connection therewith, and the injection of water into the
14 Penrose Sand, lead to substantial increase of recoverable
15 reserves, prevent waste, and protect correlative rights?

16 A Yes.

17 MR. RICHARDSON: I have no
18 further questions of this witness.

19 I would like to move to admit
20 the exhibits. I'm going to request also that the authority
21 to expand the flood later on after the pilot, that we be
22 allowed to use administrative procedure for expansion of
23 the flood.

24 And I do move that Exhibits
25 One through Four be admitted.

1 MR. STOGNER: Mr. Carroll, do
2 you have any objections?

3 MR. CARROLL: I have no objec-
4 tion to the admission of the exhibits.

5 MR. STOGNER: I do have a
6 little problem at this point.

7
8 CROSS EXAMINATION

9 BY MR. STOGNER:

10 Q Mr. Maxey, did you -- let me back up.
11 On January 23rd, 1989, I had hand delivered to me an appli-
12 cation for waterflood. Essentially there is the C-108 and
13 some attachments were given me.

14 Did you prepare those?

15 A Yes.

16 Q I'd like to make this a part of one of
17 the exhibits and essentially that was what some of the
18 testimony, or most of your testimony was based on today, is
19 that correct?

20 A Correct, yes.

21 MR. RICHARDSON: That's
22 correct.

23 Q For the record, and to keep things
24 straight, let's make that Exhibit One-A of 960 -- I'm
25 sorry, Exhibit Two-A of 9607. It's Form C-108 with its

1 attachments.

2 And as you testified, you have prepared
3 that exhibit, is that correct?

4 A Yes.

5 Q Or the application at that point.

6 A Yes.

7 MR. STOGNER: At this time Ex-
8 hibits One, Two, Two-A, Three and Four of Case Number 9607
9 will be taken under advisement -- I'm sorry, will be admit-
10 ted into evidence.

11 MR. CARROLL: You short cir-
12 cuited me. I did have one or two questions.

13 MR. STOGNER: Okay, I'm going
14 to let you cross examine at this time, Mr. Carroll.

15 MR. CARROLL: All right.

16
17 CROSS EXAMINATION

18 BY MR. CARROLL:

19 Q Mr. Maxey, at the time this unit -- you
20 began your initial waterflood test, will you shut in all of
21 the rest of the producing wells in this -- in this project,
22 or what wells are going to be left producing as an oil
23 well?

24 A Any wells that are economic would be
25 left producing and right now we have a problem with the

1 wells being economic, but the wells immediately around the
2 pilot flood would be left shut-in so we could monitor re-
3 servoir pressure by (not clearly understood).

4 Q But wells such as the (not clearly un-
5 derstood), that, if they -- if you determined that they
6 were economic you would go ahead and allow them to produce?

7 A If we determined they are economic. I
8 believe the Rutter Federal, the whole lease is producing
9 just under two barrels a day, and I find it hard to believe
10 those wells are economic, but if they were found to be
11 economic, if that rate would support economic operations,
12 we could turn it back on while we were in our pilot flood
13 stage.

14 Q So you'll look at each well individual-
15 ly, then.

16 A That's correct. We have looked at each
17 well. Factors can cause economics to change, primarily
18 price.

19 MR. CARROLL: I think that's
20 all I have.

21
22 RE CROSS EXAMINATION

23 BY MR. STOGNER:

24 Q Mr. Maxey, let's go to Exhibit Two-A.

25 A Okay.

1 Q And portion number four, Roman Numeral
2 IV, which states a tabulation of data on all wells from
3 public records -- I'm sorry, VI, I'm sorry, I read that
4 backwards, Roman Numeral VI.

5 Are you familiar with that particular
6 portion of the C-108?

7 A I believe so.

8 Q I don't see that in here. Could you
9 elaborate a little bit more on that?

10 MR. RICHARDSON: That, Mr. Exa-
11 miner, could be back -- it's in the engineering brochure,
12 Exhibit Seven in the first case. That is a tabulation of
13 all the Read & Stevens wells and the wells within the unit
14 area.

15 MR. STOGNER: Oh, okay, --

16 A There was a lot of redundant information
17 on the C-108 versus our report, and we have a total compil-
18 ation in the report of how all the wells in the unit were
19 completed.

20 Q Okay, and let's now refer to Exhibit
21 Three, I believe, well records, is that what you're refer-
22 ring to?

23 MR. RICHARDSON: Yes, I think
24 so.

25 Q And are you familiar with that, Mr.

1 Maxey, all the well records?

2 A Yes, Exhibit Three?

3 Q Yes.

4 A I think so. Let me get the exhibit out
5 of there.

6 MR. STOVALL: Exhibit Three of
7 the 9606, I believe it is, the engineering booklet that was
8 previously testified from.

9 A Okay, is that the completion
10 information?

11 MR. RICHARDSON: Well records,
12 I think.

13 A Right, I know what you're talking about
14 if it's the well records.

15 Q Okay.

16 A And it has the initial potentials and
17 production.

18 Q Are all the wells that are within the
19 half mile radius in which you show on your Exhibit Two, are
20 they included or they a part of this Exhibit Three of 9606?

21 A I've just testified that two wells, the
22 Remuda Oil & Gas and the Joe, well, the Joe was in the
23 book, Remuda Oil & Gas is not in this listing on the C-108.

24 MR. RICHARDSON: The only --
25 only one well is not operated by Read & Stevens and not

1 within the unit --

2 A And it is temporarily --

3 MR. RICHARDSON: -- and that is
4 the Remuda Southern Union Com.

5 Q Okay, Mr. Maxey, would you submit ade-
6 quate data to suffice Roman Numeral VI on that particular
7 Remuda Well?

8 A Yes.

9 Q Now let's go over to the wells that are
10 listed on the Exhibit Three Well Records, and do you have
11 the tops of cement listed on those?

12 A In the Well Records?

13 Q Yes.

14 A No.

15 Q Okay, could you please supply me that
16 information pursuant to Paragraph 6 --

17 A Yes.

18 Q -- of the C=108?

19 A You'd like it in written form versus the
20 testimony, correct?

21 Q I need it per well. Yes, I need a
22 written tabulation per well --

23 A Okay.

24 Q -- and how it was calculated if it was
25 calculated or --

1

2

A Right.

3

Q I suppose you have that information.

4

A Yes.

5

6

Q But it's not included anywhere today, is that correct?

7

A Right.

8

9

Q Okay, if you can supplement this with that information subsequent to today's hearing.

10

A Okay.

11

12

Q And, hopefully, prior to the hearing on March 1st in which this will be continued.

13

14

A It will most definitely be prior to that.

15

16

17

18

MR. RICHARDSON: We do have complete well information which we got out of the OCD office in Artesia on that Remuda Well, which we could either introduce now or send back with the rest of it.

19

20

MR. STOGNER: Oh, if you have it with you, let's see it, yes.

21

22

MR. RICHARDSON: It's somewhere around here.

23

24

MR. STOGNER: Other than that I have no further questions of Mr. Maxey at this time.

25

Are there any other questions

1 of this witness?

2 He may be excused.

3 Is there anything further, Mr.
4 Richardson?

5 MR. RICHARDSON: No, sir, I
6 just wanted to say should I run by and copy this right now
7 and leave it with you or you want to go ahead and send it
8 back when he sends the rest of it?

9 MR. STOGNER: You can go ahead
10 and make a copy and leave it on my desk and it will be made
11 part of this record subsequently.

12 MR. RICHARDSON: Fair enough.

13 MR. STOGNER: If there's
14 nothing further in today's case -- or today's hearing on
15 these two cases, we'll take -- we'll continue both of these
16 cases, 9606 and 9607, to the Examiner's Hearing scheduled
17 for March 1st, 1989.

18
19 (Hearing concluded.)
20
21
22
23
24
25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

C E R T I F I C A T E

I, SALLY W. BOYD, C. S. R. DO HEREBY CERTIFY that the foregoing Transcript of Hearing before the Oil Conservation Division (Commission) was reported by me; that the said transcript is a full, true and correct record of the hearing, prepared by me to the best of my ability.

Sally W. Boyd CSR

I do hereby certify that the foregoing is a complete record of the proceedings in the Examiner hearing of Case Nos. 9606 and 9607 heard by me on 15 February 1989.
Michael E. Stogryn, Examiner
Oil Conservation Division

1 STATE OF NEW MEXICO
2 ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
3 OIL CONSERVATION DIVISION
4 STATE LAND OFFICE BUILDING
5 SANTA FE, NEW MEXICO

6 15 March 1989

7 EXAMINER HEARING

8 IN THE MATTER OF:

9 Application of Read & Stevens, Inc. for CASE
10 statutory unitization, Eddy County, New 9606
11 Mexico, and

12 Application of Read & Stevens, Inc. for
13 a waterflood project, Eddy County, New
14 Mexico.

9607

15 BEFORE: Michael E. Stogner, Examiner

16 TRANSCRIPT OF HEARING

17 A P P E A R A N C E S

18 For the Division:

19 Robert G. Stovall
20 Attorney at Law
21 Legal Counsel to the Division
22 State Land Office Bldg.
23 Santa Fe, New Mexico

24 For Read & Stevens, Inc.:
25 Company:

William F. Carr
Attorney at Law
CAMPBELL and BLACK, P. A.
P. O. Box 2208
Santa Fe, New Mexico 87501

1 MR. STOGNER: At this time
2 we'll call consolidated Cases 9606 and 9607.

3 MR. STOVALL: Application of
4 Read & Stevens, Inc., for statutory unitization, Eddy
5 County, New Mexico, and the application of Read & Stevens,
6 Inc., for a waterflood project, Eddy County, New Mexico.

7 MR. STOGNER: This case was
8 originally heard four weeks ago in February and at that
9 time it was continued and readvertised?

10 MR. CARR: It was continued
11 until this date, Mr. Examiner, because of at the time of
12 the hearing H & S Oil Company appeared in opposition to the
13 case and requested a continuance.

14 I can advise the Examiner that
15 an agreement has been reached with H & S Oil Company. They
16 were the only opposition to the application in this matter.

17 We would request therefor that
18 at this time you take the matter under advisement and enter
19 an order based on the record made four weeks ago, includ-
20 ing an order granting the application, approving the water-
21 flood project and approving a 200 percent risk penalty.

22 MR. STOGNER: Are there any
23 additional comments or appearances?

24 Thank you, Mr. Carr. Cases
25 Numbers 9606 and 9607 will be taken under advisement.

C E R T I F I C A T E

I, SALLY W. BOYD, C. S. R. DO HEREBY CERTIFY that the foregoing Transcript of Hearing before the Oil Conservation Division (Commission) was reported by me; that the said transcript is a full, true and correct record of the hearing, prepared by me to the best of my ability.

Sally W. Boyd CSR

I do hereby certify that the foregoing is a complete record of the proceedings in the Examiner hearing of Case Nos. 9606 and 9607 heard by me on 15 March 1989.

Michael E. Hogan, Examiner
Oil Conservation Division