

1 STATE OF NEW MEXICO
2 ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
3 OIL CONSERVATION DIVISION
4 STATE LAND OFFICE BUILDING
5 SANTA FE, NEW MEXICO

6 26 April 1989

7 EXAMINER HEARING

8 IN THE MATTER OF:

9 Application of Parker & Parsley Petro- CASE
10 leum Company for salt water disposal, 9658
11 Eddy County, New Mexico.

12 BEFORE: David R. Catanach, Examiner

13 TRANSCRIPT OF HEARING

14 A P P E A R A N C E S

15
16
17
18 For the Division: Robert G. Stovall
19 Attorney at Law
20 Legal Counsel to the Division
State Land Office Building
Santa Fe, New Mexico

21 For Parker & Parsley W. Thomas Kellahin
22 Petroleum Company: Attorney at Law
KELLAHIN, KELLAHIN & AUBREY
23 P. O. Box 2265
Santa Fe, New Mexico 87504
24
25

I N D E X

1
2
3 RANDY R. JOHNSON

4 Direct Examination by Mr. Kellahin 3

5 Cross Examination by Mr. Catanach 17
6
78 E X H I B I T S
9

10 Parker & Parsley Exhibit One, Plat 4

11 Parker & Parsley Exhibit Two, Cross Section A-A' 8

12 Parker & Parsley Exhibit Three, C-108 10

13 Parker & Parsley Exhibit Four, Plat 10

14 Parker & Parsley Exhibit Five, Schematic 12

15 Parker & Parsley Exhibit Six, Information 13

16 Parker & Parsley Exhibit Seven, Water Analysis 14

17 Parker & Parsley Exhibit Eight, Water Analysis 14

18 Parker & Parsley Exhibit Nine, C-101 16

19 Parker & Parsley Exhibit Ten, C-102 16

20 Parker & Parsley Exhibit Eleven, Schematic 16

21 Parker & Parsley Exhibit Twelve, Certificate and

22 Return Receipts 16
23
24
25

1 MR. CATANACH: Call next Case
2 Number 9658.

3 MR. STOVALL: Application of
4 Parker & Parsley Petroleum Company for salt water disposal,
5 Eddy County, New Mexico.

6 MR. KELLAHIN: Tom Kellahin of
7 the Santa Fe law firm Kellahin, Kellahin & Aubrey,
8 appearing on behalf of Parker & Parsley Petroleum Company
9 and I have one witness.

10
11 (Witness sworn.)

12
13 RANDY R. JOHNSON,
14 being called as a witness and being duly sworn upon his
15 oath, testified as follows, to-wit:

16
17 DIRECT EXAMINATION

18 BY MR. KELLAHIN:

19 Q Mr. Johnson, would you please state your
20 name and occupation?

21 A Randy R. Johnson. I'm a petroleum en-
22 gineer.

23 Q Mr. Johnson, have you on a prior occa-
24 sion testified before the Division as a petroleum engineer?

25 A Yes, I have.

1 Section 27.

2 Q Summarize for us generally what you're
3 seeking to accomplish with the application, Mr. Johnson.

4 A Parker & Parsley is making application
5 to seek authority to dispose of produced water into the
6 Delaware Cherry Canyon formation. This is not an expansion
7 of an existing project but a replacement of Order SWD 335
8 in which Parker & Parsley was given administrative approval
9 to convert the Pardue Farms 27 No. 4 to salt water dispo-
10 sal.

11 Q All right, let's find on the display No.
12 1 the Pardue Farms 27 No. 4 Well, for which you got the
13 Administrative Order 335.

14 A The 27 No. 4 is the furthest well in the
15 southeast corner of Section 27.

16 Q All right, the one that's shaded half
17 orange and half brown?

18 A Right.

19 Q Why was that well not utilized for dis-
20 posal purposes?

21 A The Pardue Farms 27 No. 4 was not con-
22 verted to salt water disposal but recently recompleted as a
23 producer in the Brushy Canyon and it's now commingled in
24 the Bone Spring and Brushy Canyon.

25 Q You still need to find a disposal well

1 in the vicinity to utilize yet for produced water?

2 A Yes, we do. If Parker & Parsley is
3 granted a permit for disposal the economic life of the
4 leases in the area of review, which is shaded yellow, will
5 be increased substantially by an average of four years per
6 well; therefore, Parker & Parsley will be able to recover
7 additional reserves from the Bone Spring and Brushy Canyon
8 avoiding waste of oil and gas.

9 Q Let's talk about the Cherry Canyon Del-
10 aware formation disposal interval, if you will.

11 First of all, before we leave the dis-
12 play, tell us generally what that gross interval thickness
13 is.

14 A The gross interval thickness of the
15 Cherry Canyon is approximately 1300 feet and within the
16 area of the proposed well, which is the red dot in Section
17 27, there is not any Cherry Canyon production within two
18 miles. If you'll notice at the top of the exhibit where
19 the red arrow is pointing to a well located in Section 9,
20 that is the closest Cherry Canyon production in the area,
21 which is over 2 miles or 2-1/2 miles from the proposed
22 well.

23 Q In your opinion is there any opportunity
24 for commercial hydrocarbon production out of the Cherry
25 Canyon disposal formation in this immediate vicinity?

1 A No, sir.

2 Q What is the formation that produces the
3 produced water that you're seeking to dispose of in this
4 well?

5 A The Bone Spring and the Brushy Canyon
6 will be our produced water that we'll be disposing of.

7 Q Identify for us the wells that will
8 contribute water production to be disposed of in the well.

9 A In the shaded areas, shaded yellow in
10 Section 27 and 26 of Range 28 East and Township 23 South,
11 the orange colored circles and the brown shaded circles
12 will be the sources for produced water for disposal, that
13 are located in these two sections.

14 Q So you currently -- you propose to dis-
15 pose of Brushy Canyon produced water and Bone Spring pro-
16 duced water.

17 A Yes, sir.

18 Q Do you have an estimated range of volume
19 on a daily basis that you will dispose of in the well?

20 A Right now we figure we'll probably have
21 close to 1500 barrels per day.

22 Q Mr. Johnson, the Commission has a guide-
23 line on a surface pressure limitation that they utilize for
24 disposal wells, which is .2 psi per foot of depth, and they
25 normally base that on the top perforation in the disposal

1 formation.

2 With that in mind, let's have you, sir,
3 turn to Exhibit Number Two and describe for us how you
4 propose to complete this well for disposal in the Cherry
5 Canyon interval?

6 A Okay. Exhibit Number Two is a strati-
7 graphic cross section from the Pardue Farms 27 No. 1 in the
8 bottom lefthand corner of this index map. The 27 No. 1 is
9 located in Section 27, Township 23 South, Range 28 East,
10 and the 26 No. 1 is in Section 26.

11 Our proposed well is located between
12 these two wells and, as you can see from the cross section,
13 the Cherry Canyon interval, there is about 1300 feet of
14 gross -- I say gross sand and gross pay, but actually,
15 using a 12 percent porosity cutoff, we only have around 500
16 feet of net sand which we feel we can dispose of water
17 into.

18 Q Where -- where do you anticipate would
19 be the likely highest or most shallow perforation in the
20 Cherry Canyon that would be first utilized for disposal?

21 A The highlighted area there on the log
22 under No. 1 on the cross section there, there at around
23 3800 feet is where our top perforation would be, but actu-
24 ally our perforated intervals will only be in those high-
25 lighted areas of the good sands.

1 Q Let's assume that your top perforation
2 is at approximately 3500 feet and that the Commission uti-
3 lizes their guideline of a pressure limitation of .2 psi
4 per foot of depth, then that will give you a surface pres-
5 sure limitation of 700 pounds.

6 Based upon your experience and know-
7 ledge as an engineer, do you anticipate that that is going
8 to be a sufficient enough pressure in order to allow you to
9 dispose of the produced water as you anticipate?

10 A At this time from experience in the
11 area, I don't believe it would be enough pressure. It's
12 because we have not enough experience in the immediate area
13 with the Cherry Canyon, it's going to be hard to tell till
14 we get in there and actually perforate and dispose water.

15 Q At this point, though, you anticipate
16 that you're likely to need a larger pressure limitation
17 than is customarily granted initially.

18 A Yes, sir.

19 Q In what anticipated range would you ex-
20 pect at this point without having actually done the work?

21 A Probably 1500 to 2000 pounds.

22 Q Would you request the Examiner provide
23 in the disposal order that approves this application an
24 administrative procedure to allow you to conduct a step
25 rate test, submit that to the District Office and thereby

1 obtain a larger pressure limitation than is done if you
2 utilize the .2 psi limitation?

3 A Yes, sir.

4 Q Let's go into some of the specifics now,
5 Mr. Johnson, of the Form C-108.

6 Exhibit Number Three is simply the form
7 itself, Mr. Johnson, if you'll turn behind that, turn to
8 the landman's plat that's marked as Exhibit Number Four.
9 What is that intended to show?

10 A Exhibit Four is the plat which indicates
11 the location of the proposed well which is indicated by the
12 red dot in Section 27. All leases and wells surrounding
13 the well within two miles are located on this map.

14 The highlighted circle indicates the
15 subject well's area of review.

16 Q Within that area of review, have you
17 found any plugged and abandoned wells that penetrate
18 through the Cherry Canyon formation or formerly produced
19 from the Cherry Canyon formation that have been plugged and
20 abandoned?

21 A No, there is none.

22 Q Using this as a reference point, de-
23 scribe for us to your knowledge, where is the closest point
24 of fresh water in this immediate area?

25 A Okay. In Section 22, which is located

1 directly north of Section 27, and approximately a half mile
2 north of the proposed well, there is some residences along
3 that bottom part of the section, but as far as the inform-
4 ation we can find, they're are all getting their water from
5 the City of Loving, and there is not any active water wells
6 in the area of review.

7 Q Based upon your investigation, what is
8 the deepest depth of any water that might be considered
9 fresh water or potable water?

10 A The Rustler formation, which the base of
11 the Rustler is at 400 feet.

12 Q The top potential perforation in the
13 Cherry Canyon s 3500 feet.

14 A 3800.

15 Q 3800 feet.

16 A Yes, sir.

17 Q Is that a sufficient enough separation
18 between the disposal formation and the deepest fresh water
19 formation to isolate the disposal fluids and keep them
20 separate from any fresh water sources?

21 A Yes, that is.

22 Q Do you find any indication of faulting
23 or other means by which produced water could migrate out of
24 the Cherry Canyon and move up into the Rustler?

25 A No, sir.

1 proposed volume and anticipated surface pressures.

2 Q In proposing the design for this new
3 disposal well, in your opinion as an engineer is it going
4 to be adequate and efficient to accomplish the objective
5 desired?

6 A Yes.

7 Q Will you have a pressure gauge on the
8 surface to monitor that annular space between the tubing and
9 the casing?

10 A Yes, there will be.

11 Q And what will you fill that space with?

12 A I will use a packer fluid that will be
13 KCL water and a corrosive type chemical.

14 Q This is plastic lined tubing?

15 A It's fiberglass tubing.

16 Q And you have adequate cement continuity
17 from the disposal interval back up tying yourself back into
18 the surface.

19 A We have plans to circulate cement to the
20 surface on both strings of casing. If needed on the long
21 string, we'll run a caliper survey to estimate our volume.

22 Q Turn now, sir, to Exhibit Number Six,
23 which continues on with your tabulation of information for
24 the C-108. What have you shown?

25 A Exhibit Number Six is -- is a tabulation

1 of the data on all wells of public record within the area
2 of review of the subject well.

3 Also additional information is included
4 here submitted with the C-108, which was submitted to the
5 Oil Conservation Division.

6 Q In making your investigation of those
7 producing wells that are shown on the tabulation, do you
8 find any of those that are suspect of being sources by
9 which disposal fluid might migrate through those wellbores
10 up to shallower fresh water sands?

11 A No, there is not.

12 Q Do you propose to stimulate the well?

13 A Yes. We're hoping we'll only have to
14 acidize the well with approximately 5000 gallons of HCL.

15 Q Have you had water analyses conducted on
16 the produced water from the two formations, the Brushy
17 Canyon and the Bone Spring, to determine whether or not
18 they are going to be compatible?

19 A Yes, we have. It is included in Exhibit
20 Seven and they are compatible.

21 Q Let's look at Exhibits Seven and Eight,
22 having you taking those exhibits together, and describe
23 what each one is.

24 A Exhibit Seven is the analysis of the
25 source water to be disposed of and Exhibit Eight is an

1 analysis of the produced water from the receiving forma-
2 tion, and I might say that this Exhibit Eight of the pro-
3 duced water from the receiving formation was the closest we
4 could find at the same depth at which we plan on disposing
5 into.

6 Conclusions are that there would be a
7 negative sulfate and/or carbonate scaling tendency. The
8 low sulfate concentration in the disposal fluid will water
9 down the higher concentration in the receiving formation
10 and although the total hardness in calcium concentrations
11 are higher in the disposal fluids, a similar pH of the
12 fluids should delete any carbonate scaling. And also the
13 analysis indicated a low pH not conducive to any excessive
14 corrosion.

15 The combination of the fluids does not
16 appear to harbor any adverse consequences to the receiving
17 formation.

18 Q Can we find the well from which the
19 water analysis shown on Exhibit Eight was taken if we look
20 at Exhibit Number One?

21 A No.

22 Q It's outside the area shown on that
23 plat?

24 A Yes.

25 Q But it comes from water produced from

1 the Delaware formation?

2 A From the Delaware formation in Eddy
3 County at the similar depth at which we're going to be
4 disposing into.

5 Q Would you turn now, sir, and identify
6 Exhibit Number Nine?

7 A Exhibit Number Nine is our Form C-101
8 which was submitted to the Oil Conservation Division.

9 Q And Exhibit Number Ten?

10 A It's our Form C-102, which also was sub-
11 mitted to the Oil Conservation Division.

12 Q It shows the surveyed location for the
13 disposal well, gives the footages?

14 A Yes, it does.

15 Q And Exhibit Number Eleven?

16 A Exhibit Number Eleven is just a schema-
17 tic of the blowout prevention equipment to be used while
18 drilling the proposed well.

19 Q When we look at Exhibit Number Twelve,
20 and if you'll turn to the return receipts attached behind
21 the certificate, there are four return receipts shown.
22 Would you identify those parties for us?

23 A HNG, Amoco, and (not clearly understood)
24 but actually Amoco and HNG aren't even in the area of re-
25 view, but we went ahead and sent notices to them and Billie

1 Queen is our surface owner.

2 MR. KELLAHIN: That concludes
3 my examination of Mr. Johnson.

4 We move the introduction of
5 Exhibits One through Twelve.

6 MR. CATANACH: Exhibits One
7 through Twelve will be admitted as evidence.

8

9

CROSS EXAMINATION

10 BY MR. CATANACH:

11 Q Mr. Johnson, did you do an examination
12 of all the area of review wells?

13 A Yes, I did.

14 Q Did you say that they were -- these were
15 submitted with the prior application?

16 A Yes, they were.

17 Q Information on these wells?

18 A Yes, they were.

19 Q Do you know if those -- if that informa-
20 tion included casing and cementing data?

21 A I don't believe it did. It's the same
22 information as we have here and actually all the -- all the
23 wells that are tabulated are operated by Parker & Parsley,
24 except for one, which is operated by Milton Wessels.

25 Q I'm going to ask you to go ahead and

1 submit that casing and cementing data for all those area of
2 review wells subsequent to the hearing.

3 A Okay.

4 Q The -- the produced water analysis from
5 the Cherry Canyon, that was from a Mobil Well?

6 A Yes, sir. What I did, I had (not
7 clearly understood) dig up the nearest analysis they could
8 find and at that depth and that's what they came up with
9 and I apologize for not having an exact location on it.

10 Q Do you know approximately where -- how
11 far it's located from this well?

12 A No, sir, I don't.

13 MR. KELLAHIN: We'd be happy
14 to find out and submit that to you, if you like.

15 MR. CATANACH: I have no fur-
16 ther questions of the witness. He may be excused.

17 And there being nothing fur-
18 ther in this case at this time, it will be taken under
19 advisement.

20

21 (Hearing concluded.)

22

23

24

25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

C E R T I F I C A T E

I, SALLY W. BOYD, C. S. R. DO HEREBY CERTIFY that the foregoing Transcript of Hearing before the Oil Conservation Division (Commission) was reported by me; that the said transcript is a full, true and correct record of the hearing, prepared by me to the best of my ability.

Sally W. Boyd CSR

I do hereby certify that the foregoing is a complete record of the proceedings in the Examiner hearing of Case No. 7658, heard by me on April 26 1985.
David P. Catanzano, Examiner
Oil Conservation Division