

1 STATE OF NEW MEXICO
2 ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
3 OIL CONSERVATION DIVISION
4 STATE LAND OFFICE BUILDING
5 SANTA FE, NEW MEXICO

6 10 May 1989

7 EXAMINER HEARING

8 IN THE MATTER OF:

9 Application of Nearburg Producing Comp- CASE
10 any for an unorthodox oil well location, 9668
11 Lea County, New Mexico.

12 BEFORE: Michael E. Stogner, Examiner

13 TRANSCRIPT OF HEARING

14 A P P E A R A N C E S

15 For the Division:

16 For Nearburg Producing
17 Company:

18 Scott Hall
19 Attorney at Law
20 CAMPBELL and BLACK, P. A.
21 P. O. Box 2208
22 Santa Fe, New Mexico 87501
23
24
25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

I N D E X

BILL OWEN

Direct Examination by Mr. Hall 4

Cross Examination by Mr. Stogner 6

LOUIS MAZZULLO

Direct Examination by Mr. Hall 9

Cross Examination by Mr. Stogner 19

E X H I B I T S

Nearburg Exhibit One, Plat 4

Nearburg Exhibit Two, Plat 4

Nearburg Exhibit Three, Structural Map 10

Nearburg Exhibit Four, Isopach 12

Nearburg Exhibit Five, Cross Section 15

Nearburg Exhibit Six, Affidavit 6

1 MR. STOGNER: Application of
2 Nearburg Producing Company for an unorthodox oil well
3 location in Lea County, New Mexico.

4 At this time I'll call for
5 appearances.

6 MR. HALL: Mr. Examiner, Scott
7 Hall from the Campbell & Black law firm on behalf of Near-
8 burg.

9 We have two witnesses this
10 morning.

11 MR. STOGNER: Are there any
12 other appearances? There being none will the witnesses
13 please stand at this time and raise your right hands?

14
15 (Witnesses sworn.)

16
17 MR. STOGNER: You may be
18 seated.

19 Mr. Hall?

20
21 BILL OWEN,
22 being called as a witness and being duly sworn upon his
23 oath, testified as follows, to-wit:

24
25 DIRECT EXAMINATION

1 BY MR. HALL:

2 Q Please state your name.

3 A Bill Owen.

4 Q Mr. Owen, by whom are you employed and
5 where do you live?

6 A David Petroleum, Roswell, New Mexico.

7 Q And, Mr. Owen, you've previously testi-
8 fied before the Division or one of its examiners and had
9 your credentials accepted, is that not true?

10 A Yes.

11 Q What is David's relationship with Near-
12 burg?

13 A We're a working interest partner with
14 Nearburg in this area.

15 Q And are you authorized to speak on be-
16 half of Nearburg?

17 A Yes.

18 Q What is it that Nearburg is seeking by
19 this application?

20 A An unorthodox location.

21 Q Let's look at Exhibits One and Two.
22 Would you briefly explain those to the hearing Examiner?

23 A Exhibit One in the green shows the, as
24 well as the yellow, shows the leasehold acreage owned by
25 Nearburg in Section 12. The yellow acreage is the proposed

1 80-acre unit, Strawn Unit, and the red dot indicates our
2 proposed location.

3 Q And what is that location?

4 A Exact footage is 1500 feet from the west
5 and 990 feet from the north.

6 Q And this completion will be in the Shipp
7 Strawn, is that correct?

8 A That is correct.

9 Q Are you familiar with the location re-
10 quirements for that particular pool?

11 A Yes.

12 Q And what are they?

13 A Be within 150 feet from the center of
14 the quarter quarter section.

15 Q So you are 180 feet off the perimeter of
16 the circle, is that correct?

17 A That's correct.

18 Q Is the location encroaching upon any
19 other production in the area?

20 A No, it's not. As a matter of fact, it's
21 moving in towards the -- closer to the center of our own
22 acreage.

23 Q All right, Nearburg acreage, is that
24 correct?

25 A Correct.

1 Q Mr. Owen, let me direct your attention
2 to Exhibit Six. Is Exhibit Six the affidavit you've
3 directed your counsel to send out to all interested parties
4 giving notice of this hearing?

5 A Yes.

6 Q Were Exhibits One through Six prepared
7 by you or at your direction?

8 A Yes.

9 Q Do you have anything further to add?

10 A No.

11 MR. HALL: At this point we'd
12 call Mr. Mazzullo and no further questions of Mr. Owen.

13

14 CROSS EXAMINATION

15 BY MR. STOGNER:

16 Q Mr. Owen, on Exhibit Number One I show
17 the hatched mark green. Now that is David Petroleum there,
18 but now, let's see, did you present Exhibit Number Two at
19 this time Mr. Hall?

20 MR. HALL: Yes.

21 Q Okay. Now --

22 A Yes, Exhibit One and Two both are owned
23 jointly by Nearburg and David Petroleum.

24 Exhibit Number Two is a common leasehold
25 ownership throughout the entire north half of Section 11.

1 Q The north half is one common lease.

2 A Correct.

3 Q And that is a fee lease, is it?

4 A That's correct. It's actually about
5 twelve leases but it's all common ownership throughout.
6 It's one family split up in about twelve different members
7 of the family.

8 Q So that is undivided minerals.

9 A Undivided mineral interest throughout
10 the north half, that's correct.

11 Q And you said that belonged to one
12 family?

13 A Yes.

14 Q And may I ask who that family is?

15 A Howenstine, a family out of Oklahoma.

16 Q And then Exhibit Number Six is the affi-
17 davit to Charles Gillespie, Conoco, Mesa and Pennzoil, is
18 that correct?

19 A I believe that's correct.

20 Q Okay. And, let's see, are they offset-
21 ting in other directions of this proration unit or why were
22 they notified?

23 A Well, I guess the requirements are any
24 offsetting producers for an unorthodox location need to be
25 notified.

1 Q Okay.

2 A That's -- that's what we were doing, is
3 notifying all offset operators.

4 Q Okay. So Mesa is to the north and west.
5 Gillespie is to the --

6 A To the west.

7 Q -- west. Pennzoil is to the north.

8 A Correct.

9 Q And where does Conoco show up on this
10 map? Are they to the north and east, I would assume?

11 A I don't know where Conoco is, to tell
12 you the truth. They are not north and east. We primarily
13 own somewhere in the 95 percent to the 98 percent of the
14 east half of Section 1, so they're not in that tract.

15 Q Okay. So Nearburg operates the, oh,
16 let's call that the east half of 1?

17 A That's correct.

18 Q So Conoco was notified.

19 A Yes.

20 Q All right.

21 A Just to play it safe, just in case they
22 wanted to know.

23 Q You probably have a Conoco card in your
24 pocket and you wanted to make it safe.

25 MR. STOGNER: Okay, are there

1 any questions of this witness?

2 MR. HALL: Well, if I neg-
3 lected to do so, I move admission of One, Two and Six.

4 MR. STOGNER: Exhibits One,
5 Two and Six will be admitted into evidence at this time and
6 I have no other questions of Mr. Owen. He may be excused.

7 Mr. Hall?

8

9

10 LOUIS MAZZULLO,
11 being called as a witness and being duly sworn upon his
12 oath, testified as follows, to-wit:

13

DIRECT EXAMINATION

14

BY MR. HALL:

15

Q Will you please state your name?

16

A My name is Louis Mazzullo.

17

18 Q Mr. Mazzullo, where do you live and by
whom are you employed?

19

20 A I live in Midland, Texas, and I'm em-
21 ployed as a consulting geologist to Nearburg Producing
Company.

22

23 Q And you've previously testified before
the Division and had your credentials accepted?

24

A Yes.

25

Q Are you familiar with the subject appli-

1 cation and the subject well?

2 A Yes, I am.

3 Q Why is this particular location being
4 proposed?

5 A This particular location is being
6 proposed to be drilled on the optimum location as we deter-
7 mine it from seismic evaluation of the prospect area.

8 Q All right, and have you prepared cer-
9 tain exhibits to explain?

10 A Yes, and if I may, I'd like to stand up
11 and do this on the wall. It would be easier.

12 Q Let's refer to Exhibit Three, if you'd
13 like to start with that.

14 A Okay. Exhibit Number Three is a struc-
15 ture map which is drawn on the top of the Strawn formation
16 which is the principal reservoir unit that we're dealing
17 with here. This map was constructed on the basis not only
18 of the well control that we have in the area but it was
19 also constructed on the basis of numerous seismic lines
20 that have been interpreted by our geophysicists that cross
21 the area both north/south and east/west.

22 It shows a number of small to moderate
23 sized closures or structural noses which is -- which are
24 somewhat associated with production from the Strawn in this
25 area. Strawn wells on this map are indicated by the tri-

1 angles; those are all producing wells out of the Strawn.

2 Over to the east, southeast of our
3 proposed location is a small closure in the satellite nose
4 associated with production out of Nearburg's two Wright
5 wells, the Wright No. 1 up here in the northeast of the
6 southeast and Wright No. 2 in the southeast of the south-
7 east.

8 North of the proposed location is a
9 small structure that we've defined seismically, which is
10 associated with production out of the Pennzoil No. 2 Price
11 Family Trust. Now this well, the No. 2 Price Family Trust,
12 is actually a marginal well out of the Strawn. It's got
13 marginal porosity development in it. We believe because
14 it's off the crest of this structure.

15 The point of this map is to show that we
16 have two -- that we have a small structural closure on the
17 Strawn that we're defining here by coloring red. This
18 small closure is associated probably with porosity develop-
19 ment or reefal mound development in the Strawn under the
20 proposed location. It's a structure that's smaller in mag-
21 nitude than the Pennzoil structure to the north. It's about
22 equivalent in size to the structure that the Wright No. 1
23 is productive from and what we're attempting to do here by
24 locating the well precisely where it is, is we're locating
25 at the intersection of two seismic lines that are basically

1 telling us the same thing. They're telling us that there
2 is maximum structural development or advantage at that
3 particular site and it's showing us the same thing on both
4 lines.

5 If we were to move anywhere away from
6 that proposed location, we wouldn't be in the optimum
7 structural position.

8 Q All right, let's refer to Exhibit Four,
9 if you'd explain that, please.

10 A Exhibit Number Four is an isopach map
11 showing the thickness of the Strawn limestone in the area.
12 The stippled patterns on the map refer to possible, areas
13 of possible porosity development somewhere in the Strawn
14 section. It doesn't necessarily have to be at the top of
15 the Strawn, it would be anywhere in the section.

16 What I'm showing here again is that pro-
17 duction here again denoted by triangles, these are all
18 Strawn wells denoted by triangles, production is associated
19 in the Strawn in areas where the Strawn is locally built
20 up, locally thickened. So, for example, these two wells
21 down to the south are productive out of a common reservoir
22 where the thickness of the Strawn exceeds 210 feet.

23 MR. STOGNER: And you're re-
24 ferring to Wells Nos. 212 and 219.

25 A 212 and 219 in Sections 14 and 13

1 respectively.

2 In the case of the Nearburg Wright
3 Wells, each one of those wells is producing out of a dif-
4 ferent horizon, so the Wright No. 1 does not produce out of
5 the same horizon that the Wright No. 2 produces out of.
6 Each one of those wells has in excess of 220 feet or more
7 of Strawn section.

8 Production out of the No. 1 Wright is
9 associated with a small pod of porosity development here.

10 The Wright No. 2 is associated with a
11 small pod of porosity development there.

12 In all likelihood either one of those
13 wells are going to define a one-well porosity feature. We
14 probably will have to be pretty hard-pressed to offset
15 either one of those wells.

16 By the same token, what we are defining
17 as the proposed location is a small pod of porosity devel-
18 opment which we believe might be at the top of the section.
19 The location is placed precisely where it is because that
20 is the area where the two seismic lines intersect and it's
21 also the area where we see maximum development of what we
22 believe to be productive porosity that we can define on
23 seismic lines.

24 This pod here we believe is different
25 from the pod that produces out of the Pennzoil No. 2 Price

1 Family Trust to the north. We anticipate getting a little
2 bit more than 200 feet of section out of this well, or this
3 location, and now, for future reference, let me call your
4 attention to a line of cross section that I'm going to show
5 here just to clarify the situation from southwest, through
6 this dry hole that we are offsetting at the proposed loca-
7 tion, through the location, up to the Price Family 2 and
8 across to our plugged and abandoned Nearburg No. 1 Price
9 Family Trust. That's the next exhibit that's coming up,
10 but for now let me just reiterate that we are offsetting a
11 dry hole. We're offsetting a dry hole in the southwest of
12 the northwest quarter of Section 12, basically one loca-
13 tion, and we're trying to optimize our chances of hitting
14 productive porosity by staying at a point where -- locating
15 the well at a point where we have two intercepting seismic
16 lines that are basically telling us the same thing, and
17 we've had considerable experience, good and bad, in this
18 area, which shows us that it doesn't take a whole lot to
19 move off of a productive feature to drill a dry hole.
20 We've documented that very well with the drilling of the
21 No. 1 Howenstine and its sidetrack offset.

22 MR. STOGNER: And which one is
23 the No. 1 Howenstine?

24 A The No. 1 Howenstine directly offsets
25 the No. 1 Wright in the north -- in the southeast quarter

1 of the northeast quarter of Section 12.

2 So we -- we tried to offset the No. 1
3 Wright to the north and drilled a dry hole. We drilled a
4 directional well from that dry hole to the southeast and
5 drilled another dry hole.

6 We then tried to offset the No. 2 Wright
7 by one location to the east, by this well in the southeast
8 -- the southwest quarter of Section 7, the No. 1 Baker, and
9 we drilled a dry hole.

10 So the locations of these wells have to
11 be precisely -- have to be placed where we might expect the
12 optimum development of porosity and structure and that's
13 why we are so particular about placing that location of the
14 No. 1 Mary Ann State where we have it.

15 Q Let's go to the cross section.

16 A Just as a point of reference, to esta-
17 blish how close we believe we may be to productive poro-
18 sity, again I'm going to show you a cross section that goes
19 from our offset dry hole into the location and up to the
20 Price, Pennzoil Price Well and across the Nearburg Price
21 Well.

22 MR. STOGNER: And you're re-
23 ferring to the dashed line that runs --

24 A The dashed line on the -- on both Exhi-
25 bits Three and Four.

1 MR. STOGNER: And that's in
2 Sections 1 and 12.

3 A 1 and 12, exactly. We'll start on the
4 southwest side of the cross section at the offset dry hole,
5 the Shenandoah No. 1 Bumpers Well. The Strawn interval
6 that we're isopaching in Exhibit Four is from the top of
7 the Strawn limestone, as I show on the cross section here,
8 to the top of the Strawn sandstone or the base of the
9 Strawn limestone, which I show here on the cross section.

10 In the Shenandoah Bumpers we see what
11 appears to be the incipient development of porosity. We're
12 close. We're real close to something developing here. It
13 looks like porosity is just beginning to develop. We an-
14 ticipate by going the one location or so away from that dry
15 hole at our proposed location, that we'll get into a situ-
16 ation where we will establish porosity. We will see poro-
17 sity at the top of the section corresponding to this little
18 hint of porosity development in the top of the Bumpers.

19 As you go across to the Pennzoil Well in
20 Section 1, the southwest quarter of Section 1, we find
21 scattered porosity development that is some 20 or 25 feet
22 below the top of the Strawn. The perforations extend
23 almost to the top of the Strawn but the real porosity de-
24 velopment isn't until you're down at this point, so we be-
25 lieve that we're dealing with two isolated, small pods of

1 porosity, which is typical for this area. These are very
2 small reefal mound bodies. They're very limited in areal
3 extent, one or two well features at the most.

4 MR. STOGNER: And what did you
5 refer to them as, reefal mounds?

6 A Reefal mounds.

7 MR. STOGNER: How does that
8 differ from algal mounds?

9 A Well, there's a, you know, it's a ques-
10 tion of semantics. Let's just call them patch reefs, to be
11 real simple. We'll just call them patch reefs, whatever
12 they're made of.

13 MR. STOGNER: Okay.

14 A Okay. As you go to the Pennzoil Trust,
15 we see development of porosity somewhere else in the sec-
16 tion. As we go across the section away from the Pennzoil
17 well into the Nearburg No. 1 Price Family Trust, there is
18 no porosity development in the section. It's all material
19 that is far removed -- well, not far removed, it's all off
20 -- off reef material, basinal limestones.

21 Just as another point of reference, the
22 porosity development that we see in the two Wright wells,
23 the Wright No. 1 and the Wright No. 2 in the east half of
24 Section 12, in the Wright No. 1 the porosity development is
25 way down here in the section, almost at the base of the

1 Strawn.

2 In the Wright No. 2 the porosity de-
3 velopment is approximately in the same stratigraphic
4 position as it's present in the Pennzoil well. It's at the
5 top of the section.

6 So the porosity development does change
7 in stratigraphic position from one location -- in many
8 places from one location to the next, literally. That's
9 what we anticipate is happening between these two. It's
10 going to happen between the Pennzoil location and our
11 proposed location, but again we're striving to be -- to
12 pick the optimum drillable location, trying to increase our
13 chance of success by locating precisely at that point.

14 Q Anything further you wish to add?

15 A No.

16 Q Mr. Mazzullo, in view of the fact that
17 the Strawn is typified by the isolated mounds in the area
18 and also due to the fact that you're not encroaching upon
19 any existing production, do you believe that the production
20 from this well should be restricted in any way?

21 A No, I don't.

22 Q If the production is restricted, will
23 Nearburg's plans for going forward with the well change at
24 all?

25 A I would imagine that Nearburg would have

1 to re-evaluate the economics of drilling at that location
2 if they are restricted.

3 Q All right. Do you believe that grant-
4 ing the application will be in the best interests of con-
5 servation, the prevention of waste, and the protection of
6 correlative rights?

7 A Yes.

8 Q And were Exhibits Three, Four and Five
9 prepared by you?

10 A Yes, they were.

11 MR. HALL: We'd move the ad-
12 mission of Three, Four and Five. That concludes our direct
13 of this witness.

14 MR. STOGNER: Exhibits Three,
15 Four and Five will be admitted into evidence.

16
17 CROSS EXAMINATION

18 BY MR. STOGNER:

19 Q Mr. Mazzullo, now you -- I know you have
20 been up here many times in the past with this same type of
21 testimony and stuff and you have had quite a bit of exper-
22 ience out there in reviewing these algal mounds, reefal
23 mounds, patch reefs, and such structures as appear here.

24 Do you have a feel about when you review
25 this, review the testimony -- I mean review the informa-

1 tion and your seismic work and the -- what little downhole
2 information you have, for what it's worth, it appears at
3 times, are you getting any better in interpreting this,
4 because you drilled two dry holes and such as that, or is
5 there any other exploratory methods being used, too? I'll
6 let you --

7 A Darts. No, there are two basic -- there
8 are two basic philosophies in this area. The primary phil-
9 osophy in this area is to evaluate seismic, look for seis-
10 mic, both for seismic development at the top of the Strawn
11 in combination with anomalies on the seismic -- seismic
12 wavelet anomalies in that section where it corresponds to
13 closure on the seismic. That generally corresponds to
14 porosity development, not always, obviously, or else we
15 wouldn't have drilled the dry holes. There are other fac-
16 tors that affect the seismic interpretations, such as the
17 presence of faults that cut the Strawn section that have a
18 way of messing up the seismic signal.

19 Those you can't -- you can't anticipate
20 and it's very hard to distinguish between the effects of a
21 fault and the effects of porosity development in some
22 cases.

23 The other philosophy that's used out
24 here is just seat of the pants. It's offsetting known
25 producers and trying to, you know, offset production in

1 that way. Well, it doesn't always work here because these
2 are very small isolated features. The reason they're so
3 prolific is because they are fractures, large, vertical,
4 open fractures in the system.

5 The success rate in this area varies
6 anywhere from 30 to 50 percent. We're down on the 30 per-
7 cent range at this -- at this point, but we have to try to,
8 you know, do everything we can to optimize our locations
9 and the only thing we have to go on in most cases, because
10 things change so radically from location to location, is
11 the seismic, so we place a lot of weight on it, good or
12 bad, you know, right or wrong, we have to place a lot of
13 faith on it because that's the only downhole tool that's
14 proven universally more effective than anything else in
15 this entire area, here and in the Lovington area.

16 Q Now when I -- I want to refer to Exhibit
17 Number Five, the cross section.

18 A Uh-huh.

19 Q And I'm assuming if you took this line
20 on further south and intersected some of the other produc-
21 ing wells --

22 A Uh-huh.

23 Q -- we would also see red mounds --

24 A You would, uh-huh.

25 Q -- in the Strawn there.

1 A At different places, in different
2 places, right.

3 Q And that's what I was leading up to.
4 These mounds as they occur in different places, do they
5 occur at the same time in the Pennsylvanian Age? Do they
6 develop at the same time or what kind of a period do you
7 figure this happened?

8 A This whole period here probably repre-
9 sents, oh, maybe, maybe a million years of time in which
10 sea level varied back and forth. These are not all depo-
11 sited at the same time, no, they're not. This here might
12 be older or younger than that one there by several tens of
13 thousands of years, and there are ways that we can tell,
14 you know, there are effective ways you can actually date
15 these things, but that's -- really I don't want to go into
16 that right now.

17 Q Paleontology, right?

18 A Yes.

19 Q Okay, yeah, we don't want to get into
20 that.

21 A Very detailed; very detailed. But, no,
22 they aren't all developed at the same time and the age re-
23 lationships among all the various mounds is very complex
24 and it has to do with changes of sea level that went on in
25 this area through time, through that million year time

1 period. There were many of them.

2 Q Do you see a patch that may be deposited
3 earlier in the Pennsylvanian Age as opposed to later in the
4 Pennsylvanian Age, do you see any difference with porosity
5 or that much of a difference in the porosity or production
6 that you are looking at here?

7 A Not yet, no. I don't see any correla-
8 tion between that at all because basically they've all --
9 the porosity development in all of these mounds has been by
10 the same basic mechanism, by exposure, sub-areal exposure,
11 exposure during low stands at sea level where the rocks
12 were actually exposed and eroded and that's where you get
13 the huge, open, vertical fractures developed at times like
14 that; kind of like washing them out; they've been washed
15 out.

16 It's a very complicated area and there
17 really -- everybody, you know, every operator that's in
18 there has got a different theory as to how these things got
19 there and how they developed and how the right -- the right
20 method to go about finding them, but it just comes down to
21 what method you have more faith in, and right now the only
22 thing that we have the most faith in is seismic.

23 MR. STOGNER: Okay, I have no
24 further questions of Mr. Mazzullo.

25 Are there any other questions

1 of this witness?

2 MR. HALL: No, sir.

3 MR. STOGNER: He may be ex-
4 cused.

5 Mr. Hall, do you have any-
6 thing further?

7 MR. HALL: No, sir.

8 MR. STOGNER: Does anybody
9 else have anything further in Case Number 9668?

10 We're going to take about a 20
11 to 30 minute break at this time.

12

13 (Hearing concluded.)

14

15

16

17

18

19

20

21

22

23

24

25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

C E R T I F I C A T E

I, SALLY W. BOYD, C. S. R. DO HEREBY CERTIFY that the foregoing Transcript of Hearing before the Oil Conservation Division (Commission) was reported by me; that the said transcript is a full, true and correct record of the hearing, prepared by me to the best of my ability.

Sally W. Boyd CSR

I do hereby certify that the foregoing is a complete record of the proceedings in the Examiner hearing of Case No. 9668 heard by me on 19 May 1989.
Michael C. Stogner, Examiner
Oil Conservation Division