
1 STATE OF NEW MEXICO
2 ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
3 OIL CONSERVATION DIVISION
4 STATE LAND OFFICE BUILDING
5 SANTA FE, NEW MEXICO

6 23 August 1989

7 EXAMINER HEARING

8 IN THE MATTER OF:

9 Application of Conoco, Inc for an un- CASE
10 orthodox oil well location, Lea County, 9728
11 New Mexico.

12 BEFORE: David R. Catanach, Examiner
13
14

15 TRANSCRIPT OF HEARING

16 A P P E A R A N C E S
17

18 For the Division:

19 For Conoco, Inc.:

20 W. Thomas Kellahin
21 Attorney at Law
22 KELLAHIN, KELLAHIN & AUBREY
23 P. O. Box 2265
24 Santa Fe, New Mexico 87504
25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

I N D E X

TIMOTHY L MCGHEE

Direct Examination by Mr. Kellahin	3
Cross Examination by Mr. Catanach	9

HANS SHELINE

Direct Examination by Mr. Kellahin	11
Cross Examination by Mr. Catanach	17
Redirect Examination by Mr. Kellahin	18

E X H I B I T S

Conoco Exhibit One, Plat	5
Conoco Exhibit Two, C-102	6
Conoco Exhibit Three, Plat	7
Conoco Exhibit Four, Return Receipt Cards	8
Conoco Exhibit Five, Structural Map	13
Conoco Exhibit Six, Cross Section	15

1 MR. CATANACH: We'll call the
2 hearing back to order and we'll call Case 9728 at this
3 time. The application of Conoco, Inc., for an unorthodox
4 oil well location, Lea County, New Mexico.

5 Appearances in this case.

6 MR. KELLAHIN: Mr. Examiner,
7 I'm Tom Kellahin of the Santa Fe law firm of Kellahin,
8 Kellahin & Aubrey, appearing on behalf of the applicant and
9 I have two witnesses to be sworn.

10 MR. CATANACH: Any other ap-
11 pearances in this case?

12 Will the two witnesses please
13 stand and be sworn in?

14
15 (Witnesses sworn.)

16
17 TIMOTHY L. MCGHEE,
18 being called as a witness and being duly sworn upon his
19 oath, testified as follows, to-wit:

20
21 DIRECT EXAMINATION

22 BY MR. KELLAHIN:

23 Q Mr. McGhee, Hobbs, New Mexico.

24 Q Mr. McGhee, what -- by whom are you em-
25 ployed and in what capacity?

1 A Conoco, Inc., and I'm a landman.

2 Q Mr. McGhee, on a prior occasion have you
3 testified as a petroleum landman before the Oil Conserva-
4 tion Division?

5 A No.

6 Q Would you take a moment and describe
7 what, if any, educational degrees that you hold that are
8 particularly applicable to petroleum land management?

9 A I have a Bachelor of Science degree in
10 petroleum land management from the University of Michigan.

11 Q In what year did you obtain that degree?

12 A 1982.

13 Q Subsequent to graduation, Mr. McGhee,
14 would you summarize for us what has been your employment
15 experience as a petroleum landman?

16 A I've got seven years experience with two
17 years as an independent, a year and a half with Getty Oil
18 Company and a year and a half with (unclear) Oil Company,
19 and two years with Conoco.

20 Q Pursuant to your employment with Conoco
21 are you familiar with the land title information that
22 applies to the spacing unit and the surrounding spacing
23 units for the subject well?

24 A Yes.

25 MR. KELLAHIN: At this time,

1 Mr. Examiner, we tender Mr. McGhee as an expert petroleum
2 landman.

3 MR. CATANACH: He is so qual-
4 ified.

5 Q Mr. McGhee, let me ask you to take what
6 is marked as Conoco Exhibit Number One, and would you first
7 of all simply identify that display for us?

8 A It's a plat showing Conoco's proposed
9 location, which is located between the Casey Strawn Pool
10 and the Shipp Strawn Pool.

11 Q And how is that well identified on Exhi-
12 bit Number One?

13 A It's identified by a red arrow.

14 Q And how have you shown the outline of
15 the current pool boundary of the Shipp Strawn Pool?

16 A Outlined as a regular pool.

17 Q Okay, and that is the shading in orange?

18 A Yes, sir.

19 Q And that represents the current pool
20 boundary as best you can determine for the production
21 allocated to that pool?

22 A Yes, sir.

23 Q And what is the pool boundary currently
24 for the Casey Strawn Pool?

25 A It's shaded in the green.

1 Q What is Conoco seeking to accomplish
2 with this application, Mr. McGhee?

3 A We would like authority to drill our
4 West Knowles No. 11 at an unorthodox location and under the
5 Undesignated Shipp Strawn Pool.

6 Q What would be a standard well location
7 for either of this pools?

8 A 80-acres.

9 Q That would be the proration unit as-
10 signed to the well, would be an 80-acre tract?

11 A Yes, sir.

12 Q And within the 80-acre tract, then,
13 where would a well have to located to be at a standard well
14 location?

15 A Within 100 foot, 150 foot of the center
16 of the quarter quarter section.

17 Q Are the pools -- pool rules identical
18 for both the Shipp Strawn and the Casey Strawn Pools?

19 A Yes, sir.

20 Q Let's turn to Exhibit Number Two, Mr.
21 McGhee. What have you shown on the Commission Form C-102?

22 A It's the well location for Conoco's pro-
23 posed West Knowles 11 Well.

24 Q And what is the proposed orientation of
25 the 80-acre spacing unit?

1 A It's a laydown 80, south half of the
2 southeast quarter.

3 Q And your proposed location is an unor-
4 thodox location?

5 A Yes, sir, that's correct.

6 Q And what is the unorthodox footage loca-
7 tion?

8 A It's 660 foot from the south line and
9 330 foot from the east line.

10 Q Let's turn to Exhibit Number Three, Mr.
11 McGhee. Did you prepare this exhibit as well as the first
12 two exhibits?

13 A Yes.

14 Q What have you shown on Exhibit Number
15 Three?

16 A It shows Conoco's proposed location,
17 indicated by the red arrow and the offset operators.

18 Q In addition to showing the offsetting
19 operators, what type of wells are identified on the
20 exhibit?

21 Are these Strawn wells?

22 A Yes, sir.

23 Q Do you have any other kind of wells
24 shown on the display other than Strawn wells?

25 A I believe there are some Devonian wells.

1 Q Is it your understanding that you are at
2 least at a standard location with regards to the southern
3 boundary of your spacing unit?

4 A That's correct.

5 Q Who is the operator of the property to
6 the south of your spacing unit?

7 A Amerind.

8 Q When we move to the eastern boundary of
9 your spacing unit, who is the immediately offsetting oper-
10 ator of that spacing unit?

11 A Conoco.

12 Q Are the interest owners in the -- in the
13 proposed spacing unit identical to the working interest
14 owners that would be immediately offsetting this well in
15 Section 35?

16 A Yes, sir, that's correct.

17 Q Have you sent notices to any of the off-
18 set operators, Mr. McGhee?

19 A They've been sent the applicable AFE for
20 this well, this proposed well.

21 Q Let me show you Exhibit Number Four.
22 What is this, sir?

23 A That is our applications that we have
24 sent to the offset operators.

25 Q All right, these are the return receipt

1 cards --

2 A Return receipt cards.

3 Q -- that you received having sent the
4 application to these offset operators?

5 A Yes, sir, that's correct.

6 Q And approximately when did you send
7 those offset operators applications?

8 A Approximately 45 days ago.

9 Q All right, it was more than the 20-day
10 notice rule, then.

11 A Yes, sir. That's correct.

12 Q In response to the notice did you re-
13 ceive any objections from any of the offset operators or
14 working interest owners?

15 A No, sir, none.

16 MR. KELLAHIN: That concludes
17 my examination of Mr. McGhee, Mr. Examiner.

18 We would move the introduction
19 of his Exhibits One through Four.

20 MR. CATANACH: Exhibits One
21 through Four will be admitted as evidence.

22

23

CROSS EXAMINATION

24

BY MR. CATANACH:

25

Q Mr. McGhee, where is BP Exploration's

1 acreage?

2 A They are partners with Pennzoil. It's
3 in Section 3, seen in the north half of the northwest
4 quarter.

5 Q And Union Texas?

6 A Is to the east -- or the west half of
7 Section 34.

8 Q And what did you send these companies,
9 again?

10 A We sent them our application for the --
11 to use for the unorthodox location.

12 Q The same application that was filed in
13 this case or --

14 A The notice.

15 Q You don't have a copy of the letter you
16 sent them, do you?

17 A No, sir, I do not.

18 Q Okay, I've got it in the case file.

19 MR. CATANACH: That's all the
20 questions I have of this witness. He may be excused.

21

22 HANS SHELINE,

23 being called as a witness and being duly sworn upon his
24 oath, testified as follows, to-wit:

25

1 DIRECT EXAMINATION

2 BY MR. KELLAHIN:

3 Q Mr. Sheline, would you identify your-
4 self and tell us where you reside, sir?

5 A Hans Sheline, in Hobbs, New Mexico.

6 Q Mr. Sheline, will you spell your last
7 name for the record?

8 A S-H-E-L-I-N-E.

9 Q Mr. Sheline, how are you employed by
10 Conoco, Inc.?

11 A As an exploration geophysicist.

12 Q Have you on a prior occasion testified
13 before the New Mexico Oil Conservation Division as a geo-
14 physicist?

15 A No.

16 Q Would you give us a brief summary of
17 your educational background, sir?18 A I have a Bachelor's in geology and en-
19 gineering from Dartmouth and a Master of Science in ring
20 geophysics from Scripps Institute of Oceanography.21 Q When did you obtain your degree from
22 Dartmouth?

23 A 1978.

24 Q And your degree from Scripps Institute?

25 A 1981.

1 Q Would you summarize for us what has been
2 your employment experience with regards to either geology
3 or geophysics?

4 A I worked for Los Alamos Scientific Lab
5 for 6 months and for Conoco in various capacities for the
6 last 7-1/2 years.

7 Q What particular function did you per-
8 form for your company with regards to this application for
9 the unorthodox Strawn oil well that's the subject of this
10 hearing?

11 A Interpretation and mapping of the struc-
12 ture and picking the location for the well.

13 Q And this well location is picked based
14 upon your recommendation, sir?

15 A Yes.

16 Q And did you have available to you suffi-
17 cient geologic and geophysical information upon which you
18 could submit an opinion for which you had confidence?

19 A Yes.

20 Q And do Exhibits Five and Six represent
21 your work product?

22 A Yes.

23 MR. KELLAHIN: We tender Mr.
24 Sheline as an expert geophysicist.

25 MR. CATANACH: He is so qual-

1 ified.

2 Q Mr. Sheline, let's take Exhibit Number
3 Five, sir, and would you identify that exhibit for us?

4 A Yes. Exhibit Number Five is a structure
5 map covering 9 square miles, 7 miles southeast of Loving-
6 ton, New Mexico.

7 Q What is the purpose of the well symbols
8 that are identified with the pink dots?

9 A The fluorescent orange dots are high-
10 lighting the dry holes that you see on this map.

11 Q Describe for us the geologic objective
12 that you're trying to produce from by a well drilled at
13 this location.

14 A This is the Strawn formation, which is
15 mainly a stratigraphic play and, as you can see from this
16 structure map, I have located the -- not only the structure
17 which you see gently dipping to the east and you see struc-
18 tural noses there, as well, but you also see identified the
19 core of the carbonate buildups that produce in this area;
20 the black dots, the large black dots being the Strawn pro-
21 ducers; smaller black dots being producers from other for-
22 mations.

23 Q Just to the west of your proposed loca-
24 tion is a black dot that's shown as a Strawn producer?

25 A Now, that's -- that is a Drinkard pro-

1 ducer. It's a smaller black do. That's the West Knowles
2 No. 1. That's 733 feet west of the proposed location, the
3 West Knowles 11 proposed location.

4 Q Can you describe for us the reasons that
5 you as a geophysicist have based your opinion on that you
6 need to have an unorthodox location --

7 A Yes.

8 Q -- to the east of a standard location?

9 A Yes. Also on this map you'll notice the
10 blue lines, which represent the locations of seismic data.
11 You can see that there are five lines that cover the pro-
12 posed location and what's important about these lines is
13 that in addition to the well control that you see on this
14 map, they provide additional structural control and they
15 also identify thickening in the Strawn, which is critical
16 to identify the prospective location.

17 Q Would a well drilled at the closest
18 standard location, which would be 510 from the southern
19 boundary and 510 from the eastern boundary of that spacing
20 unit, would that be at a point that would penetrate the
21 best structural position with the greatest reservoir thick-
22 ness?

23 A No, it would not.

24 Q How does that compare to the proposed
25 unorthodox location of 660 from the south and 330 from the

1 east?

2 A It's very critical to get the location,
3 the subsurface location. as accurately as possible, be-
4 cause these are very discontinuous buildups of porosity in
5 these carbonate buildups, and with this seismic control
6 we've identified what we think is the best location and
7 that is normally a standard location, but because of the
8 special pool rules here, it becomes an unorthodox location,
9 333 feet from the east line.

10 Q Can -- can you approximate for us the
11 distance in terms of structure that you gain by moving to
12 the unorthodox location over the closest standard location?

13 A Could you repeat the question?

14 Q Yes, sir. You said that the unorthodox
15 location is in a better structural position than the stand-
16 ard location.

17 A Yes, not just structural but also, if
18 you want to refer now to Exhibit Number Six, what we're
19 seeing here, as identified also in Figure No. 5 by the
20 letters A and B, A being the West Knowles No. 1 which
21 produces from the Drinkard; the B being the Mesa Alcorn No.
22 1, which was nonproductive in the Strawn, and you see a
23 structural cross section here with the carbonate buildup
24 highlighted underneath the proposed West Knowles 11 loca-
25 tion.

1 So what you see here is a demonstration
2 of why you get these structural noses where you have the
3 carbonate buildup on these -- this regional dip. You see
4 an illustration of the anticipated porosity buildup at the
5 West Knowles No. 11 proposed location and you can see that
6 it's quite critical that you want to locate exactly in the
7 optimum location because it is tricky to get the -- the --
8 as you can see from the number of dry holes in this area,
9 it's very important to get your location exactly where you
10 want it.

11 Q What part does structural position play
12 in formulating your opinion on the best location in the
13 structure?

14 A The structure is important in that it
15 shows where these thickenings occur, where you have, as you
16 look on Exhibit Five, you see these structural noses coin-
17 cide generally with the producers and that the dry holes,
18 in general, are not located on these structural noses,
19 which indicates the thickening in the Strawn and most often
20 you have the porosity development in the thicker Strawn
21 reservoir.

22 Q Will approval of the application that
23 seeks the unorthodox location for this well be one that
24 will allow Conoco to potentially recover Strawn oil that
25 might not otherwise be recoverable?

1 A Yes.

2 Q Do you see any opportunity to gain an
3 unfair advantage over the correlative rights of any of the
4 offset operators if this application is approved?

5 A No.

6 Q And I think you've already told us Ex-
7 hibits Five and Six were prepared by you, were they not?

8 A Yes, they were.

9 MR. KELLAHIN: That concludes
10 my examination of Mr. Sheline.

11 We would move the introduction
12 of his Exhibits Five and Six.

13 MR. CATANACH: Exhibits Five
14 and Six will be admitted as evidence.

15

16 CROSS EXAMINATION

17 BY MR. CATANACH:

18 Q Mr. Sheline, you -- you ran five seismic
19 lines through that area?

20 A We didn't run those lines. We acquired
21 those through spec and seismic trade.

22 Q And has Conoco drilled any of these
23 Strawn wells in the past?

24 A Not as an operator but as a minority
25 participant. We participated in six wells, four of which

1 have been producers.

2 Q The West Knowles Well No. 1 did pene-
3 trate the Strawn, didn't it?

4 A Correct.

5 Q And that was found to have no porosity?

6 A Very limited porosity. If you look just
7 where the porosity is being anticipated in the West Knowles
8 11, you can see hints of porosity in the West Knowles No.
9 1, but that was completed in the Drinkard for 606 barrels
10 of oil a day and was not tested in the Strawn.

11 Q Because of the fact of the porosity?

12 A Very limited porosity development.

13 MR. CATANACH I believe that's
14 all I have of the witness. He may be excused.

15 MR. KELLAHIN: One more ques-
16 tion, Mr. Examiner, if I might.

17

18 REDIRECT EXAMINATION

19 BY MR. KELLAHIN:

20 Q Do you have a geologic preference as to
21 which of the pools this well is dedicated to?

22 A Geologically it makes more sense to put
23 it into the Shipp Strawn Pool.

24 Q And why do you say that, sir?

25 A If you look back at Exhibit Number One,

1 you can see that the Shipp Strawn Pool extends up to the
2 bottom of Section 34, whereas the Casey Strawn is closer to
3 the top of 34, and you can see from the structural nose on
4 Exhibit Five that the overall general structural nose pat-
5 tern extends to northeast up into Section 34.

6 Q With both pools being on identical
7 special pool rules for each of their pools, you don't see
8 any problem in putting this spacing unit in the Shipp
9 Strawn Pool, do you?

10 A None at all. They're identical. There
11 is no operational difference.

12 MR. KELLAHIN: That's all we
13 have, Mr. Examiner.

14 MR. CATANACH: There being
15 nothing further in this case, Case 9728 will be taken under
16 advisement.

17

18 (Hearing concluded.)

19

20

21

22

23

24

25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

C E R T I F I C A T E

I, SALLY W. BOYD, C. S. R. DO HEREBY CERTIFY that the foregoing Transcript of Hearing before the Oil Conservation Division (Commission) was reported by me; that the said transcript is a full, true and correct record of the hearing, prepared by me to the best of my ability.

Sally W. Boyd CSR

I do hereby certify that the foregoing is a complete record of the proceedings in the Examiner hearing of Case No. 9721, heard by me on August 23 1989.

David R. Catanz, Examiner
Oil Conservation Division