

1 STATE OF NEW MEXICO
2 ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
3 OIL CONSERVATION DIVISION
4
5
6

7 EXAMINER HEARING
8

9 IN THE MATTER OF:
10
11

12 Application of Santa Fe Energy Case 9796
13 Operating Partners, L.P., for
14 compulsory pooling and an unorthodox
15 gas well location, Lea County,
16 New Mexico.
17
18

19 TRANSCRIPT OF PROCEEDINGS
20

21 BEFORE: VICTOR T. LYON, EXAMINER
22

23 STATE LAND OFFICE BUILDING

24 SANTA FE, NEW MEXICO

25 November 1, 1989

CUMBRE COURT REPORTING
(505) 984-2244

ORIGINAL

1
2 HEARING EXAMINER: Case 9796.

3 MR. STOVALL: Application of Santa Fe
4 Operating Partners, L.P., for compulsory pooling and
5 an unorthodox gas well location, Lea County,
6 New Mexico.

7 Applicant requests this case be continued
8 to November 15, 1989.

9 HEARING EXAMINER: Case 9796 is continued
10 to the Examiner Hearing on November 15 of 1989.

11
12
13
14
15 I do hereby certify that the foregoing is
16 a correct and true copy of the proceedings in
the Examiner hearing of Case No. 9796,
heard by me on November 1989.

17 1248 Ryan, Examiner
18 Oil Conservation Division
19
20
21
22
23
24
25

1
2 CERTIFICATE OF REPORTER3
4 STATE OF NEW MEXICO)
5) ss.
6 COUNTY OF SANTA FE)7 I, Diana Abeyta, Certified Shorthand
8 Reporter and Notary Public, HEREBY CERTIFY that the
9 foregoing transcript of proceedings before the Oil
10 Conservation Division was reported by me; that I
11 caused my notes to be transcribed under my personal
12 supervision; and that the foregoing is a true and
13 accurate record of the proceedings.14 I FURTHER CERTIFY that I am not a relative
15 or employee of any of the parties or attorneys
16 involved in this matter and that I have no personal
17 interest in the final disposition of this matter.18
19 WITNESS MY HAND AND SEAL January 3, 1990.
2021
22 
23 DIANA ABEYTA
CSR No. 26724 My commission expires: May 7, 1993
25

STATE OF NEW MEXICO
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
OIL CONSERVATION DIVISION

EXAMINER HEARING

IN THE MATTER OF:

Application of Santa Fe Energy Case 9796
Operating Partners, L.P., for
compulsory pooling and an
unorthodox gas well location,
Lea County, New Mexico

TRANSCRIPT OF PROCEEDINGS

BEFORE: DAVID R. CATANACH, EXAMINER

STATE LAND OFFICE BUILDING

SANTA FE, NEW MEXICO

November 15, 1989

ORIGINAL

CUMBRE COURT REPORTING
(505) 984-2244

A P P E A R A N C E S

FOR THE DIVISION: ROBERT G. STOVALL
 Attorney at Law
 Legal Counsel to the Divison
 State Land Office Building
 Santa Fe, New Mexico

1 HEARING EXAMINER: Call Case 9796.

2 MR. STOVALL: Application of Santa Fe
3 Energy Operating Partners, L.P., for compulsory
4 pooling and an unorthodox gas well location, Lea
5 County, New Mexico.

6 Applicant requests this case be continued
7 to November 29, 1989.

8 HEARING EXAMINER: Case 9796 is hereby
9 continued to the November 29 hearing.

10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25


CERTIFICATE OF REPORTER

STATE OF NEW MEXICO)
) ss.
COUNTY OF SANTA FE)

I, Deborah O'Bine, Certified Shorthand Reporter and Notary Public, HEREBY CERTIFY that the foregoing transcript of proceedings before the Oil Conservation Division was reported by me; that I caused my notes to be transcribed under my personal supervision; and that the foregoing is a true and accurate record of the proceedings.

I FURTHER CERTIFY that I am not a relative or employee of any of the parties or attorneys involved in this matter and that I have no personal interest in the final disposition of this matter.

WITNESS MY HAND AND SEAL November 25, 1989.


DEBORAH O'BINE
CSR No. 127

My commission expires: August 10, 1990

1 STATE OF NEW MEXICO
2 ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
3 OIL CONSERVATION DIVISION
4 CASE 9796

5
6 EXAMINER HEARING

7
8 IN THE MATTER OF:

9
10 Application of Santa Fe Energy Operating
11 Partners, L.P., for Compulsory Pooling
12 and an Unorthodox Gas Well Location,
13 Lea County, New Mexico

14
15
16 TRANSCRIPT OF PROCEEDINGS

17
18 BEFORE: MICHAEL E. STOGNER, EXAMINER

19
20 STATE LAND OFFICE BUILDING
21 SANTA FE, NEW MEXICO
22 November 29, 1989

23
24
25 **ORIGINAL**

A P P E A R A N C E S

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

FOR THE DIVISION:

ROBERT G. STOVALL
Attorney at Law
Legal Counsel to the Divison
State Land Office Building
Santa Fe, New Mexico

FOR THE APPLICANT:

No Appearance

I N D E X

1		
2		Page Number
3	Appearances	2
4	Certificate of Reporter	5
5		
6		
7		
8		
9		
10		
11		
12		
13		
14		
15		
16		
17		
18		
19		
20		
21		
22		
23		
24		
25		

1 HEARING EXAMINER: Call next case, Number
2 9796.

3 MR. STOVALL: Application of Santa Fe
4 Energy Operating Partners, L.P., for compulsory
5 pooling and an unorthodox gas well location, Lea
6 County, New Mexico.

7 Applicant requests this case be continued
8 to December 13, 1989.

9 HEARING EXAMINER: Case number 9796 will be
10 so continued.

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1 CERTIFICATE OF REPORTER

2

3 STATE OF NEW MEXICO)
4) ss.
5 COUNTY OF SANTA FE)

6

7 I, Carla Diane Rodriguez Certified

8 Shorthand Reporter and Notary Public, HEREBY CERTIFY

9 that the foregoing transcript of proceedings before


10 the Oil Conservation Division was reported by me; that

11 I caused my notes to be transcribed under my personal
12 supervision; and that the foregoing is a true and
13 accurate record of the proceedings.

14 I FURTHER CERTIFY that I am not a relative
15 or employee of any of the parties or attorneys
16 involved in this matter and that I have no personal
17 interest in the final disposition of this matter.

18 WITNESS MY HAND AND SEAL December 3, 1989.

19


CARLA DIANE RODRIGUEZ
CSR No. 91

20

21

22 My commission expires: May 25, 1991

23

24

25

I do hereby certify that the foregoing is
a complete record of the proceedings in
the Examiner hearing of Case No. 9796,
heard by me on 29 November 19 89.


Examiner
Oil Conservation Division

STATE OF NEW MEXICO
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
OIL CONSERVATION DIVISION

EXAMINER HEARING

IN THE MATTER OF:

Application of Santa Fe Energy
Operating Partners, L.P., for
compulsory pooling and an
unorthodox gas well location,
Lea County, New Mexico

Case 9796

TRANSCRIPT OF PROCEEDINGS

BEFORE: DAVID R. CATANACH, EXAMINER

STATE LAND OFFICE BUILDING

SANTA FE, NEW MEXICO

December 13, 1989

ORIGINAL

A P P E A R A N C E S

1
2
3 FOR THE DIVISION: ROBERT G. STOVALL
4 Attorney at Law
5 Legal Counsel to the Divison
6 State Land Office Building
7 Santa Fe, New Mexico;
8
9 FOR APPLICANT, HINKLE, COX, EATON
10 SANTA FE ENERGY COFFIELD & HENSLEY
11 OPERATING PARTNERS: Attorneys at Law
12 218 Montezuma
13 Santa Fe, New Mexico 87504-2068
14 BY: JAMES G. BRUCE, ESQ.
15
16 FOR MITCHELL ENERGY, KELLAHIN, KELLAHIN & AUBREY
17 MANZANO: Attorneys at Law
18 117 N. Guadalupe
19 Santa Fe, New Mexico 87504
20 BY: W. THOMAS KELLAHIN, ESQ.
21
22 FOR TEXACO, INC.: CAMPBELL & BLACK, P.A.
23 Attorneys at Law
24 Post Office Box 2208
25 Santa Fe, New Mexico 87504
BY: WILLIAM F. CARR, ESQ.

I N D E X

	Page Number
Appearances	2
WITNESSES FOR SANTA FE ENERGY:	
1. PATRICK J. TOWER	
Direct Examination by Mr. Bruce	6
Cross-Examination by Mr. Kellahin	12
Cross-Examination by Mr. Carr	17
Cross-Examination by Hearing Examiner	19
2. JOHN L. THOMA	
Direct Examination by Mr. Bruce	21
Cross-Examination by Mr. Kellahin	29
Cross-Examination by Mr. Carr	47
Redirect Examination by Mr. Bruce	55
3. WILLIAM D. FULTON	
Direct Examination by Mr. Bruce	57
Cross-Examination by Mr. Kellahin	65
Cross-Examination by Mr. Carr	72
Redirect Examination by Mr. Bruce	86
WITNESSES FOR MITCHELL ENERGY AND MANZANO:	
1. TED GAWLOSKI	
Direct Examination by Mr. Kellahin	90
Cross-Examination by Mr. Bruce	109
Cross-Examination by Hearing Examiner	115
2. GREG FRAZIER	
Direct Examination by Mr. Kellahin	116
Cross-Examination by Mr. Bruce	134
Redirect Examination by Mr. Kellahin	144
REBUTTAL FOR SANTA FE ENERGY:	
1. JOHN L. THOMA	
Direct Examination by Mr. Bruce	145
Cross-Examination by Mr. Kellahin	148
Certificate of Reporter	162

1 EXHIBITS FOR SANTA FE ENERGY:

2	Exhibit 1	7
	Exhibit 2	8
3	Exhibit 3	9
	Exhibit 4	11
4	Exhibit 5	22
	Exhibit 6	22
5	Exhibit 7	23
	Exhibit 8	31
6	Exhibit 9	36
	Exhibit 10A	59
7	Exhibit 10B	59
	Exhibit 11	62

8

9

EXHIBITS FOR MITCHELL ENERGY, MANZANO:

10	Exhibit 1	92
11	Exhibit 2	97
	Exhibit 3	99
12	Exhibit 4	101
	Exhibit 5	102
13	Exhibit 6	106
	Exhibit 7	120
14	Exhibit 8	120
	Exhibit 9	122
15	Exhibit 10	123
	Exhibit 11	125
16	Exhibit 12	128
	Exhibit 13	130
17	Exhibit 14	132

18

19

20

21

22

23

24

25

1 HEARING EXAMINER: Call Case 9796.

2 MR. STOVALL: The application of Santa Fe
3 Energy Operating Partners, L.P., for compulsory
4 pooling and an unorthodox gas well location, Lea
5 County, New Mexico.

6 HEARING EXAMINER: Appearances in this
7 case?

8 MR. BRUCE: Mr. Examiner, my name is Jim
9 Bruce from the Hinkle law firm in Albuquerque,
10 representing the applicant, and I have three witnesses
11 to be sworn.

12 HEARING EXAMINER: Other appearances?

13 MR. KELLAHIN: Mr. Examiner, I'm Tom
14 Kellahin of the Santa Fe law firm of Kellahin,
15 Kellahin & Aubrey. I'm appearing on behalf of Manzano
16 Oil Corporation and Mitchell Energy Corporation. I
17 have two witnesses to be sworn.

18 MR. CARR: If it please the Examiner, my
19 name is William F. Carr with the law firm of Campbell
20 & Black, P.A., of Santa Fe. I represent Texaco, Inc.,
21 and I do not intend to call a witness.

22 HEARING EXAMINER: Any other appearances?

23 Can I get all the witnesses to stand and be
24 sworn in at this time?

25 (Witnesses sworn.)

1 MR. BRUCE: I'll first call Mr. Tower to
2 the stand.

3 PATRICK J. TOWER,
4 the witness herein, after having been previously duly
5 sworn upon his oath, was examined and testified as
6 follows:

7 DIRECT EXAMINATION

8 BY MR. BRUCE:

9 Q. Mr. Tower, would you please state your full
10 name and your city of residence.

11 A. My name is Patrick J. Tower, and I reside
12 in Midland, Texas.

13 Q. And who do you work for and in what
14 capacity?

15 A. I work as a landman for Santa Fe Energy
16 Operating Partners, L.P.

17 Q. And have you previously testified before
18 the OCD as a petroleum landman?

19 A. Yes, I have.

20 Q. Are you familiar with the land matters
21 involved in this Case No. 9796?

22 A. Yes, I am.

23 MR. BRUCE: Mr. Examiner, are the witness's
24 credentials acceptable?

25 HEARING EXAMINER: They are.

1 Q. (BY MR. BRUCE) Mr. Tower, would you please
2 state briefly what Santa Fe seeks in this application.

3 A. Santa Fe Energy Operating Partners, L.P.,
4 seeks an order pooling all mineral interests from the
5 surface to the base of the Morrow formation underlying
6 the east half of Section 22, Township 19 South, Range
7 33 East, in Lea County, New Mexico.

8 Santa Fe proposes to drill its Amethyst 22
9 Federal Comm. No. 1 well to test Morrow formation at a
10 depth of approximately 13,800 feet, and will dedicate
11 the east half of Section 22 to the well.

12 Santa Fe also seeks approval to drill the
13 well in an unorthodox location 660 feet from the north
14 and the east lines of Section 22 as to all formations
15 based on 320-acre spacing. Santa Fe requests
16 consideration of the costs of drilling and completing
17 the well, and the allocation of the costs thereof, as
18 well as actual operating costs and charges for
19 supervision.

20 Santa Fe asks that it be designated as the
21 operator of the well and charges for the risk involved
22 in drilling the well be assessed.

23 Q. Would you please refer to Exhibit Number 1
24 and just describe it briefly.

25 A. Exhibit Number 1 is a land plat in red

1 showing the outline of the proposed unit and the
2 proposed well location. Santa Fe, within the
3 proration unit, or the red outline area, controls
4 62-1/2 percent of the interest with Harvey Yates
5 Company; Spiral Company, Inc., and Explorers Petroleum
6 Corporation controlling the other collective 37-1/2
7 percent.

8 Q. Who are the interest owners of Santa Fe
9 seeking to force pool?

10 A. The interest owners are Harvey E. Yates
11 Company, Explorers Petroleum Corporation, and Spiral,
12 Incorporated.

13 Q. Could you please describe your efforts to
14 get those interest owners to join in the well. And I
15 refer you to Exhibit No. 2.

16 A. Yes. Exhibit Number 2 is a letter
17 addressed, collectively, to the three entities being
18 force pooled, dated October 18, 1989, wherein Santa Fe
19 proposed the drilling of this test, submitted an AFE,
20 and also invited to either join or farm out with
21 regard to this well.

22 Subsequent to that, they were notified,
23 about a week before this letter went out, of our
24 plans. We've met twice in Roswell, New Mexico, and
25 have had numerous conversations concerning this matter

1 since the early part of October.

2 Q. And regarding the unorthodox location
3 portion of the application, would you please identify
4 the offset corners or offset operators. And I would
5 ask you to limit it to the north-northeast, at least.

6 A. Okay. I'll point out that we did notify on
7 all sides, both to the west and east. However, to the
8 north in Section 15, the offset owners are in the west
9 half of Section 15; Chevron, in the east half of
10 Section 15; Manzano's the operator of the well with
11 Mitchell, and some other parties involved.

12 To the northeast, Texaco is the offset
13 owner in Section 14; however, we understand there's an
14 option agreement, format agreement to the
15 Mitchell-Manzano group wherein they're required to
16 drill a well or have some form of option there below
17 Seven Rivers.

18 To the east, the operator of that property
19 is Mitchell Energy Corporation among its partners.

20 Q. Please move on to Exhibit No. 3, and
21 describe it for the Examiner.

22 A. Exhibit Number 3 is a generalized well cost
23 estimate, or AFE, for the drilling of Santa Fe's
24 proposed Amethyst well. The total dry hole cost is
25 \$499,079, with a completed well cost of \$890,330.

1 Q. Is this well cost in line with those
2 formerly encountered of drilling wells to this depth
3 in this area?

4 A. Yes, it is.

5 Q. And do you have a recommendation as to the
6 amount which Santa Fe should be paid for supervision
7 and administrative expenses?

8 A. We would request a rate of \$6400 per month
9 drilling well rate, and \$575 per month on a producing
10 well rate.

11 Q. Where is this coming from?

12 A. Primarily, this is from an exploration and
13 drilling agreement that we have involved with Amoco,
14 and these rates are prescribed in that particular
15 agreement.

16 Q. What type of operating agreement do you
17 propose using?

18 A. We propose using the AAPL Model Form 610,
19 1982 form.

20 Q. And what penalty do you recommend against
21 nonconsenting interest owners, as far as the
22 compulsory pooling goes?

23 A. It would be our recommendation that it be
24 cost plus 200 percent, and this is the same rate that
25 we've submitted in the operating agreement to the

1 parties involved.

2 Q. Were Exhibit Nos. 1 through 3 prepared by
3 you, under your direction, or compiled of company
4 records?

5 A. Yes, they were.

6 Q. And, in your opinion, will the granting of
7 this application be in the interest of conservation,
8 prevention of waste, and the protection of correlative
9 rights?

10 A. Yes, it will.

11 MR. BRUCE: Mr. Examiner, at this time, I
12 move the admission of Exhibits 1 through 3.

13 HEARING EXAMINER: Exhibits 1 through 3
14 will be admitted as evidence.

15 MR. BRUCE: I have no further questions of
16 this witness at this time.

17 I would also like to submit as Exhibit No.
18 4, and move its admission, a notice affidavit
19 regarding notice given to the force pooling interest
20 owners and to the offset interest owners regarding
21 this application.

22 HEARING EXAMINER: Exhibit No. 4 will be
23 admitted into evidence.

24 Mr. Kellahin.

25 MR. KELLAHIN: Thank you, Mr. Examiner.

CROSS-EXAMINATION

BY MR. KELLAHIN:

Q. Mr. Tower, do you happen to have a copy of the application that your attorney filed for the compulsory pooling unorthodox location application before the Examiner today?

A. Yes, I do. Right here.

Q. Would you turn with me, sir, to page 2 of that application, and examine with me paragraph 5.

A. (Witness referred to document.)

Okay.

Q. Paragraph 5 says, "The applicant seeks approval to drill a well at an unorthodox location 600 feet from the north line." Is that a typographical error, or is that what you have proposed for the well location?

A. Oh, I'm sorry. The intent of that is 660 feet. I believe that is a typographical error.

Q. The proposed unorthodox location 660 then from the north line and 660 from the east line of Section 22, did you participate as a landman in the formulation of the decision by which to locate a well in this section?

A. To some extent, yes; however, as our geological witness will testify, the predominant

1 consideration was based on the geological and the
2 engineering factors, and primarily the geology.

3 Q. As a landman, did you determine if there
4 were any surface issues that affected or influenced
5 Santa Fe's pick of the location?

6 A. Could you rephrase the question? I'm not
7 sure I understand what you're asking.

8 Q. Yes, sir. As a landman, you would
9 potentially be responsible for determining whether or
10 not there were any surface or topographical
11 restrictions that your company would have to cope with
12 in locating a well within the section, would you not?

13 A. Generally I'm informed about those.
14 However, our drilling engineering and drilling
15 department handles the actual surface inspections and
16 determinations like that on the ground.

17 Q. As a landman, would you be familiar then
18 with whether or not there were any leasehold
19 restrictions on the orientation or spacing of wells or
20 whether or not the agencies that issued those leases
21 placed any restrictions on the location of the wells
22 or the orientation of the spacing?

23 A. Yes, generally, I would be.

24 Q. When I look at the map, it appears that
25 some portion of Section 22 is in fact one or more

1 federal leases; is it not?

2 A. Yes, it is.

3 Q. Was a decision made by your company
4 affected by how the BLM made a judgment for you on the
5 determination of the orientation of that spacing unit?

6 A. I'm not sure I understand. Could you
7 rephrase the question?

8 Q. Within that section, were you required to
9 orient the spacing unit so that it overlay one single
10 governmental lease?

11 A. I think the general ruling or the ruling by
12 the federal government states that when you have one
13 lease, you cannot develop it independently of a
14 separate lease. Then you have some problems other
15 than your geology will allow for some exceptions. But
16 generally they require you to drill it
17 one lease, yes.

18 Q. And was that an issue within Section 22?

19 A. In this case, it's not because we have --
20 Santa Fe -- as to the breakdown of the individual
21 lease in the east half, Section 22, Santa Fe owns 100
22 percent of the record title interest in the northeast
23 quarter and has a contractual right on the northwest
24 quarter of -- the southeast quarter of Section 22.
25 There's an agreement -- through our Amoco agreement,

1 we were assigned the northeast quarter, and,
2 therefore, that lease is basically going to be a
3 segregated lease.

4 Q. I think you've answered my question. Am I
5 clear in understanding that, as a landman, there is
6 not either a topographical reason, as you understand
7 it, or a leasehold issue that has determined where the
8 well is to be located?

9 A. No. The determination is based on the
10 geology.

11 Q. In your response to Mr. Bruce, you
12 indicated that your initial first contact with Harvey
13 Yates and these other parties to be pooled was your
14 letter of October 18, 1989?

15 A. Actually, the first contact was
16 approximately October 10th or somewhere in there. It
17 was prior to the letter being sent.

18 Q. Was it on or before October 10th?

19 A. It was -- I don't recall exactly. It was
20 somewhere around that period of time. I don't know
21 the exact date.

22 Q. My copy of the compulsory pooling
23 application, Mr. Tower, indicates a date stamp of
24 receipt by the Oil Conservation Division of October
25 10, some eight days prior to the letter you sent to

1 Heyco.

2 A. Yes. The letter was hand delivered. When
3 we advised Heyco of this, I had a meeting in Roswell
4 the following week, and we agreed, instead of mailing
5 out the documents, we would just meet personally. I
6 would bring an operating agreement, proposal letter --
7 I believe we faxed an AFE the date we talked, around
8 October 10th, with the follow-up paper to be
9 hand-delivered to be discussed with Heyco in person.

10 Q. Do you have a recommendation on behalf of
11 your company as to the penalty to be assessed against
12 the well at the unorthodox location if the Examiner
13 should approve that language?

14 A. We'll state it in our discussion. We did
15 have a few discussions with Mitchell and the
16 predominant offset owner to the north and the east,
17 and they had expressed concern, said they would
18 contest this. So when we found out those concerns, we
19 offered as a settlement to take penalty on this well.
20 And, without getting into the specifics of the
21 penalty, our engineering witness will testify as to
22 the amount and the calculations and so forth.

23 Q. You do have a proposed penalty to place on
24 the well?

25 A. Yes.

1 Q. And that's the subject of another witness's
2 testimony?

3 A. That is correct. And we basically offered
4 that to Mitchell, and they chose not to accept it.

5 MR. KELLAHIN: Thank you, Mr. Tower.

6 HEARING EXAMINER: Mr. Carr.

7 CROSS-EXAMINATION

8 BY MR. CARR:

9 Q. Mr. Tower, what is the status of Santa Fe's
10 ownership in the northeast quarter of Section 22?

11 A. Okay. We currently -- there's been an
12 assignment filed, but we own -- or Santa Fe Energy
13 Partners owns 100 percent of the record title
14 interest.

15 Q. You have 100 percent of the working
16 interest in that --

17 A. Yes. Northeast quarter.

18 Q. I think, in a response to a question from
19 Mr. Kellahin, you indicated you had, I thought you
20 said, a contractual line in the northwest quarter?

21 A. No, no, no. I was referring to the
22 northwest quarter of the southeast quarter, within the
23 proration units.

24 Q. What is the status of the ownership in the
25 northwest quarter of the section?

1 A. Okay. In the northwest quarter, as well as
2 the balance of the west half, Santa Fe and Amoco
3 jointly own an interest over there. Again, Santa Fe
4 has -- there's an assignment due, it hasn't been
5 filed, on part of it, to Santa Fe from Amoco, with the
6 balance being under a contractual nature under a large
7 agreement with Amoco.

8 Q. Would Santa Fe represent 100 percent of the
9 working interest in the northwest quarter of 22?

10 A. The answer is yes; however, we have a
11 pending deal with Yates Energy, where we have, on a
12 select trade, agreed to let them acquire a percentage.
13 However, that's not been done at this point. It's a
14 verbal trade.

15 Q. Could you have designated the north half of
16 22 to a well in the north half without being required
17 to go to forced pooling?

18 A. If the choice was to lay it down, and,
19 again, the testimony on the technical side will
20 justify why we do not want to do that, but, to answer
21 your question, subject to that, yes, we could.

22 Q. And there is no existing Morrow well at
23 this time in Section 22; is there not?

24 A. No, there is not.

25 MR. CARR: That's all I have. Thank you.

CROSS-EXAMINATION

BY HEARING EXAMINER:

Q. Mr. Tower, can you give me a breakdown of the amount of interest that each of the poolees --

A. Yes. Harvey E. Yates Company will have 31.875 percent. Explorers Petroleum Corporation will have 2.8125 percent. And Spiral, Inc., will have 2.8125 percent, which collectively should add up to 37-1/2 percent.

Q. Those are the only three other interest owners besides Santa Fe in the proration unit?

A. At this time, Yates Energy, the plans are that they will be involved with 12-1/2 percent, and Santa Fe would retain 50; however, that trade's currently pending; so it's our anticipation that Yates Energy Corporation will have 12-1/2 percent taken out of Santa Fe's 62-1/2. We do not seek to force pool Yates Energy.

Q. Do you anticipate an agreement with any of those other three parties at this point?

A. Not at this time. We've discussed it with them, but at this point we have no volunteer agreement.

Q. The agreement that you cited that you had with Amoco as to the overhead rates, can you explain

1 that to me?

2 A. Those are just -- basically, under this
3 contractual agreement with Amoco, those are the set
4 rates in that particular agreement, based on
5 negotiations of Amoco's versus Santa Fe's rates. And
6 I will say that generally we go by Ernst & Whinney,
7 and these may be a little bit higher, but they are
8 normal rates we've seen in certain areas.

9 Q. Do you know what the Ernst & Whinney rates
10 are?

11 A. I believe the Ernst & Whinney would be
12 about \$5500 on our drilling well rate and
13 approximately \$500 -- or \$550, excuse me -- on
14 producing oil rates. Our attempt was to keep those
15 rates in line with the existing contracts in the area;
16 however, we would not be opposed to using Ernst &
17 Whinney rates if the Commission felt that was
18 applicable.

19 Q. Well, there's no contractual agreement
20 concerning the east half, is there?

21 A. Not at this time, no. We have submitted
22 those same rates, the \$6400 and the \$575, to the three
23 parties being force pooled, and, to my knowledge,
24 there was no objection to those rates.

25 HEARING EXAMINER: Mr. Bruce, will your

1 geologic witness go into more detail on the risk
2 penalty?

3 MR. BRUCE: Yes, sir.

4 HEARING EXAMINER: I have no further
5 questions of the witness.

6 MR. BRUCE: Call Mr. Thoma.

7 JOHN THOMA,
8 the witness herein, after having been previously duly
9 sworn upon his oath, was examined and testified as
10 follows:

11 DIRECT EXAMINATION

12 BY MR. BRUCE:

13 Q. Will you please state your full name and
14 city of residence.

15 A. My name is John Thoma, and my residence is
16 in Midland, Texas.

17 Q. Who do you work for and in what capacity?

18 A. I'm a geologist for Santa Fe Energy
19 Operating Partners.

20 Q. Have you previously testified as a
21 geologist before the OCD?

22 A. Yes, I have.

23 Q. And are you familiar with the geological
24 matters involved in Case 9796?

25 A. Yes, I am.

1 MR. BRUCE: Mr. Examiner, are the witness's
2 credentials acceptable?

3 HEARING EXAMINER: They are.

4 Q. (BY MR. BRUCE) Mr. Thoma, I refer you to
5 Exhibit No. 5, and discuss these contents.

6 A. Exhibit No. 5 is a production map for the
7 immediate area surrounding the proposed location in
8 Section 22. The producing wells are color-coded by
9 producing formation. The red wells denote Morrow
10 production, undifferentiated Morrow production; the
11 purple indicates Atoka production; the green, Wolfcamp
12 production; and the orange, Seven Rivers and Delaware
13 production.

14 The two wells of particular interest in
15 this case are the Manzano well, located in the
16 northwest quarter of the southwest -- I'm sorry -- the
17 northeast quarter of the southeast quarter of Section
18 15, and the Mitchell Energy Sapphire Federal well,
19 located in the northwest of the southeast quarter of
20 Section 23.

21 Q. Thank you. Would you please move on to
22 Exhibit No. 6, the cross-section, and discuss this
23 map.

24 A. Exhibit No. 6 is a cross-section which
25 traverses the prospect area, crosses the proposed

1 location, and proves wells on either side as the
2 proposed location, those being the Mitchell Energy
3 Sapphire Federal in 23, the Pan American Laguna Plata
4 Federal No. 1 in Section 22, and the Manzano Wynell
5 Federal in Section 15.

6 The sands, which I will be discussing in a
7 moment, are highlighted on this cross-section. The
8 two sands of particular interest to Santa Fe Energy
9 Operating Partners in this prospect is the Morrow
10 Lower Sapphire Sand, which is highlighted in yellow at
11 the bottom of the map, and the Atoka Wynell Sand,
12 which is highlighted in yellow in the upper portion of
13 the cross-section.

14 The structure map, which I'll be referring
15 to in a moment, was constructed on the middle Morrow
16 marker, which is a dashed line within the Morrow
17 section.

18 Q. Thank you. Would you please move on to
19 Exhibit No. 7.

20 A. Exhibit No. 7 is an isopach map of the
21 Lower Sapphire Sand. What I'm mapping is sand, clean
22 sand within this interval, less than or equal to 60
23 gamma ray units.

24 The interpretation shows a
25 northwest-southeast trending Morrow channel, which

1 crosses through the Sapphire Federal well and runs
2 northwest across the northeast quarter of Section 22.
3 We're interpreting the Morrow sand in this position to
4 be a channel sand deposited in a fluvial environment.

5 Q. Is the Morrow the primary target of Santa
6 Fe's well?

7 A. Yes, it is.

8 Q. What other wells produce from the Morrow or
9 were tested from the Morrow in this area?

10 A. Well, as I mentioned, the Mitchell Energy
11 well is completed within the Morrow. My understanding
12 is that it's completed across several sands, the
13 Wynell Sapphire being one of those.

14 The Laguna Plata Federal No. 1 in Section
15 22 did test, both by drill stem test and through
16 perforations. The Lower Sapphire Sand, however,
17 proved noncommercial and was plugged back and
18 subsequently completed in the Wolfcamp.

19 There is no other production, to my
20 knowledge, from the Sapphire sand, as I have
21 correlated it, in this area.

22 Q. Does the Manzano well in Section 15 produce
23 from the Sapphire sand?

24 A. No, it does not.

25 Q. Please move on to the structure map,

1 Exhibit 3.

2 A. This is a structure map constructed on the
3 middle Morrow marker, and it essentially shows two
4 north-south plunging structural anticlines, one which
5 crosses Sections 14, 23 and 26 on the east side of the
6 mapped area, the other on the west side of the mapped
7 area through Sections 16, 21 and 28. The location, as
8 we have it positioned in Section 22, is the most
9 structurally favorable position along this anticline
10 on Santa Fe Energy leasehold in Section 22.

11 Q. Is there a secondary objective of Santa
12 Fe's well?

13 A. Yes, there is.

14 Q. Would you please refer to Exhibit No. 9,
15 and discuss the secondary objective.

16 A. The secondary objective is the Atoka Wynell
17 Sand, which we interpret as a marine bar sand with a
18 northeast-southwest orientation. Production from this
19 sand to date is limited to the Wynell Federal well,
20 which is located, again, in Section 15. However,
21 prospective production tests through a DST were
22 achieved in the Sun Bright Federal No. 1 in Section
23 21, southwest of the prospect area. They did achieve
24 commercial rates during a drill stem test from the
25 Wynell sands in that well.

1 The location in Section 22 was positioned
2 where it is in the northeast quarter in the Atoka,
3 primarily because in the Laguna Federal well -- I'm
4 sorry -- the Laguna Plata Federal No. 1, while there
5 is four feet of sand in that well, there is no
6 porosity present; therefore, the sand is tight in that
7 well. And it was our desire to distance ourselves
8 from that well, not really having a good feel for how
9 the porosity is distributed around that well.

10 Q. So, to summarize, your opinion is Santa
11 Fe's proposed location is the optimum location for
12 drilling this Morrow test well?

13 A. The optimum location for this test well is
14 in the northeast-northeast of Section 22.

15 Q. Now, regarding the compulsory pooling
16 aspect of this case, do you have an opinion as to the
17 risk penalty which should be assessed against
18 nonconsenting interest operators?

19 A. Yes. I believe that the penalty should be
20 cost plus 200 percent.

21 Q. And on what do you base that?

22 A. On several factors. First, looking at the
23 Morrow, the nearest Morrow production is one mile
24 away, approximately one mile away in the Mitchell
25 Sapphire Federal. And from pressure tests which we've

1 recently received information on from Mitchell,
2 there's a significant pressure draw down in that well
3 which could be interpreted to be indicating a limited
4 reservoir.

5 Based on that and on the fact that there is
6 no other production from that Sapphire sand in this
7 area, we feel that's one reason that the risk in the
8 Morrow is fairly considerable in this area.

9 Two, the Morrow, both to the north, at
10 least in the Sapphire interval, goes to the north end
11 of the south of the proposed location. It's
12 essentially tight. We have sand present in the Wynell
13 Federal and some present in the Laguna Plata well. It
14 has not been proven to be productive and does not
15 appear to be productive in the Wynell Federal from log
16 analysis and in the Laguna Plata well it has been
17 tested and is not productive. It has proven to be not
18 productive in that well also. Also, there is limited
19 well control in Section 22 and in Section 15 and over
20 into Section 21, abutting Santa Fe leasehold from the
21 Morrow, and this adds risk as well.

22 And, finally, the depth of the test, 13,800
23 feet, represents considerable investment of Santa Fe
24 money, and there are, certainly, mechanical risks
25 involved in drilling a well to such a depth. We feel

1 that those factors, within the Morrow itself, lend --
2 well, basically we feel that those factors combined
3 should allow us to -- I'm not making myself very
4 clear. Essentially, we feel that those factors should
5 require a penalty of significant proportion from
6 parties who are interested in this unit.

7 Q. Are there many Atoka wells in this general
8 area?

9 A. From our assessment, there are five
10 producing Atoka wells within a ten-mile radius of this
11 location. Two of those wells appear to be commercial
12 producers. The other two at this point appear to be
13 noncommercial.

14 Q. In your opinion, is the granting of this
15 application in the interest of conservation,
16 prevention of waste, and the protection of correlative
17 rights?

18 A. Yes.

19 Q. And were Exhibits 5 through 9 prepared by
20 you or under your direction?

21 A. Yes, they were.

22 MR. BRUCE: Mr. Examiner, I move the
23 admission of Exhibits 5 through 9.

24 HEARING EXAMINER: Exhibits 5 through 9
25 will be admitted as evidence.

1 MR. BRUCE: Pass the witness.

2 HEARING EXAMINER: Mr. Kellahin.

3 MR. KELLAHIN: Thank you, Mr. Examiner.

4 CROSS-EXAMINATION

5 BY MR. KELLAHIN:

6 Q. Mr. Thoma, I want you to look at Exhibit
7 Number 5, which is the production map. It indicates
8 that you prepared this on about August 31st of this
9 year?

10 A. That is correct.

11 Q. What was the purpose that you prepared the
12 display, sir?

13 A. The display was prepared as part of a
14 regional -- not a production analysis, but we were
15 doing it on all horizons.

16 Q. Is that the same approximate time that you
17 prepared the rest of your displays? I think they're
18 all dated about that time.

19 A. Yes. Actually, let me back up and make a
20 correction. That is why the maps were drafted. The
21 production map actually was prepared probably prior to
22 that. The maps were probably prepared in August,
23 early August, late July.

24 Q. When did you, sir, first begin your
25 investigation and study of the geology for the

1 determination of the location for the well in Section
2 22?

3 A. The actual study of the Morrow in this area
4 that I undertook began probably in August 1987.

5 Q. All right. Look in the area identified in
6 all these displays, am I correct in understanding that
7 Santa Fe Energy does not operate any of the Morrow
8 wells shown on these displays?

9 A. That is correct.

10 Q. Do you have any working interest in any of
11 the Morrow wells shown on these displays?

12 A. No, we do not.

13 Q. Do you have operations or working interests
14 in any of the Atoka producers on the display?

15 A. Not on this display, we do not.

16 Q. In reading the application that was filed
17 in this case, the application, in paragraph No. 5 --
18 and I'll share that with you. This is my only copy,
19 Mr. Thoma. It says, "The applicant seeks approval to
20 drill its Amethyst 22 Federal Comm. No. 1 well at an
21 unorthodox location, 660 from the north, 660 from the
22 east. In order to drill it, the most structurally
23 advantageous position is in an area more likely to
24 intercept the Morrow channel sands and thereby
25 increase the likelihood of obtaining commercial

1 production."

2 A. Correct.

3 Q. Is it your opinion that the structural
4 position of the Morrow channel within Section 22 is
5 the critical geologic factor by which you judge where
6 to locate the well?

7 A. I think it is a critical factor.

8 Q. Are there any other factors expressed in
9 paragraph No. 5?

10 A. I believe so. It says, "In an area more
11 likely to intercept the Morrow channel." The position
12 of the channel is equally important.

13 Q. When you look at the structure map, Mr.
14 Thoma, your Exhibit Number -- I've lost track. I
15 think it's 7? 8? The Morrow structure map, sir?

16 A. Um-hm.

17 Q. Number 8?

18 A. That's correct. That's 8.

19 Q. The method by which you chose to map the
20 structure on the middle Morrow marker, would that be
21 the same way that you would map the structure for
22 looking at what would be the structural position for
23 an Atoka penetration?

24 A. If I interpret your question correctly,
25 you're asking me essentially if this structure map

1 reflects Atoka structure at the Atoka level?

2 Q. Yes, sir.

3 A. I believe that this would very closely
4 reflect structure at the Atoka level, although I have
5 not mapped structure specifically at the Atoka level.

6 Q. When we look at the structure map, one of
7 the predicates to justify the unorthodox location is
8 to gain structure in the Morrow channel; is that not
9 true?

10 A. Yes.

11 Q. When we look at the structure map, your
12 unorthodox location is placed at a midpoint between
13 the -9500 and the -9450 line, I believe. Did I read
14 that right, or is that backwards?

15 A. That's backwards.

16 Q. The heavy dashed line to the west of the
17 well location is a -9500 contour line; is it not?

18 A. Yes. Yes, it is.

19 Q. To the east of the well location is a
20 50-foot contour line which is at -4950; is it not?

21 A. -9450.

22 Q. -9450. Okay. The objection then, or the
23 goal you're seeking to accomplish is to get at a high
24 structural point in the channel; is it not?

25 A. The highest achievable structural point on

1 our leasehold is in Section 22, yes.

2 Q. Maintaining the same structural position as
3 you have with the unorthodox well location, follow
4 that contour down, and can you not maintain the same
5 structural position by going 1,980 from the north line
6 and 660 from the east line of the section?

7 A. Structurally, you could. You are moving
8 closer to a lower well. That is true. Based on this
9 interpretation, you could move south.

10 Q. Look at the Lower Sapphire Sand isopach
11 map. And you'll have to help me again because my
12 copies are not numbered with exhibit numbers.

13 When we look at this Lower Sapphire Sand,
14 Mr. Thoma, that's only a part of the Morrow channel;
15 is it not?

16 A. It is a part of the Morrow complex.

17 Q. Will the isopach map change in any material
18 way if you had used the same criteria that mapped the
19 entire Lower Morrow Sand rather than just select this
20 portion that you've identified as the Sapphire Sand?

21 A. No, it probably would not change
22 appreciably; however -- you know, I really can't
23 answer that question in all fairness because I have
24 not mapped the entire lower section. So, you know,
25 you're asking me to speculate on something on a map

1 which I have not prepared.

2 Q. When we look then on the isopach that you
3 did prepare, I believe the criteria you identified in
4 describing the display was a 60 gamma ray cutoff?

5 A. Yes.

6 Q. Why did you use a gamma ray cutoff as
7 opposed to some porosity cutoff?

8 A. Because generally I've found that a
9 porosity cutoff -- rather, a gamma ray cutoff is more
10 useful in defining the depositional trend of any given
11 sand rather than the porosity.

12 Q. Did you prepare an isopach using a porosity
13 cutoff or value and see how that might be compared to
14 an isopach using the gamma ray cutoff?

15 A. No, but I can tell you based on what I do
16 know about the Sapphire sand in these wells that the
17 Laguna Plata well would be thinner than it is, the
18 Sapphire Federal probably would not change
19 appreciably, and the Wynnell well would probably be
20 thinner than it is at four feet.

21 Q. Would you then look at Exhibit No. 7. We
22 can move that well location south and still stay
23 within the 40-foot or greater thickness contour
24 interval within the display; can we not?

25 A. Correct. Within the clean sand, you can;

1 however, you are moving closer to a well which has
2 close to 20 feet of clean sand which was
3 nonproductive, and you are moving out of the heart of
4 the channel.

5 And it is our opinion that the best Morrow
6 wells and the best porosity development within the
7 Morrow, within any given channel within the Morrow, is
8 located at the heart of the channel. And that is a
9 critical element in choosing this location. You can
10 move it south and still have 40 feet, but (a) you're
11 moving closer to a nonproductive well with low
12 porosities; and (b) you're moving out of the heart of
13 the channel.

14 Q. The well you're moving away from in the
15 southeast quarter of Section 22, what's the well name,
16 please?

17 A. The Pan American Laguna Plata Federal No.
18 1.

19 Q. Have you determined by any method, whether
20 in your assessment or the number of acres that
21 underlie the east half of Section 22 that would be
22 included in the Morrow reservoir?

23 A. We have. That will be addressed by another
24 witness.

25 Q. Did you aid the engineer in preparing the

1 geologic displays by which he can make his volumetric
2 calculations?

3 A. He based them on these interpretations.

4 Q. Which ones?

5 A. On the Exhibit No. 7.

6 Q. No. 7?

7 A. Exhibit No. 7.

8 Q. So the engineering witness's calculations
9 are predicated then upon your geologic interpretations
10 of the Lower Sapphire Sand isopach map? Is that what
11 you gave him to work with?

12 A. That is some of the data that he
13 incorporated into his reserve analysis, yes.

14 Q. Did you also aid the engineer in making an
15 assessment of the reserve potential of the Atoka
16 Wynell Sand?

17 A. Yes.

18 Q. And was your isopach, your Exhibit No. 9,
19 prepared by you and provided to the engineer for the
20 purpose of making those type of calculations?

21 A. Yes.

22 Q. When we look at Exhibit No. 7, which is the
23 isopach of the Lower Sapphire Sands, what in your
24 judgment as a geologist represents the extent of the
25 reservoir within the east half of the section?

1 A. Could you repeat the question, please.

2 Q. Yes, sir. When we look at the east half of
3 the Section 22 on Display 7, that whole east half is
4 not underlaying by the reservoir, is it? You've got a
5 zero line.

6 A. That is correct.

7 Q. If we look at that display and we see at 18
8 feet the Laguna Plata well is not a success, what is
9 your judgment as a geologist about what thickness you
10 need in order to have sand that is going to contribute
11 to a well in the east half of the section?

12 A. Well, all of the sand will contribute to
13 the well. The Laguna Plata had productive rates.
14 That well tested, from my information, at rates of
15 358,000 cubic feet a day. So you will drain reserves
16 from as far out -- you will drain reserves potentially
17 out to that zero line.

18 That may not be correct, assuming certain
19 parameters. We're getting into the areas beyond my
20 expertise. What I can say is that everything I am
21 showing -- the east half of 22 I was having sand
22 thickness -- will contribute, or can potentially
23 contribute production to a given well in the east
24 half.

25 Q. Can we find within the area investigated by

1 you on these displays successful Morrow completions
2 with less than 18 feet of sand?

3 A. There are Morrow completions, not
4 necessarily from the Sapphire sand. There are Morrow
5 completions in this map area, successful Morrow
6 completions from less than 15 feet of sand, yes.

7 Q. In fact, when we look to the west in
8 Section 21, in the northwest quarter of that section,
9 there is a very good Morrow well producing with only
10 15 feet of sand.

11 A. That is producing from a lower Morrow sand,
12 not the same mapped here. That 15 feet is from the
13 Sapphire, and it has not been tested in that zone to
14 date.

15 Q. So an operator can be successful with the
16 Morrow attempt in this immediate area with less than
17 40 feet of sand?

18 A. One can be successful with less than 40
19 feet of sand; however, we are in a situation here
20 where we have a well with 18 feet of sand which is
21 nonproductive. So there may be something peculiar to
22 this particular Morrow deposit which requires greater
23 thickness to achieve a commercial completion.

24 Q. What are the risk assessment parameters
25 used by your company to determine whether or not

1 they're going to drill a prospect through the Atoka or
2 Morrow in southeast New Mexico?

3 MR. KELLAHIN: Mr. Examiner, may the record
4 reflect that Mr. Bruce is taking the opportunity to
5 have an off-the-record discussion with his witness
6 during my cross-examination.

7 MR. BRUCE: I would object insofar as any
8 information that Mr. Thoma's being requested to give
9 may be confidential and privileged information for
10 Santa Fe Energy, and request that he not be required
11 to divulge such information.

12 MR. KELLAHIN: I think it's relevant, Mr.
13 Examiner.

14 MR. STOVALL: Would you like to offer, Mr.
15 Kellahin, the purpose for us?

16 MR. KELLAHIN: Certainly. By way of
17 explanation, Mr. Stovall, I'm interested to know what
18 the geologic factors or criteria are that Mr. Thoma
19 may or may not utilize for assessing the risk, and
20 whether a location is drillable within the section. I
21 want to know what parameters he or any other
22 exploration geologist does to decide that he cannot
23 drill the closest standard location and needs a more
24 unorthodox location from which his own displays
25 demonstrate that it looks like you could drill a

1 standard location. And I want to know what the
2 factors are that make him judge the difference between
3 the magnitude of moving from a standard to an
4 unorthodox location. I think it's a fair, relevant
5 question.

6 MR. STOVALL: Are you asking that as a
7 matter of Santa Fe's company policy, or are you asking
8 it in his professional geological opinion?

9 MR. KELLAHIN: His professional geologic
10 opinion with regards to whether or not they could
11 adequately develop the reserves that underlie this
12 tract at a more conventional standard location. I
13 thought that's what the purpose of his testimony was.
14 I'm testing the competency of the witness. The
15 witness should be allowed to answer that question.

16 THE WITNESS: I don't have a problem
17 answering that question.

18 HEARING EXAMINER: Do you remember the
19 question?

20 THE WITNESS: Yes, I more fully understand
21 the question now.

22 I mentioned previously that one of the
23 important parameters to us in locating and determining
24 whether or not we have a viable Morrow objective at
25 any location is where the part of the channel is

1 that's where we feel the best place to locate the
2 lowest risk place, to locate any given exploratory
3 well. That's where we've located here. In addition,
4 we've located it in a structurally -- in as
5 advantageous a position as we could locate or find on
6 our lease. The two coincide -- those two facts or
7 elements coincide or come together in the
8 northeast-northeast.

9 Q. (BY MR. KELLAHIN) I understand. It's a
10 question of degree, Mr. Thoma. I understand what your
11 position is, that you want to be at the structurally
12 highest or most advantageous position at the greatest
13 thickness.

14 My question is: Quantify for me the degree
15 of change in structure and thickness between the
16 closest standard location and the unorthodox location,
17 and tell me why your company won't drill the closest
18 standard location.

19 A. The closest standard location would put us
20 at a position of less than 40 feet, approximately less
21 than 40 feet of sand, out of the heart of the channel.

22 What happens when you get out of the heart
23 of the channel, if you look at the cross-section, you
24 move from sand development such as you have in the
25 Mitchell Energy Sapphire No. 1 where you have

1 excellent porosity development and a very thick, clean
2 sand. You have essentially 30-plus feet of continuous
3 porosity within the Morrow.

4 Moving over to the Pan American well, you
5 can see you have clean sand, but it's broken up into
6 stringers. You're essentially looking at overbank
7 deposits within the Morrow.

8 So while the thickness may be roughly the
9 same, when you step out of the channel, the center of
10 the channel, you move from channel center deposits
11 into overbank deposits. And the difference is that
12 rather than having one continuous, thick, porous
13 reservoir, you have a series of stacked thinner, lower
14 quality reservoirs.

15 That's the primary reason for wanting to
16 locate it in the heart of the channel, as I have it
17 now, rather than moving it itself and compromising
18 what looks to be very little numerically, or
19 quantitatively. Qualitatively, it could be a
20 significant difference.

21 Q. I'm correct, then, in understanding your
22 Exhibit 8 and Exhibit 7, that you could move to a
23 standard location, still maintain the same structural
24 relationship, and that the trade-off is that you might
25 be at 30 feet of thickness or greater, as opposed to

1 being at 40 feet of thickness or greater?

2 A. In terms of thickness, that's correct, but,
3 again, I have the site that you are moving out of the
4 center of the channel.

5 Q. And your controls, your geologic control
6 for determining your interpretation of the location of
7 the center of that channel is predicated on the
8 information available from the Manzano well in Section
9 15 and the Laguna Plata well in Section 22, plus the
10 additional well in 23?

11 A. Plus the Mitchell Sapphire well, that's
12 correct.

13 Q. Now, you will agree with me that the
14 disciplines of your profession are not going to give
15 you the degree of accuracy that you subscribe to the
16 display?

17 A. No, I would never argue that. But what I
18 can say is that every time I recommend a location, I
19 put forward what I believe to be the best
20 interpretation that I can give the area based on my
21 understanding. And that's what I'm presenting here.

22 We drill and place our wells based on that
23 analysis. Certainly there is a wide range of
24 interpretations.

25 Q. And based on these interpretations, you and

1 other geologists sometimes successfully drill
2 commercial wells and sometimes drill dry holes?

3 A. That's correct.

4 Q. When we look at the structure map now, the
5 basis or the data upon which you have constructed the
6 structure map is the subsurface geologic information
7 from an examination of the logs?

8 A. Yes.

9 Q. Did you integrate or utilize any seismic
10 information to help you refine or define the
11 structure?

12 A. No, we have not.

13 Q. When we look at Exhibit No. 9, this is the
14 isopach on the Atoka Wynell sand? Can you tell me,
15 sir, whether or not you would have a materially
16 different isopach if you had mapped the entire Atoka
17 interval as opposed to confining your examination to
18 this Wynell sand?

19 A. I cannot tell you what an isopach of the
20 entire Atoka interval would look like.

21 Q. Isn't this Atoka potential the real primary
22 objective for the well as opposed to the Morrow, Mr.
23 Thoma?

24 A. No.

25 Q. The unorthodox well location moves closer

1 to the only Atoka producer in the immediate vicinity;
2 does it not?

3 A. Yes, it does. But if the Atoka was the
4 primary objective, we could have avoided this whole
5 process by going with a lay-down, and our drainage
6 would not be -- we would be draining approximately the
7 same area. And we may get into this later. This is,
8 again, beyond my area of expertise. But we might, in
9 fact, be draining --

10 Q. Well, let me suggest that you don't testify
11 beyond your expertise about drainage.

12 A. All right.

13 Q. When we look at the four feet of thickness
14 on this isopach in Exhibit No. 9 attributable to the
15 Laguna Plata well --

16 A. Yes.

17 Q. -- was that tested in this Atoka Wynell
18 sand?

19 A. No, it was not.

20 Q. The operator chose to abandon that without
21 even testing it?

22 A. That's correct. That's correct. Log
23 analysis indicates that the zone is tight.

24 Q. What is your judgment as a geologist about
25 the number of net thickness that you need in this

1 Wynell sand to make a commercial well out of the
2 Atoka?

3 A. Clearly, eight feet is a reasonable number.
4 The Wynell well appears at present, to our knowledge,
5 to be a commercial Atoka producer.

6 Q. Do you, Mr. Thoma, have a recommendation as
7 a geologist about a penalty factor to assess against
8 the well that you propose to locate in Section 22?

9 A. Yes. I believe I already testified to
10 that.

11 Q. I have confused you. The penalty was the
12 risk factor penalty in a pooling case. My question,
13 sir, is with regards to the unorthodox nature of the
14 well, being 660 from the north line as opposed to
15 1,980. Did you participate in formulating an opinion
16 or a conclusion with regards to any potential risk
17 factor penalty -- I'm sorry -- location penalty?

18 A. That was essentially left up to the
19 engineer.

20 Q. Help me understand the process by which you
21 assist the engineer in preparing the type of geologic
22 display that he needs to conduct his work to determine
23 the amount of reserves in place underlying a tract.
24 What do you give him?

25 A. He used the isopach map before you, Exhibit

1 9.

2 Q. Exhibit No. 9, if I understand correctly,
3 is an isopach that has not incorporated --

4 A. Let me back up. I prefer to beg out of
5 this because he will go into all this and explain how
6 he made his calculations and what the basis was. He
7 will answer these questions.

8 Q. I want to know your participation though.
9 Why did you not give the engineer a net pay porosity
10 map from which he can conduct his calculations?

11 A. No particular reason. No particular
12 reason.

13 Q. But you did not give him a net pay porosity
14 map?

15 A. No, I did not give him a net pay porosity
16 map.

17 MR. KELLAHIN: No further questions.

18 CROSS-EXAMINATION

19 BY MR. CARR:

20 Q. Mr. Thoma, I have just a couple of
21 questions. I'll try not to repeat anything that Mr.
22 Kellahin has covered.

23 If I've understood your testimony, your
24 isopachs, your structure map were based on well
25 control information; is that correct?

1 A. Correct.

2 Q. And you didn't have the benefit of seismic
3 to integrate into these plats; is that right?

4 A. Yes, sir.

5 Q. If we take a look at the isopach on the
6 Wynell sand, which is your Exhibit No. 9, could you
7 tell me what you intend to show by the area that you
8 have shaded in yellow?

9 A. What am I showing?

10 Q. Yes.

11 A. You mean with the color?

12 Q. Yes.

13 A. Simply that that is the thickest
14 anticipated development of the Wynell sand in that
15 area.

16 Q. And then the area that is shaded in orange
17 shows what?

18 A. It's not showing anything specifically
19 geologic. It's simply to show the pattern of the
20 channel and where the depositional axis is. The
21 yellow would show essentially the axis.

22 Q. And if I understood your testimony, it was
23 your opinion that anything within your zero line on
24 the isopach map could contribute production to a well
25 at the proposed location?

1 A. That's right. That's correct.

2 Q. If I look at where you've placed your
3 10-foot contour on Exhibit No. 9, what data were you
4 using in placing that 10-foot contour?

5 A. License. Geologic license.

6 Q. And you were --

7 A. Let me back up. Regional mapping in the
8 area suggests and does indicate that this particular
9 sand develops upwards of 15 to 20 feet thickness, or
10 can. The way I've mapped this shows a considerable
11 area for potential additional development of the sand
12 between the Wynell and the Laguna Plata. And based on
13 that, I added one additional contour which there is
14 not specific justification, well control justification
15 for.

16 Q. And so this is just basically your
17 interpretation based on the, I guess, log information
18 on the Laguna Plata well in 22, and, I guess, really
19 no other information until you get up to the well in
20 15; is that right?

21 A. That's correct.

22 Q. When I look at your placement of the zero
23 line, if we look at it as it goes across the southern
24 or the southeast quarter of Section 10, again, what
25 data have you utilized in placing that where you did?

1 A. The zero?

2 Q. Yes.

3 A. Available well control.

4 Q. Which would be the well in --

5 A. The Sapphire Federal, Section 23.

6 Q. In 23?

7 A. Correct.

8 Q. Is there any particular reason that when
9 you pull the zero line, you take it almost to the
10 Sapphire well in 23, instead of more or less splitting
11 the difference between that and the nearest well that
12 shows the formation?

13 A. There is no particular reason, no.

14 Q. Would it be just as reasonable to pull that
15 back, say, perhaps halfway between that and the Laguna
16 Plata well?

17 A. Sure.

18 Q. And if you did that, there would be less
19 reservoir, would there not, under the southeast
20 quarter of 22 that would contribute production to your
21 proposed well?

22 A. No, there really wouldn't be.

23 Q. If you moved your zero line?

24 A. Honestly, if you moved the zero line --
25 because I've made several different interpretations on

1 this -- if you move the zero line off of that Sapphire
2 well, you really don't appreciably change the drainage
3 area in Section 22.

4 Q. And so you would leave the zero line in 22
5 where you place it, no matter how you honor the data
6 on the well in 23; is that what you are saying?

7 A. Essentially. You could move that well to
8 the northwest in 23, but you just affect the drainage
9 area in 23, primarily because of the four feet in the
10 Laguna Plata well.

11 Q. When you talk about the Laguna Plata well
12 as being nonproductive, you mean that it is
13 noncommercial; isn't that what you mean?

14 A. As far as I know, it is, yes. It is
15 nonproductive, noncommercial. It wasn't tested; so I
16 don't know that you can say it's noncommercial. It's
17 nonproductive.

18 Q. Do you believe there would be reserves
19 though that could in fact be produced by the well at
20 the proposed location; isn't that right?

21 A. There could be, yes.

22 Q. When did you tell Mr. Kellahin you
23 initially started studying this area?

24 A. In August of 87.

25 Q. And prior to the preparation of these

1 particular isopach maps, did you prepare other maps on
2 the area, or were these the first isopach maps that
3 you prepared?

4 A. I'm not quite sure what you're asking me.
5 We prepared other maps on the area.

6 Q. Or did your earlier interpretation --

7 A. Oh, I see. On the Atoka Wynell in this
8 area, the Wynell sand, no. This sand -- this map was
9 probably the first interpretation in this area.

10 Q. What about the Lower Sapphire Sand? Did
11 you make earlier interpretations of this?

12 A. Yes.

13 Q. Did you bring them with you?

14 A. No.

15 Q. If I look at just the maps that you've
16 prepared, if we look now at the isopach of the Lower
17 Sapphire Sand, generally the southeastern portion of
18 the southeast quarter of 22 could not be expected to
19 contribute reserves to a well for a proposed location;
20 isn't that right?

21 A. From the southwest of the southeast?

22 Q. Yes.

23 A. That's correct.

24 Q. If you had proposed a lay-down unit, you
25 would have the southwest of the northeast that

1 wouldn't be contributing based on this interpretation;
2 isn't that correct?

3 A. Could you repeat the question?

4 Q. I'm sorry. If you have a lay-down in the
5 north half, the southwest of the northwest wouldn't be
6 contributing, would it?

7 A. Not from the Sapphire sand, no.

8 Q. If we look at the Atoka, however, if you
9 had a lay-down unit in the north half, the entire
10 proration unit could be expected to contribute
11 reserves to the proposed well?

12 A. Yes.

13 Q. I believe you testified that the location
14 was necessary to enable you to best drain your lease.
15 Is that a correct statement of your position?

16 A. In the Morrow, yes.

17 Q. Would that also apply to the Atoka-Wynell
18 sand?

19 A. To my knowledge, yes.

20 Q. By moving to this location that best
21 enabled you to drain your lease, you're also locating
22 in the well that enables you to better drain the
23 reservoir on lands that are not covered by your lease;
24 isn't that also correct?

25 A. I'm answering questions here that really

1 are not in my realm of expertise. I'm answering. I'm
2 going through and answering them, but I'm thinking I
3 really shouldn't be answering these questions.

4 Q. Well, do you have an opinion as to whether
5 or not this location better enables you to drain your
6 lease?

7 A. I believe that this location best enables
8 us to drain our lease in the Morrow, which is the
9 primary objective.

10 Q. And then let me shift my next question a
11 little and ask you if it doesn't better enable you to
12 drain the reservoir?

13 A. I'm sorry?

14 Q. Doesn't this location better enable you to
15 drain the reservoir as well as just your lease?

16 HEARING EXAMINER: You're asking about the
17 Morrow?

18 Q. (BY MR. CARR) Yes. We'll say first the
19 Morrow.

20 A. Yes. Overall, it will.

21 Q. And it better enables you to drain the
22 Atoka too -- the Wynell sand; isn't that correct, by
23 moving to this location?

24 A. In the Atoka it really doesn't matter if
25 you're comparing between this exceptional location or

1 an unorthodox location on a lay-down location. If
2 you're comparing it between the unorthodox location
3 and the orthodox stand-up location, the location where
4 we have it better enables us to drain --

5 Q. The reservoir?

6 A. -- the Atoka reservoir.

7 Q. And as you have mapped the reservoir, the
8 substantial portions of the reservoir -- as you have
9 mapped it in the Atoka, it extends to the south half
10 of Section 15; isn't that correct?

11 A. Yes, it does.

12 Q. And by moving to this location then you're
13 better able to drain reserves from the south half of
14 Section 15 as well as your own tract; isn't that
15 correct?

16 A. Yes, but there will be testimony presented
17 later on that will attempt to quantify this fact.

18 Q. And by moving to the unorthodox location in
19 the Morrow, you also are better able to drain reserves
20 from the Morrow from the south half of 15; isn't that
21 also correct?

22 A. To the extent that they may exist there.

23 MR. CARR: That's all I have.

24 HEARING EXAMINER: Redirect?

25 REDIRECT EXAMINATION

1 BY MR. BRUCE:

2 Q. Mr. Thoma, Mr. Kellahin asked you a couple
3 questions about Santa Fe Morrow wells in this area.
4 Overall in southeast New Mexico how many Morrow wells
5 has Santa Fe drilled or participated in since 1983?

6 MR. KELLAHIN: Objection. Irrelevant.

7 MR. BRUCE: Apparently, before he was
8 questioning Santa Fe's capability in platting and
9 drilling Morrow wells.

10 HEARING EXAMINER: Go ahead, Mr. Bruce.

11 THE WITNESS: Santa Fe has drilled
12 approximately 51 Morrow wells in southeast New Mexico
13 in this area.

14 Q. (BY MR. BRUCE) And Santa Fe drills these
15 wells in large part based upon the recommendations of
16 its geologist; does it not?

17 A. Yes, it does.

18 Q. Looking at any one of the plats, what is
19 the approximate distance between the Manzano-Mitchell
20 Wynell well and Santa Fe's proposed location?

21 A. The approximate distance would be 2,000 to
22 2,100 feet.

23 Q. Isn't it true that if you look at Section
24 14 -- refer to Exhibit No. 9. If someone desired to
25 drill a west half stand up form or west half stand-up

1 unit in the west half of Section 14, they could drill
2 an offset well to the Manzano well, which would only
3 be approximately a quarter of a mile away from the
4 Manzano well?

5 A. Yes.

6 Q. One thing I do want to clarify on Exhibit
7 9, is it correct, in response to Mr. Carr's
8 questioning, that based upon your mapping of the
9 Atoka, there are several other locations for the Atoka
10 in the north half of Section 22 that are just as
11 favorable, maybe even more favorable than Santa Fe's
12 proposed location?

13 A. Yes.

14 MR. BRUCE: I have nothing further, Mr.
15 Examiner.

16 HEARING EXAMINER: I have no questions of
17 the witness. He may be excused.

18 MR. BRUCE: I call Mr. Fulton to the stand.

19 WILLIAM D. FULTON,
20 the witness herein, after having been previously duly
21 sworn upon his oath, was examined and testified as
22 follows:

23 DIRECT EXAMINATION

24 BY MR. BRUCE:

25 Q. Would you please state your full name and

1 city of residence, please.

2 A. My name is William D. Fulton, and I reside
3 in Midland, Texas.

4 Q. And who do you work for and in what
5 capacity?

6 A. I work for Santa Fe Energy Operating
7 Partners, L.P., and I'm a reservoir engineer.

8 Q. And have you previously testified before
9 the OCD as a reservoir engineer?

10 A. No, I have not.

11 Q. Would you please outline your educational
12 and work experience.

13 A. Yes. I graduated in 1980 from Texas Tech
14 University with a Bachelor of Science degree in
15 petroleum engineering. I worked originally for Petrol
16 U.S. Corporation for six-and-a-half years, through
17 February of 87. I then went to work for Hondo Oil and
18 Gas Company in Roswell, New Mexico. I was there
19 approximately two-and-a-half years. I've been with
20 Santa Fe since the first of October.

21 Q. Does your area of responsibility include
22 southeast New Mexico?

23 A. Yes, it does.

24 Q. And are you familiar with the engineering
25 matters involved in Case 9796?

1 A. Yes, I am.

2 MR. BRUCE: Mr. Examiner, are the witness's
3 credentials acceptable?

4 HEARING EXAMINER: They are.

5 Q. (BY MR. BRUCE) Mr. Fulton, would you first
6 please outline your opinion, before we get into the
7 figures in the exhibits -- please outline your opinion
8 as to any penalty which Santa Fe may recommend on the
9 unorthodox location?

10 A. Yes. We feel, first, in the Morrow
11 formation that since there is no production, current
12 production offsetting us to the north nor to the
13 northeast, we feel no allowable penalties should be
14 issued. We further feel that an orthodox location as
15 a stand-up would drain more acreage in Section 23 than
16 our unorthodox location.

17 Q. And as to the Atoka, what is your opinion?

18 A. The Atoka, by various methods that we have
19 calculated, which I'll go into later, we feel an
20 equitable penalty would be in the range of 18 to 29
21 percent.

22 Q. Would you please now refer to Exhibits 10A
23 and 10B, and just briefly discuss them for the
24 Examiner.

25 A. Exhibit 10A is a blown-up portion of a land

1 plat with wells and proposed locations spotted on it.
2 You can see the Wynnell Federal No. 1, which is an
3 Atoka producing well, in Section 15. In Section 22
4 you see our proposed unorthodox location
5 northeast-northeast of that section. You also see a
6 legal stand-up location in the southeast of the
7 northeast in Section 22. And Sapphire Federal No. 1,
8 which is a Morrow producing well operated by Mitchell
9 in Section 23.

10 The purpose of the illustration is to show
11 the acreage based on theoretical radial drainage, 320
12 acres, with a radius of 2,106 feet. The acreage that
13 would be drained by the proposed unorthodox location
14 over and above what is permitted at the legal
15 location. And this would be in either formation.

16 What we have done is then gone into Exhibit
17 10B as a calculation of an allowable factor based on a
18 double circle method which has been used in previous
19 Commission hearings. Among other orders, Order No.
20 R-7952 was used to calculate identically to the way
21 that their allowable penalty was calculated.

22 Would you like for me to go ahead and go
23 through those?

24 Q. Yes. Just briefly outline what that
25 penalty is.

1 Q. Okay. That penalty comes out to 29 percent
2 or an allowable factor, which would be a production
3 limitation of 71 percent. It's based on three
4 factors. The first factor being an east footage
5 factor, and that factor as it relates to a production
6 limitation, not a penalty, but an allowable or
7 production limit that is allowed, that factor is one,
8 because we are not unorthodox with respect to the east
9 line.

10 The north footage factor is 0.33 or
11 one-third, and that is arrived at by saying that if
12 the proposed unorthodox location is two-thirds closer
13 to the lease line to the north than a legal location
14 would be, the acreage encroachment factor is
15 calculated by taking the area outside of the proration
16 unit that is drained by the unorthodox location over
17 and above what is permitted at a legal location. And
18 that factor would be 109 acres, shaded in the tan,
19 minus the 43 acres shaded in yellow. That acreage is
20 66 acres. And subtracting that from 320 acres gives
21 254 acres or approximately 79 percent of the
22 theoretical drainage lying within the area permitted.
23 Those factors added up and divided by three, giving
24 each one equal weight, gives the allowable factor of
25 71 percent or an allowable penalty of 29 percent.

1 Q. Have you made some alternate calculations
2 on penalties on Atoka production for this year?

3 A. Yes, we have.

4 Q. And are they based on assuming that radial
5 drainage would appear?

6 A. That's right. We feel it's an acceptable
7 theory. It's the basis for pressure transient
8 analysis, and, in this case, with the availability of
9 data that we have it's the best theory that we have to
10 use.

11 Q. Would you please refer to Exhibit No. 11
12 and discuss your proposed penalty on Santa Fe's
13 unorthodox location as to the Atoka formation.

14 A. Another way to calculate this is by drawing
15 the theoretical radial drainage areas for all of the
16 affected wells. The Wynell Federal No. 1 was used.
17 It is the only producing Atoka well in this immediate
18 area.

19 Our proposed unorthodox location is again
20 shown in its radial drainage area as well as a legal
21 location being, again, southeast quarter of the
22 northeast quarter of Section 22.

23 The overlap between the Wynell Federal No.
24 1 and our proposed unorthodox location totally lies
25 outside the area of the permitted legal location.

1 That area, when it was planimetered, came out to be 59
2 acres.

3 Q. And for that 59 acres you're talking about
4 that football shaped area between the circles of
5 overlap between the Wynell and Santa Fe as well?

6 A. That's correct. Extending from Section 15
7 even into Section 14. The other portion -- well, that
8 59 acres divided by, again, a theoretical radial
9 drainage area of 320 acres would yield a penalty in
10 the neighborhood of 18.4 percent.

11 Q. Okay. Assuming the Wynell existed and also
12 there was a well in Section 14, what do your
13 calculations come up with?

14 A. There is no well in Section 14, but
15 assuming a well was drilled in Section 14 at a legal
16 location 1,980 from the west line, 660 from the south
17 line, again using the radial drainage theory on 320
18 acres, the total acreage, incorporating the Wynell
19 overlap, the football shape with the acreage line
20 outside of the permitted proration unit or the
21 permitted legal location is in total 91 acres. And
22 that would be the entire shaded portion minus a very
23 thin football-shaped piece lying within the area
24 permitted by legal location.

25 Q. Why did you choose for a Section 14 well a

1 well located 1,980 from the west line and 660 from the
2 south line?

3 A. Well, there were two reasons in doing that.
4 The first would be that if the -- with no spacing
5 already dictated for Section 14, that unit could be
6 either a stand-up or lay-down -- there would be three
7 possible locations.

8 A location in the northwest of the
9 southwest quarter would only be 1,320 feet from the
10 Wynell Federal and would encroach heavily upon its
11 production. We didn't feel that that was a likely
12 case.

13 The most likely case we felt was -- and,
14 also, I might add, the hardest case as far as a
15 calculation of allowable penalty would be 1,980 from
16 the west line and 660 from the east line.

17 Q. Do you mean least favorable to Santa Fe?

18 A. Least favorable to Santa Fe.

19 Q. Okay. So you are recommending a penalty
20 from 18-1/2 to 29 or so percent on the Atoka; is that
21 correct?

22 A. Right. That 91 acres, I might say, is
23 divided, again, by 320 acres, and would yield a
24 penalty of approximately 28.4 percent. So we're still
25 within the range of the 18 to 29 percent.

1 Q. And in your opinion should the penalty be
2 based upon the well's deliverability?

3 A. Yes, it should.

4 Q. And, in your opinion, would the draining of
5 this application with the penalty you have recommended
6 be in the interest of conservation, and the prevention
7 of waste, and the protection of correlative rights?

8 A. Yes, it would.

9 Q. And were Exhibits 10A and 10B and 11
10 prepared by you?

11 A. Yes, they were.

12 MR. BRUCE: Mr. Examiner, I move the
13 admission of Exhibits 10A, 10B and 11.

14 HEARING EXAMINER: 10A, 10B and 11 will be
15 admitted as evidence.

16 MR. BRUCE: I pass the witness.

17 CROSS-EXAMINATION

18 BY MR. KELLAHIN:

19 Q. Mr. Fulton, you've explained to the
20 Examiner your recommendation that the unorthodox
21 location of your well with regards to the Morrow
22 should not be penalized because there is an absence of
23 a producing Morrow well in either 15 or 14. Was that
24 your testimony?

25 A. That is correct.

1 Q. And is that your position?

2 A. In an adjacent proration?

3 Q. Yes, sir.

4 A. Yes.

5 Q. Can you give me an example of any prior
6 Commission decision by either the Commission or the
7 Division in which they have chosen not to penalize a
8 well because there was an absence of a producing well
9 as you have described?

10 A. I cannot.

11 Q. When we look at Mr. Thoma's Exhibit No. 7,
12 which is his isopach of the Morrow -- and let me share
13 one of those with you, sir -- when you look at Exhibit
14 7, is there any doubt in your mind as a reservoir
15 engineer that in fact the Morrow with a thickness of
16 at least 40 feet extends up into Section 15?

17 A. No, I believe it does show that it does
18 extend into Section 15.

19 Q. Have you examined the information available
20 for the Wynell Federal No. 1 well to determine whether
21 or not it has production potential within the Morrow
22 interval in that well?

23 A. I have only seen the CNL-FDC log that is on
24 the cross-section in the Wynell well.

25 Q. And that log shows sufficient potential

1 that it ought to be perforated at some point prior to
2 the operator abandoning that well; is that not true?

3 A. I would have to look at it. In the lower
4 Morrow Sapphire sand, porosity is approximately 8
5 percent over four feet of clay. Probably would be a
6 completion attempt at some point down the road, yes,
7 sir.

8 Q. When I look at your Exhibit 10B, it says
9 double circle method, but in fact this is the formula
10 to some extent utilized by the Division when they
11 entered that Pennzoil order you cited to, which was
12 7951, I think, was the number.

13 A. 7952.

14 Q. 7952. That's where you got the proposed
15 method of calculating this penalty shown on Exhibit
16 10B?

17 A. Um-hm.

18 Q. When we look at Exhibit 10A -- do you have
19 that before you, sir, your Exhibit 10A?

20 A. Yes, I do.

21 Q. In coming up with the acreage encroachment
22 factor, the 66 acres, am I correct in understanding
23 you took the 109 acres in brown, subtracted the 43
24 acres in yellow, and got the 66 acres?

25 A. That's correct.

1 Q. They didn't do that in the Pennzoil order,
2 did they?

3 A. Based on the amount -- based on what we had
4 and going back and trying to recalculate, it appears
5 that they did.

6 Q. The Pennzoil order took the scribed circle
7 for a 320-acre area, the 2,106-feet radius, scribed
8 the circle around the closest standard location, then
9 took that same radius, put the point at the unorthodox
10 location, and scribed a second circle; did it not?

11 A. We didn't feel that that's what it did,
12 only because we didn't have all the data from
13 Pennzoil. We had the order and the wording of the
14 order itself, but I did not see exactly how that was
15 done.

16 Q. Did you examine the transcript or any of
17 the exhibits presented in that case?

18 A. Not the transcript, just the final orders.

19 Q. If we use your proposed 29 percent penalty,
20 Mr. Fulton, and I look on your Exhibit No. 10A, what
21 will that do to the drainage pattern of your well if
22 your location is approved with the 29 percent on your
23 producing rate? What's going to happen to the
24 drainage rates?

25 A. Well, if a penalty is assigned to it --

1 again, you still have to go with the radial drainage
2 theory -- it would make the drainage radius smaller to
3 the north side because we're in a competitive
4 situation with the Wynell.

5 Q. Have you attempted to quantify the volume
6 of gas reserves that would be reduced with a penalty
7 of 29 percent?

8 A. No, sir. That cannot be done unless you
9 know what rate at which the well is capable of
10 producing.

11 Q. If you presumed a competitive rate with the
12 Wynell Federal No. 1 well, and used that as a basis
13 for projecting the rate for the unorthodox location
14 well, you could make a calculation like that; could
15 you not?

16 A. Yes, you can.

17 Q. Have you attempted to calculate the no flow
18 boundary that would exist between the two properties?

19 A. No.

20 Q. Have you attempted to quantify the volume
21 of gas in place in the east half of Section 22 for the
22 Morrow formation?

23 A. For the Morrow formation?

24 Q. Yes, sir.

25 A. No, I've not done that.

1 Q. Have you attempted to quantify
2 volumetrically the volume of gas in place for the
3 Atoka formation in the east half of 22?

4 A. No, because we did not have the data to
5 arrive at a volume in either the Morrow or the Atoka.

6 I will say, especially in the Morrow
7 formation, I think you will find that other factors
8 that cannot be represented volumetrically appear in
9 this reservoir similar to the pressure buildup that
10 was run on the Sapphire well. That particular well,
11 if you used 43 feet of net pay in a volumetric
12 calculation, would probably yield quite a bit greater
13 volumetric recovery than it will actually achieve,
14 knowing what kind of pressure drawn-down it has over
15 the relatively short period of production.

16 Q. What is this well going to cost? What does
17 a completed well cost like this?

18 A. I believe \$890,000.

19 Q. What's your assessment of the volume of gas
20 that you need to produce in order to make this well
21 economic?

22 A. Volume of total gas would be somewhere in
23 the neighborhood of 1.2 Bcf, more than likely.

24 Q. Do you have an opinion as a reservoir
25 engineer whether or not your ability to recover that

1 volume of gas would materially change if you moved to
2 a standard location?

3 A. Volumetrically?

4 Q. You tell me, Mr. Fulton.

5 A. Okay. If you bring in -- moving to a
6 standard location south, it would appear that you
7 would be moving closer to the Laguna Plata well. In
8 the Morrow we feel that's a detriment because there is
9 no porosity in the -- or very little porosity in the
10 Morrow in the Laguna Plata well. That would greatly
11 affect the amount of reserves that you could produce
12 in the Morrow.

13 Q. Have you attempted to quantify for the
14 Morrow production the difference in volume of gas
15 produced between a well at the proposed unorthodox
16 location and the closest standard location?

17 A. No, we have not.

18 Q. Have you attempted to do that for the
19 Atoka?

20 A. No, we have not. That would be because we
21 don't have all the available data to make that
22 determination.

23 Q. Do you have anything available to you to
24 tell you that the presumed or assumed drainage radius
25 of 2,106 feet for 320 gas spacing is other than

1 appropriate?

2 A. No, I do not.

3 Q. The presumption that we need to make with
4 the current available data is that a well, regardless
5 of where it is located, is going to be presumed to be
6 able to drain unless limited by the reservoir some
7 2,000 feet?

8 A. Based on radial drainage, that's the only
9 assumption you can make.

10 MR. KELLAHIN: Thank you.

11 (Thereupon, a recess was taken.)

12 HEARING EXAMINER: Call the hearing back to
13 order, and turn it over to Mr. Carr.

14 CROSS-EXAMINATION

15 BY MR. CARR:

16 Q. Mr. Fulton, did you review the geological
17 presentations prepared by Mr. Thoma?

18 A. Yes, I have.

19 Q. If I look at your Exhibit No. 10A and
20 compare that to Mr. Thoma's Exhibit No. 7, which is
21 his isopach on the Morrow, when I compare the area
22 that is shaded brown on Exhibit A, that's the
23 additional drainage area that is gained by moving a
24 well to the proposed unorthodox location; isn't that
25 correct?

1 A. That's correct.

2 Q. And if I compare that to Exhibit No. 7, it
3 appears to me that all the areas shaded in brown on
4 10A would lie over acreage that is shaded either
5 yellow or orange on Mr. Thoma's map; is that correct?

6 A. Yes, I believe that would be right.

7 Q. So is it fair to say that all of that
8 additional drainage area is actually based on the
9 geological data available to you underlain by
10 commercial or lands that could contribute Morrow
11 production to the well at the unorthodox location?

12 A. If I understand your question right, that
13 was not a determining factor in how we drew the
14 circle.

15 Q. But if we go the other direction and look
16 at the circle and go back to your geology, the
17 additional drainage area includes acreage, all of
18 which you would reasonably expect to be productive in
19 the Morrow?

20 A. That's correct, to different degrees, yes.

21 Q. And you are suggesting that there should be
22 no penalty in the Morrow because there is no
23 offsetting Morrow production to the north and the
24 northeast; is that correct?

25 A. We are not currently affecting any Morrow

1 production. And the Wynell well, if it is in fact
2 spaced on the north half, is the location at which
3 they would currently most logically complete that zone
4 at some point in time.

5 Q. But my question is this: You are
6 recommending no penalty on the Morrow; isn't that
7 correct?

8 A. That's correct.

9 Q. And it is because you're not affecting, as
10 you stated, any Morrow production to the north or the
11 northeast, because there is none at this time?

12 A. That is a portion of the reason, yes.

13 Q. And if we look at Exhibit No. 7, you would
14 agree with me, however, that there are Morrow reserves
15 under the tracts to the north and the northeast?

16 A. According to the map, yes.

17 Q. And this is the map prepared by your
18 geologist; correct?

19 A. That's correct.

20 Q. Do you have any reason to think this isn't
21 accurate?

22 A. No, I have not.

23 Q. All right. And if we go to your Exhibit
24 No. 10A, we can see that all of the additional
25 drainage area you have mapped that is in a 320-acre

1 radius would be productive at the Morrow based on the
2 data you have presented?

3 A. Please repeat the question.

4 Q. Well, all of the area shaded brown is
5 productive in the Morrow; right?

6 A. Is potentially productive in the Morrow.

7 Q. And, based on your geology, should have
8 Morrow reserves under it?

9 A. Yes. Whether or not they would be
10 produced from the Wynell well or not is a question I
11 can't answer.

12 Q. But whether or not they would be produced
13 from the well that you're proposing, if it drains 320
14 acres, you would assume it would produce from the well
15 at the unorthodox location; isn't that right?

16 A. Yes.

17 Q. And you're not suggesting that the reserves
18 are not there on the offsetting tract, are you?

19 A. No, I'm not suggesting that.

20 Q. And you're not suggesting that you could
21 produce any of those reserves in the area shaded brown
22 on 10A with a well at a standard location, are you?

23 A. No, we're not.

24 Q. And so by moving to this unorthodox
25 location in the Morrow, you are producing the reserves

1 under the area shaded brown, and those are reserves
2 owned by somebody else; isn't that right?

3 A. That is correct.

4 A. And they are reserves that you couldn't
5 produce if you were at a standard location; isn't that
6 right?

7 A. That's correct.

8 Q. And so you are gaining advantage on the
9 offsetting operator by being able to produce those
10 reserves; isn't that correct?

11 A. That is correct.

12 Q. And yet you think no penalty should be
13 applied?

14 A. That's correct.

15 Q. How have you integrated Mr. Thoma's geology
16 into your calculations? At all?

17 A. No we haven't.

18 Q. And so if I understood your answer to Mr.
19 Kellahin, you have not made any volumetric
20 calculations to determine what reserves could be
21 produced from a well at a standard location in Section
22 22 as opposed to the reserves that would be produced
23 by a well at the unorthodox location in 22. Was that
24 what you told Mr. Kellahin?

25 A. Yes, it was. And we have no data. You

1 don't know that until you get a well.

2 Q. You won't know what?

3 A. You won't know what volumetric reserves
4 will be produced from either location until you drill
5 the well and find out what your porosity and your
6 saturation is going to be.

7 Q. And so you can't even estimate based on the
8 information available to you what reserves could be
9 produced if you integrate this geology into your
10 engineering study, and determine what you ought to be
11 able to produce from a well at the unorthodox location
12 as contrasted with a well at the standard location?

13 A. If you make some assumptions, yes, you can.

14 Q. And as an engineer, when you evaluate
15 prospects, haven't you been called on periodically to
16 make assumptions concerning wells that have not yet
17 been drilled into reservoirs?

18 A. Yes.

19 Q. And you've made assumptions about
20 temperature, haven't you, on occasion, and factors
21 like that? Well, in this case you have the logs,
22 don't you, on the wells in the area?

23 A. Yes.

24 Q. You have pressure data, do you not?

25 A. We only have pressure data on the Sapphire

1 well.

2 Q. And you have an isopach map?

3 A. Yes, we do.

4 Q. From this, using standard engineering
5 assumptions, couldn't you make some volumetric
6 calculations that would tell you what the reserves
7 might be produced from a well at the proposed
8 unorthodox location?

9 A. You could, but you'd have to have porosity.
10 That's the one missing factor that you do not have.

11 Q. And you cannot come up with any information
12 you have available a porosity figure?

13 A. Not at that location. You can make some
14 assumptions again, but not at that location.

15 Q. And in your experience as a petroleum
16 engineer, have you, in making volumetric calculations
17 in the past, made porosity assumptions?

18 A. Yes.

19 Q. And you could have done that here; could
20 you not? But you did not do that?

21 A. We did not do that.

22 Q. And so you don't have volumetric
23 calculations on the well that would show you in fact
24 what you estimate it might be able to produce in terms
25 of volume figures?

1 A. Not in front of me, no, sir.

2 Q. Now, I'd like to take a look at Exhibit No.
3 11. And I've got to tell you going in I don't
4 understand it, I don't think. Mr. Kellahin doesn't
5 think I understand it.

6 If you drilled a well at a standard
7 location 1,980 feet from the north line of Section 22
8 and 660 feet from the east line of 22, that would be a
9 well located in the center of the lowermost circle on
10 Exhibit No. 11; is that correct?

11 A. Correct.

12 Q. Okay.

13 A. It's the same circle on Exhibit 10A.

14 Q. Okay. And that circle includes, if I
15 understand this, the acreage that would be 320 acres,
16 and you're assuming radial drainage; is that right?

17 A. That's correct.

18 Q. And then we go to the well to the north,
19 the circle due north of that, and it is centered
20 around the proposed location?

21 A. That's correct.

22 Q. And it again includes 320 acres?

23 A. That's right.

24 Q. If the well is drilled at a standard
25 location, that circle goes off the proration unit;

1 isn't that correct?

2 A. Slightly, yes, sir.

3 Q. Slightly to the north. If you go to the
4 one at the unorthodox location, it goes off the
5 proration unit to the north substantially more?

6 A. Yes, sir.

7 Q. The area you shaded brown on this exhibit,
8 is that the area upon which a penalty should be based?
9 I don't understand the area shaded brown. What is
10 that designed to show?

11 A. There are two things, as I've previously
12 said, that the portion of the acreage shaded in brown,
13 being just the point at which -- or just the area at
14 which the circle around the Wynell and the orthodox --
15 or the unorthodox location, which is shaped in the
16 form of a football, is roughly 59 acres. The
17 remaining acreage outside of the lowermost circle at a
18 legal location is -- well, you have that circle at the
19 legal location and that is -- you're permitted that to
20 drain off of your lease line at a legal location under
21 the rules and regulations of the State of New Mexico.

22 You also have a portion of the area shaded
23 in brown, which is an overlap between that permitted
24 area and a theoretical circle if a well were drilled
25 at an orthodox location in Section 14. Subtracting --

1 the total area in brown is 104 acres, and subtracting
2 off the area overlapped from the legal location in
3 Section 22 and the legal potential location in 14, you
4 arrive at 91 acres.

5 Q. The 104-acre number that is set forth in
6 this brown area down in the southeast of 14, does that
7 include all of the acreage that is shaded brown on
8 this exhibit?

9 A. Yes, it does.

10 Q. How are you utilizing that 104-acre figure
11 in computing a penalty?

12 A. I'm not.

13 Q. At all?

14 A. Not at all. I'm taking roughly 14 -- 13.5
15 acres from -- that is the overlap, again, between the
16 legal location of 22 and a proposed or a potential
17 legal location in 14. That overlap is 13-1/2 acres.
18 Taking that out, that is the area -- that's the only
19 area that is affected by the unorthodox location over
20 and above what's allowed at a legal location that
21 overlaps the two theoretical circles from the Wynell
22 and the potential location in 14.

23 Q. Tell me what significance these theoretical
24 circles around the Wynell and the proposed unorthodox
25 location have.

1 A. Well, if you assume radial drainage, and
2 you assume that each well is going to drain 320 acres,
3 as is the prescribed proration unit for both zones,
4 the overlap of those circles would be the encroachment
5 that our well at an unorthodox location would affect
6 one well that is currently producing and one well
7 which may be drilled at some point in time. But I
8 stress maybe. It's not there yet.

9 Q. Then take me to the next step. Translate
10 that into a penalty. Did you use any of this
11 information in projecting a penalty?

12 A. Yes. That 91 acres, which is the 104 acres
13 minus 13-1/2 acres divided by 320 acres, yields a 28
14 percent penalty.

15 Q. And so my confusion is coming from how we
16 handle the small area that is football-shaped coming
17 right off the corner where 14, 15, 22 and 23 meet.

18 A. That's right.

19 Q. So you use the 91-acre figure in computing
20 the penalty?

21 A. That's correct.

22 Q. So, in other words, if we go into the
23 southeast of 15, there is an area that is within the
24 circle around the proposed location that is not shaded
25 in brown. It is the south half of the south half,

1 A. Well, it would be applied against or as an
2 allowable penalty that would be calculated as a
3 penalty on deliverability of the well.

4 Q. And so you're recommending that the penalty
5 be assessed against the deliverability test?

6 A. That's correct.

7 Q. And how often do you think the
8 deliverability test should in fact be taken on the
9 well?

10 A. I think once every six months is
11 reasonable. That was what was ordered in the 7952.

12 Q. Have you made any kind of calculations or
13 estimates as to what sort of deliverability you would
14 anticipate from a well at this location?

15 A. No, we -- again, if -- you have to make
16 assumptions. If you make the assumption that it's
17 exactly like the Wynell well, they tested rates up to
18 6.4 million on a four-point test.

19 Q. And if you utilize that and apply your
20 recommended penalty, do you have any estimate as to
21 what sort of a producing rate you're looking at based
22 on your recommendation to the Examiner?

23 A. Well, 20 percent of 6.4, or 80 percent of
24 6.4 million is going to be roughly 5 million. These
25 aren't exact figures. And 30 percent, roughly, of 6.4

1 probably, of the southeast, and it is a nonshaded
2 piece. You are not suggesting that any penalty factor
3 should be attributed to that acreage which is not
4 shaded brown; is that right?

5 A. This is only used as another method. That
6 is saying that based on a 320-acre radial drainage,
7 the Wynell will not drain that acreage either.

8 Q. And yet you are not suggesting, are you,
9 that -- again, we're getting back sort of to the
10 questions that I had on 10A -- that there are reserves
11 under that area that isn't shaded brown?

12 A. No, I'm not suggesting that at all.

13 Q. And that those are reserves that you are
14 able to produce only by virtue of the fact that you're
15 in an unorthodox location?

16 A. That is correct. But, again, they will not
17 be produced from the Wynell well either.

18 Q. But those are reserves that you can now
19 produce off of your neighbor's tract by moving to the
20 unorthodox location?

21 A. Yes.

22 Q. You, Mr. Fulton, are recommending a
23 penalty, and the question I have is against what do
24 you propose this penalty be applied? How does it
25 work?

1 million -- I guess 70 percent of 6.4 million is going
2 to be 4.3 million.

3 Q. If we look at the geology on the Morrow
4 formation, if the geology is correct, don't you expect
5 a substantially better well at the proposed unorthodox
6 location than the Wynell well?

7 A. Than the Wynell well?

8 Q. Isn't that the one you were comparing it
9 to? Wouldn't you expect a substantially better well
10 at this location if in fact the geology is correct?

11 A. Yes.

12 Q. And the same would apply in the Atoka,
13 would it not, if we look at the geology that's been
14 made available on the Atoka?

15 A. It would depend on -- like the Morrow, it
16 would depend on the porosity, permeability, things
17 like that.

18 Q. But if we look at just the isopach and
19 nothing else, it would suggest that the proposed
20 location will be better than the Wynell well; isn't
21 that fair?

22 A. In referring to the map, yes, sir.

23 Q. Have you attempted to calculate or estimate
24 what sort of a producing rate you would need to be
25 able to produce the 1.2 Bcf you said was necessary to

1 justify the well?

2 A. If the well were drilled, and it were --
3 logs came in, for instance, similar to the Wynnell
4 well, you could produce 1.2 Bcf with a rate of
5 probably 2 million a day.

6 Q. And in what period of time would you get to
7 that?

8 A. I'd hate to speculate on that. It would be
9 something over seven years, I would imagine, based on
10 like declines of other wells in the area. We have no
11 data on the Wynnell well; so it's hard for me to say
12 what --

13 MR. CARR: All right. I have nothing
14 further.

15 HEARING EXAMINER: Anything further, Mr.
16 Bruce?

17 MR. BRUCE: I have a few follow-up
18 questions.

19 REDIRECT EXAMINATION

20 BY MR. BRUCE:

21 Q. Mr. Kellahin asked you a few questions
22 based on Order R-7952 and the double circle method.
23 Are you basing your penalty recommendation on that
24 method?

25 A. It was just one of the methods that we used

1 to base the penalty. It just gave us a range of
2 penalties.

3 Q. And if you added in, and I forget the exact
4 figures, 40-some acres to the factor used in that
5 order, what would be the net effect on the penalty
6 using that method?

7 A. Well, moving to a legal location, a closest
8 legal location with a stand-up proration unit in
9 Section 15, without a planimeter I couldn't tell you
10 what that would be, but I would think if the entire
11 football is 59 acres -- excuse me, not the football,
12 but the area bounded in Section 15 is 66 acres --
13 moving 330 feet south to the closest legal location,
14 if a well were to be drilled there, it might recover
15 another 40 acres or see an additional 40 acres
16 encroachment. And that, when put back into the
17 penalty, I don't think would affect the penalty by
18 more than 4 percent. Now, that's just speculation.
19 But I don't think it would have a tremendous effect,
20 because that's just one of three factors used in
21 calculating that number.

22 Q. For this particular situation for this
23 well, in your opinion, is volumetrics the only tool to
24 use?

25 A. No. Volumetrics is certainly one of them,

1 provided you are comfortable with all the data you
2 have. The decline curve analysis of wells in the area
3 can also be used to do a statistical calculation of
4 what you feel those reserves might be if you base it
5 purely on statistics.

6 Q. Can you get erroneous results by using
7 volumetrics, for instance, the presence of a limited
8 reservoir?

9 A. Sure, you can, because it doesn't take into
10 account all of the factors unless you're able to
11 determine where your boundaries are from your pressure
12 buildup data.

13 Q. Are there other instances of limited Morrow
14 reservoirs in Lea County or Eddy County?

15 A. Yes.

16 Q. Mr. Kellahin also asked you about the
17 Morrow in the Wynell well. Can you tell from the log
18 whether there's gas saturation in the Morrow in the
19 Wynell?

20 A. In the Morrow formation?

21 Q. Morrow.

22 A. You see no gas effect on the CNL-FDC log
23 such as you have in the Sapphire well. You see
24 indications of porosities, but you don't see the gas
25 effect that you see, for instance, in the Sapphire

1 well. It may also mean that -- it could potentially
2 mean that you would have a -- change even.

3 Q. Mr. Kellahin and Mr. Carr were both
4 basically trying to get you to say that an unorthodox
5 location would only harm the offset operators. Now,
6 there's no well either at Atoka or Morrow in this
7 Section 14, is there?

8 A. No, that's correct.

9 Q. There's no Atoka or Morrow well in the west
10 half of Section 23, is there?

11 A. That's correct.

12 Q. So if Santa Fe drills a successful well
13 either in the Atoka or the Morrow at its location, it
14 will, in effect, help prove up that acreage on it?

15 A. Yes, it will.

16 MR. BRUCE: I have nothing further, Mr.
17 Examiner.

18 HEARING EXAMINER: Witness may be excused.

19 MR. KELLAHIN: Gentlemen, on behalf of
20 Mitchell Energy Corporation and Manzano Oil
21 Corporation, I'd like to call Mr. Ted Gawloski, who
22 spells his last name G-a-w-l-o-s-k-i. Mr. Gawloski is
23 an exploration petroleum geologist.

24 TED GAWLOSKI,
25 the witness herein, after having been previously sworn

1 upon his oath, was examined and testified as follows:

2 DIRECT EXAMINATION

3 BY MR. KELLAHIN:

4 Q. Mr. Gawloski, for the record, would you
5 please state your name and occupation.

6 A. My name is Ted Gawloski. I'm a petroleum
7 geologist for Mitchell Energy.

8 Q. Would you give us some of your background
9 and describe when and where you obtained your various
10 degrees in geology.

11 A. Yes, sir. I obtained my B.S. degree in
12 geology in 1978 from Baylor University, and a master's
13 degree in geology in 1981, also from Baylor
14 University.

15 Q. Subsequent to graduation, Mr. Gawloski,
16 would you describe for us what has been your
17 employment experience as a geologist?

18 A. I worked three-and-a-half years for Amoco
19 Production Company, and then I've been employed for
20 Mitchell Energy for a little over five years.

21 Q. During that period of employment with
22 Mitchell Energy, would you describe for us what has
23 been your personal involvement with exploring for and
24 drilling wells into the Atoka and Morrow formations in
25 Lea County, New Mexico?

1 A. For the entire time that I've been working
2 at Mitchell Energy, I have been working Lea County and
3 the Atoka and the Morrow and the other horizons in
4 that area.

5 Q. When we look with you at the specific
6 geologic displays that you have prepared today, what
7 was the source of the information utilized for those
8 displays?

9 A. We used all available log data in here to
10 construct the structure maps and the isopachs. In
11 addition to that, in the structure maps we used
12 seismic that we had available. I believe there's
13 seven lines of seismic that we have on the structure
14 map that we used.

15 Q. Is this a geologic interpretation or
16 investigation that you commenced after recognizing
17 that Santa Fe was seeking an unorthodox well location
18 in Section 22?

19 A. No, sir. For the past couple of years, our
20 management has been working, specifically working on a
21 regional Morrow, Atoka Morrow study in Lea County, and
22 this is actually part of that regional study. In
23 fact, the Sapphire well was drilled using this data
24 that we have here.

25 Q. When we look at the Sapphire Mitchell well

1 in Section 23, that's the one you're discussing?

2 A. Yes, sir.

3 Q. That was drilled based upon your
4 recommendations as a geologist, was it not, sir?

5 A. That's correct.

6 Q. Did your company or any other company drill
7 any other prospects to the Atoka or Morrow formation
8 in this area described on your Exhibit No. 1 in which
9 you have recommendations about the well location?

10 A. Yes, sir. The Manzano Wynell Federal No.
11 1, which Mitchell has a majority interest in, was
12 participated in by Mitchell Energy under my
13 recommendation.

14 Q. Let's look at Exhibit No. 1. Is this a
15 geologic display that you have prepared based upon
16 your file of interpretation of geology in this general
17 area?

18 A. Yes, it is.

19 Q. And based upon your study, have you reached
20 certain conclusions and recommendations to the
21 Examiner that apply to this particular application?

22 A. Yes, I have.

23 MR. KELLAHIN: At this time, Mr. Examiner,
24 we tender Mr. Gawloski as an expert petroleum
25 geologist.

1 HEARING EXAMINER: He is so qualified.

2 Q. (BY MR. KELLAHIN) Let me have you take a
3 moment, sir, and take Exhibit No. 1 and identify it
4 for us.

5 A. Exhibit Number 1 is a structure map that
6 was constructed on the top of the Morrow formation and
7 in and around the East Gem Field area.

8 Q. When we look at the display and we see the
9 area that's shaded in the yellow hatch lines, what
10 does that represent?

11 A. That represents Mitchell Energy's leasehold
12 interest in the area.

13 Q. The area identified by the green outline is
14 the spacing unit that Santa Fe's seeking for this
15 well?

16 A. That's correct.

17 Q. You have a line of cross-section. What's
18 the purpose of the cross-section line that you have
19 shown on the display?

20 A. The cross-section will give a graphical
21 representation of this structure map and the isopach
22 maps that will be the geological exhibits.

23 Q. On this display in the southwest corner of
24 Section 14, there is this fluorescent orange arrow.
25 Do you see that?

1 A. Yes, sir.

2 Q. What does that represent?

3 A. That is a proposed Atoka Morrow well that
4 Mitchell Manzano has staked, and we will currently be
5 drilling before the end of the month.

6 Q. Mr. Gawloski, have you had an opportunity
7 to review Mr. Thoma's geologic presentation?

8 A. Yes, I have.

9 Q. You saw his displays?

10 A. Yes, sir.

11 Q. You heard his testimony?

12 A. Yes, sir.

13 Q. Do you agree with him?

14 A. No, sir.

15 Q. If you look at his geologic interpretation,
16 would you drill the well you propose to drill in the
17 southwest quarter of Section 14?

18 A. No, sir.

19 Q. What do you conclude from looking at his
20 exhibits about the prospects for a well in the south
21 half of 14?

22 A. It would be pretty scary. It did not show
23 any sand in the Morrow, maybe just a little in the
24 Atoka, and a poor structural position.

25 Q. How many dry holes have been drilled in

1 this area based upon your geologic recommendations,
2 Mr. Gawloski?

3 A. None.

4 Q. And your company proposes to go ahead and
5 drill, based upon your geology, the well in the south
6 half of 14?

7 A. Yes, sir.

8 Q. When we look at the structure map, what
9 importance is it to you in determining whether or not
10 there is a viable, standard location in the east half
11 of 22 from which to penetrate and test the Morrow
12 channel?

13 A. From this exhibit here, it would show that
14 there are two orthodox locations located in the
15 northwest quarter of Section 22 that will be in a more
16 structurally favorable position than the proposed
17 unorthodox location located in the northeast-northeast
18 of Section 22.

19 Q. Your structural interpretation is
20 significantly different than Mr. Thoma's; is it not?

21 A. Yes, sir, it is.

22 Q. One of Mr. Thoma's criteria was to gain
23 structural position in the Morrow channel; was it not?

24 A. Yes, sir.

25 Q. Well, why is your map so different than

1 his?

2 A. One of the reasons is that we used a lot of
3 seismic structural information in here, which we have
4 closely tied into the well control.

5 Q. Show me in a general way how you did that.

6 A. Well, what we would do -- in one of the
7 examples with our well in Section 23, we ran a sonic
8 log and constructed a synthetic that we tied into our
9 seismic logs -- I mean seismic lines, to help us
10 interpret these and closely tie in with the other
11 wells in the area.

12 Q. Are you satisfied as a geologist, Mr.
13 Gawloski, that you have sufficient seismic information
14 by which to help define and refine the presence of
15 structures in the Morrow in this immediate area?

16 A. Yes, sir.

17 Q. To what extent have you confirmed then the
18 accuracy of the seismic data with well information
19 other than the well in Section 23?

20 A. We use all the available wells in here, and
21 there's a well in Section 35, which we also have a
22 synthetic constructed on that, which has been tied
23 into the seismic as well, and the well in Section 13.

24 For your information, those are the wells
25 that have the triangles around them. Those are wells

1 that we have synthetics on that we've tied into the
2 seismic.

3 Q. One of Mr. Thoma's geologic justifications
4 for his requested unorthodox location is that he
5 wanted to maximize his location and thickness within
6 the Morrow channel. Have you also mapped the Morrow
7 channel?

8 A. Yes, sir.

9 Q. Let's turn to Exhibit No. 2. Would you
10 identify that for me, please.

11 A. Yes, sir. This is a net sand isopach of a
12 Morrow "C" sand, what has also been phrased as the
13 Lower Morrow in this area. We're using a density
14 porosity of 7 percent.

15 Q. Mr. Thoma also mapped for us a portion of
16 the Lower Morrow sand which he identified as that
17 Sapphire sand?

18 A. That would be part of the next exhibit;
19 that would be the Morrow "B."

20 Q. So when we look at Morrow "C," that's
21 mapping a Morrow sand that Mr. Thoma did not map on
22 his isopach?

23 A. That's correct.

24 Q. Show me the significance to you of your
25 mapping of the Morrow "C" sand on Exhibit No. 2.

1 A. One of the first things that you see is all
2 the wells there with the blue dots on them are Morrow
3 "C" producers. They produce out of sands in that
4 lower part of the Morrow; so there's significant
5 production from that particular zone in this area.
6 And it's one of the zones that we actually look for in
7 this area and is one of the zones that we perforated
8 in our Sapphire Federal No. 1 well.

9 Q. If you're looking for that as one of the
10 primary producing Morrow sands in the area, what does
11 that tell you about locating a well in the east half
12 of Section 22?

13 A. It shows that I would rather be in the west
14 half of Section 22 to match my potential in this
15 Morrow "C" horizon.

16 Q. Looking within a context though of the east
17 half of 22, where would you place your well?

18 A. In an orthodox location, 1,980 from the
19 north and 1,980 from the east.

20 Q. Why would you do that as opposed to the
21 unorthodox location 660 out of the quarter?

22 A. The unorthodox location, according to my
23 interpretation, would not have any productive sand in
24 the Morrow "C," and the location, 1,980 from the north
25 and east would have approximately 15 feet of potential

1 pay.

2 Q. Do you have an opinion as to whether or not
3 either one of the two closest standard locations are
4 the preferable geologic location in which to develop
5 the Morrow reserves in the east half of Section 22?

6 A. Yes, sir.

7 Q. And what is that opinion?

8 A. That you should drill in the orthodox
9 locations to maximize your potential for this horizon.

10 Q. Let's look at the Morrow "B" map now, which
11 is your Exhibit No. 3. Take a moment and describe in
12 what ways this map differs from what Mr. Thoma mapped
13 when he looked at the lower Sapphire. And I'm going
14 to hand you his Exhibit No. 7 so that you have that
15 before you.

16 A. First of all, on Mr. Thoma's map, he was
17 mapping a single sand within this Morrow "B" zone.
18 There are numerous sands within this horizon that
19 produce in the area. And you can see, again, the blue
20 dots represent wells that produce out of this section
21 of the Morrow. Almost all the operators will
22 perforate all the sands in there that have potential
23 in it, not just one particular sand.

24 As far as a difference between the maps go,
25 they both show preferred dip orientation in here;

1 however, the thickness in Section 22 differs broadly
2 in these interpretations. My interpretation shows
3 that there will be an increase in sand thickness in
4 the -- as you go west in Section 22.

5 Q. Having extensively reviewed the geology in
6 this area, Mr. Gawloski, what, in your opinion, is the
7 more probable interpretation that will result in a
8 commercial well drilled in the east half of Section
9 22?

10 A. I believe the interpretation, if I use
11 these and the porosity as a factor, would more closely
12 resemble a net pay map, and I would feel much more
13 comfortable using my interpretation based upon that,
14 and would drill the orthodox locations which would be
15 much more preferable locations.

16 Q. Have your methodology and interpretations
17 been used then in the drilling of the Manzano well in
18 Section 15, as well as your well in Section 23?

19 A. Yes, sir.

20 Q. This is the same technique, same
21 methodology and same analysis?

22 A. Yes, sir.

23 Q. Let's take a look at the Atoka now. Would
24 you prepare any other type of structure map if you
25 wanted to examine the structure in the Atoka like what

1 you prepared when you examined the structure of the
2 Morrow on your Exhibit No. 1?

3 A. No, sir. The top of the Morrow, which is
4 the top of the Morrow line in this area, is in very
5 close proximity to the Wynell Atoka sand pay and is a
6 very good regional marker that we use in the area.

7 Q. Let's look at Exhibit No. 4 now and have
8 you identify and describe that.

9 A. Exhibit No. 4 is a gross sand isopach of
10 the Wynell Federal No. 1 Atoka sand pay.

11 Q. Okay. Let me hand you Mr. Thoma's Exhibit
12 No. 9, which is his map of the Wynell portion of the
13 Atoka pay, and describe for us in what ways those
14 differ.

15 A. Well, they actually show the same preferred
16 orientation; however, I think Mr. Thoma has split his
17 Atoka sand, and my orientation is a little bit more
18 northeast-southwest than his interpretation. Other
19 than that, they're pretty similar.

20 Q. Let's take for a moment in the examination
21 of the best location, regardless of the Morrow, of
22 where to test for the Atoka production; that is, the
23 potential in the east half of Section 22. Where would
24 you put the well?

25 A. I would again put it at the orthodox

1 location at 1,980 from the north and east, Section 22.

2 Q. Why?

3 A. The sand's thicker in that direction.

4 Q. When you have to integrate the choice to
5 maximize the potential for both the Morrow and the
6 Atoka, would that alter your recommendation about a
7 well location for the Atoka?

8 A. No, sir. You'd use all the available data
9 you had.

10 Q. In your opinion as a geologist, can you
11 successfully test at the optimum location for both the
12 Atoka and the Morrow in the east half of 22 by either
13 one of the standard locations you've shown on your
14 display?

15 A. Yes, sir.

16 Q. And in each instance those locations are
17 better for you as a geologist than Santa Fe's proposed
18 unorthodox locations?

19 A. That's correct.

20 Q. Let me have you turn to Exhibit No. 5. Do
21 you have that?

22 A. Yes, sir.

23 Q. Would you identify that for us?

24 A. This is a net sand isopach of the Wynell
25 Federal No. 1 Atoka pay, using a density porosity of 7

1 percent.

2 Q. Why did you use 7 percent?

3 A. 7 percent has been our -- essentially the
4 number we use to establish a pay cutoff for the
5 Morrow, a porosity pay cutoff. During our regional
6 study, we have found that most of the best producers
7 in here would have to have a density porosity of 7
8 percent; so we make our regional maps using this
9 porosity cutoff.

10 Q. This is the type of a map that Mr. Thoma
11 did not prepare?

12 A. That's correct.

13 Q. To what purpose do you use this map?

14 A. Well, sir, if I was going to drill for --
15 either the Morrow or the Atoka, I would use a net sand
16 map. A gross sand map will just essentially tell me
17 the orientation of the sand. I would in fact do that
18 first, but if I was going to go into our management
19 and propose a well, I would have a net map in front of
20 me because they want to know not only where the sand
21 is but where the good sand is.

22 Q. Is this the kind of net pay sand map that
23 you took to your management to get authority to drill
24 the well in the southwest of 14?

25 A. That's correct.

1 Q. If you're utilizing the net thickness
2 isopach map for picking a location for the east half
3 of Section 22, what does it tell you?

4 A. It again tells me that the orthodox
5 location at 1,980 from the north and east is a
6 preferable location.

7 Q. In your opinion as a geologist, Mr.
8 Gawlowski, is the unorthodox location necessary in
9 order to allow Santa Fe the opportunity to produce the
10 Atoka-Morrow gas reserves underlying the east half of
11 Section 22?

12 A. No, sir.

13 Q. What happens with a well at the unorthodox
14 location?

15 A. What happens to it?

16 Q. If that's approved.

17 A. It would unfairly drain the acreage to the
18 north and northeast.

19 Q. Geologically speaking then, the same
20 reservoir in the Atoka and the Morrow extends up into
21 Sections 15 and 14?

22 A. That's correct.

23 Q. Let's examine on your net pay map the
24 various relationships of the reservoir between the
25 east half of 22, the east half of 15, and Section 14,

1 and in a general way quantify for us the relative
2 value of those spacing units one to another.

3 A. Could you rephrase that for me, please.

4 Q. Yes, sir. When we look at Section 14, do
5 we have a viable spacing unit for the Atoka?

6 A. Yes, sir, we do.

7 Q. And is that also projected for the Morrow?

8 A. Yes, sir.

9 Q. And you have sufficient reservoir thickness
10 and quality at that location to drill a well?

11 A. That's correct.

12 Q. And that will be the same reservoir that
13 would be penetrated by the Santa Fe well at its
14 unorthodox location?

15 A. That's correct.

16 Q. And geologically there's no reason to
17 believe that those wells are anything other than in
18 the same Atoka reservoir?

19 A. That's correct.

20 Q. When we look at the potential for the
21 Wynell well in Section 15, currently producing in the
22 Atoka, but what's your assessment as a geologist about
23 the potential for that well in the Morrow?

24 A. When we drilled that well, we evaluated the
25 Morrow as well as the Atoka. Our petrophysical group

1 has pay calculated in the Morrow, but uphole we had
2 DST'd the Atoka zone at a very prolific gas rate; so
3 it was decided amongst all the partners in the well
4 that it would be more prudent for us to come uphole
5 and produce the Atoka first with the intent of going
6 down and testing more before we leave the well.

7 Q. If the Santa Fe unorthodox location is
8 approved, what is the potential that they'll produce
9 your share of the Morrow gas reserves before you get
10 the opportunity to produce those reserves?

11 A. If the Wynell produces for a long time,
12 then they will, in fact, drain some of our Morrow
13 reserves.

14 Q. You don't see any geologic reason that the
15 reserves in the Morrow in your spacing unit are not
16 going to extend to the Santa Fe well, do you?

17 A. No, sir.

18 Q. They in fact will, won't they?

19 A. Yes.

20 Q. Let's look at Exhibit No. 6. I think I'll
21 have you put this up on the wall, if you don't mind.

22 (Thereupon, a recess was taken.)

23 Q. (BY MR. KELLAHIN) Mr. Gawloski, let me ask
24 you to go to the display on the board, which is marked
25 as Exhibit No. 6, and identify and describe that for

1 us.

2 A. Exhibit No. 6 is a structural cross-section
3 showing the East Gem area in the west through the two
4 orthodox locations within the northeast quarter of
5 Section 22 through the proposed unorthodox location
6 and up to the Wynell Federal No. 1 well.

7 Q. Why did you want to examine the structural
8 relationship of the various possible locations in the
9 east half of Section 22?

10 A. Well, sir, as was stated even in the
11 application, that structure is a factor that's used in
12 here and one of the factors that we use when we try to
13 determine a viable location for the Atoka and Morrow.

14 Q. If we examine the structural relationship
15 of the Santa Fe proposed unorthodox location, where do
16 we find that in relationship to the two closest
17 standard locations within that spacing unit?

18 A. In the proposed unorthodox locations in the
19 structurally lower or unfavorable position has to be
20 two orthodox locations located in the northeast
21 quarter of Section 22. This interpretation is
22 following the Exhibit No. 1, the structure map at the
23 top of the Morrow.

24 Q. What wells did you use to determine the
25 structural interpretation on the cross-section?

1 A. I used all available wells in here. On the
2 cross-section I used the Sun Bright well to the west
3 and the Pan American Laguna Plata well, Section 22,
4 and the Manzano Wynell Federal No. 1.

5 Q. When we look at the Laguna Plata Well No.
6 1, that's the well in the east half of 22, this is the
7 well that Mr. Thoma wanted to move away from?

8 A. That's correct.

9 Q. Describe for us what the operator did with
10 that well.

11 A. The operator of this is Pan American. I
12 believe it was drilled in 1962; so it's been a long
13 time ago, especially as far as the Morrow goes. They
14 drilled this well into the Morrow. Both the Morrow
15 "B" and "C" on drill stem test recovered hydrocarbon
16 gas on their drill stem test. I believe the highest
17 rate added to 576 Mcf a day on the test on, I believe,
18 the Lower Morrow.

19 Subsequent to the DST, they came back and
20 perforated these zones down here in the lower Morrow
21 and in the Morrow "B." They then proceeded to frac
22 these zones in a very unorthodox manner, and, in my
23 opinion, these zones were damaged and were not able to
24 get commercial quantities of gas after that.

25 Q. Mr. Thoma, on at least two different

1 occasions during his testimony said that he wanted to
2 move away from that well. Would you, as a geologist,
3 make it an essential criteria to get as far away as
4 you could from that Pan Am well?

5 A. No, sir. And, as a matter of fact, this
6 was one of the wells that keyed us into drilling our
7 Sapphire well. We knew we had significant hydrocarbon
8 shows within this well, and based upon our other data
9 we felt that this was a significant show of
10 hydrocarbons in the Morrow.

11 MR. KELLAHIN: Mr. Examiner, that concludes
12 my direct examination of Mr. Gawloski. I would move
13 the introduction of Exhibits 1 through 6.

14 HEARING EXAMINER: Exhibits 1 through 6
15 will be admitted as evidence.

16 CROSS-EXAMINATION

17 BY MR. BRUCE:

18 Q. Mr. Gawloski, you said -- is it Mitchell
19 has staked the location in the southwest quarter of
20 Section 14?

21 A. Mitchell-Manzano. I believe Manzano is the
22 actual operator of this area.

23 Q. When was it staked?

24 A. I'm not quite sure of the exact staking
25 time of that or the group that's actually doing the

1 staking of that well. Actually, Manzano is doing
2 that.

3 Q. Is that on federal acreage?

4 A. I believe it is.

5 Q. Are you aware there's a 30-day waiting
6 period between filing the application for the permit
7 and the time you drill the well?

8 A. I'm not aware of that.

9 Q. Looking at that Pan Am well, how much gas
10 did that produce in total?

11 A. Like I say, it produced gas on the drill
12 stem test. The production test, after the fracs, did
13 not yield any commercial quantities of gas. And there
14 is no production listed in the production books.

15 Q. Looking at your Exhibit No. 2, are you
16 basically saying then that there's no -- there's
17 nothing worthwhile in the Morrow at the proposed
18 unorthodox location; is that correct?

19 A. In this horizon in the Morrow "C."

20 Q. In the Morrow "C"?

21 A. Yes, sir.

22 Q. Should be a dry hole in the Morrow "C"?

23 A. At least from my interpretation, yes, sir.

24 Q. And it also shows that the Morrow potential
25 for most of Section 15 is very limited, doesn't it?

1 A. The lower half of it.

2 Q. So what's the need for a penalty on the
3 Morrow?

4 A. Well, you're just looking at one of the
5 zones here. There's many other zones in the Morrow
6 that produce in this area.

7 Q. Looking at your Exhibit 3, to the west of
8 the Pan Am well you have a 60-foot line drawn which
9 covers most of the northwest quarter of Section 22.
10 What was that based on? What is the justification for
11 that line?

12 A. Well, that's based upon -- we have a
13 42-foot well over here and approximately 40 feet here.

14 Q. Forty-two feet where?

15 A. In Section 16. What is that, the southeast
16 quarter of 16. Based on keeping the same isopach
17 interval that I've used in the area, I have projected
18 that the sand thickened up to 60 feet in the west half
19 of Section 22.

20 Q. There could easily be much less than that,
21 could there not?

22 A. Based on my interpretation, I believe it
23 would be about 60 feet in there.

24 Q. You won't know until you drill a well?

25 A. No, of course not.

1 Q. It also shows that the Morrow is not very
2 -- as you move further to the north, the Morrow gets
3 worse and worse; is that correct?

4 A. To the due north. To the north and east,
5 it's still a pretty favorable position.

6 Q. Looking at your Atoka maps, either one,
7 based on your interpretation, and assuming a north
8 half lay-down unit and a well at any standard
9 location, Santa Fe could place a well 660 feet from
10 the north line of Section 22; could it not?

11 A. Yeah, if it's 1,980 from the shore end of
12 the proration unit, that's correct.

13 Q. So it could be 660 feet from -- as little
14 as 660 feet away from the unit containing the Wynell
15 well?

16 A. If it was a lay-down proration unit.

17 Q. What is the orientation of the wells in
18 this immediate area?

19 A. Wells?

20 Q. Yes, the orientation of the well units?

21 A. The well units?

22 Q. Yes. Section 15, 22, 23, 27.

23 A. 15 is a stand-up proration unit. Section
24 14 is dictated, because of the leasehold in there, it
25 will have to be a stand-up proration unit of our

1 proposed well.

2 Q. West half stand-up?

3 A. That's correct. We do not have that
4 acreage -- it's not shaded there in Section 14 under
5 farmout. As far as several of the other ones to the
6 south, I believe there's some lay-down and some stand
7 up proration units.

8 Q. How about the Mitchell Sapphire well?

9 A. That proration unit could have either been
10 a lay-down or a stand-up. I believe we chose to put
11 it as a stand-up.

12 Q. So that means that all of Sections 14 and
13 15 and 23 will have stand up units; is that correct?

14 A. That's correct.

15 Q. And Section 22, if Santa Fe drills this
16 well?

17 A. That's correct.

18 Q. Now, looking at both Exhibits 4 and 5, what
19 is the justification for your thickening to the
20 southwest in the Atoka?

21 A. Well, there's a well in Exhibit No. 4, a
22 well down to the south in Section 33 that has the same
23 Atoka sand in it and gave me that preferred
24 orientation to the southwest. I believe it's that
25 Union Madera No. 3 in Section 33.

1 Q. I believe you also stated that you thought
2 that Santa Fe Oil would unfairly drain Mitchell's and
3 Manzano's acreage; is that correct?

4 A. Yes.

5 Q. Are you an engineer?

6 A. No. It's a geologic opinion.

7 Q. So you didn't conduct any engineering
8 studies?

9 A. No, no.

10 Q. Are you aware of any other prospects which
11 Santa Fe has developed which Mitchell has bought into?

12 A. Yes, sir.

13 Q. And how many are you aware of?

14 A. Two that I've been closely associated with.

15 Q. And were any wells drilled on those
16 prospects?

17 A. Yes, sir.

18 Q. And what was the result?

19 A. One was a Bone Spring oil producer; the
20 other two wells are currently being tested.

21 Q. And they look good?

22 A. Yes, sir, they do.

23 Q. Were those originally developed based on
24 Santa Fe geology? Were the original prospects
25 developed by Santa Fe?

1 A. Yes, sir. My management asked me to do the
2 geology before rendering -- joining in on any of those
3 operations.

4 MR. BRUCE: I have nothing further, Mr.
5 Examiner.

6 CROSS-EXAMINATION

7 BY HEARING EXAMINER:

8 Q. Mr. Gawlowski, in preparing your structure
9 and isopach maps, is it a big advantage as a geologist
10 to have seismic data available to utilize?

11 A. Yes, sir, I believe it is.

12 Q. Have you used this seismic data in this
13 area in preparing prospects?

14 A. Oh, yes, sir. We have a pretty extensive
15 grid of seismic in this portion of Lea County which we
16 use in our prospecting throughout this area.

17 HEARING EXAMINER: That's all I have for
18 the witness.

19 Anything further?

20 The witness may be excused.

21 MR. KELLAHIN: Mr. Examiner, I would like
22 to call at this time Mr. Greg Frazier.

23 GREG FRAZIER,
24 the witness herein, after having been previously sworn
25 upon his oath, was examined and testified as follows:

1 DIRECT EXAMINATION

2 BY MR. KELLAHIN:

3 Q. Would you please state your name and
4 occupation.5 A. My name is Greg Frazier. I'm a senior
6 staff reservoir engineer from Mitchell Energy
7 Corporation.8 Q. Mr. Frazier, would you describe your
9 educational background?10 A. I graduated from the University of Houston
11 in 1972 with a Bachelor of Science Degree in
12 mechanical engineering. I went to Oklahoma State and
13 acquired a master's degree in mechanical engineering
14 in 1973. I went to work for Texaco Research and
15 worked for them for five years and took their
16 development work as a reservoir and production
17 engineer and worked in both capacities in the five
18 years that I was with Texaco.19 In 1978 I went to work for Mitchell Energy
20 Corporation. I've worked for them for 11 years, seven
21 years -- nine years as a reservoir engineer and two
22 years as a production engineer.23 Q. In performing your duties as a production
24 or a reservoir engineer for your company, do you, in a
25 regular course during the performance of those duties,

1 make calculations about potential reserves for wells?

2 A. Yes, I do.

3 Q. Do you customarily as an engineer make
4 calculations to determine the reserves in place for
5 Morrow and Atoka wells?

6 A. Yes, I do.

7 Q. In addition, have you made a specific study
8 of a recommended penalty to be assessed against the
9 Santa Fe proposed unorthodox location if the Examiner
10 chooses to approve that location?

11 A. Yes, I have.

12 MR. KELLAHIN: We tender Mr. Frazier as an
13 expert reservoir engineer.

14 HEARING EXAMINER: He is so qualified.

15 Q. (BY MR. KELLAHIN) Let's, first of all,
16 address what you did as a reservoir engineer in
17 analyzing the potential reservoir values for the area
18 in question in the Atoka formation. What did you
19 first do?

20 A. The first thing I proceeded to do was to do
21 a biometric reserve calculation based on what the
22 geologist had given me as a representation of what the
23 net sand would look like.

24 Q. What geologist gave you the net sand
25 representation?

1 A. Mr. Gawloski.

2 Q. And have you as a reservoir engineer relied
3 with confidence on his interpretations of the net pay
4 thickness isopachs?

5 A. Yes, I have.

6 Q. And have they proved accurate in the past?

7 A. They have proved accurate in the past.

8 Q. What was the reason for examining on a
9 reserve basis the area in question? What did you want
10 to know?

11 A. Well, the main thing I wanted to know was
12 why they were wanting to build an unorthodox location.
13 Would they have sufficient reserves to economically
14 justify a well at an orthodox location.

15 Q. So you wanted in a reserve analysis, as a
16 reservoir engineer, to determine whether or not there
17 was any material difference to Santa Fe between the
18 closest standard location and the requested unorthodox
19 location?

20 A. That is correct.

21 Q. What was the method you used to make the
22 analysis?

23 A. I used a biometric reserve calculation.

24 Q. Where did you get the data to plug into the
25 parameters to make the calculation?

1 A. First, I had the net sand isopach from Mr.
2 Gawloski. Then I had information from Atoka, and also
3 I've done this for Morrow. I had information from
4 Atoka and Morrow producers in the area to come up with
5 what I felt the typical values would be for an Atoka
6 or a Morrow producer in Section 22.

7 Q. In order to come up with a calculation in
8 which you had confidence, was it necessary to have
9 actually drilled a well at either the standard or the
10 unorthodox location in the east half of 22?

11 A. Once you drill a well, and after that when
12 you start producing it, you do get better information,
13 but at this point, before you pick a location, this is
14 the best available method to me at this time.

15 Q. You had the data from the Atoka producing
16 well in the adjoining Section 15?

17 A. That is correct.

18 Q. And you had data from the Morrow producing
19 well in adjoining Section 23?

20 A. That is correct.

21 Q. That's as good as it gets?

22 A. That's not bad.

23 Q. What did you find out?

24 A. Okay. My Exhibit, I guess, No. 7 --

25 Q. Yes, sir.

1 A. -- the purpose of this exhibit was just to
2 come up with a unit recovery factor. I've averaged
3 the properties that I've used in this to come up with
4 this unit recovery factor noted on this exhibit:
5 average porosity, water saturation, gas gravity,
6 temperature and so forth. But you basically plug
7 these numbers into an equation, and you can come up
8 with a unit recovery factor, which for the Atoka I'm
9 using -- the calculation result is 1,350 Mcf per acre
10 foot of net sand for the Atoka reservoir.

11 Q. You've got that numbered. Now, how do you
12 take the analysis to come to any conclusions about the
13 preference of the unorthodox location to either one of
14 the closest standard locations?

15 A. Then we have to go to the next exhibit.

16 Q. That's Exhibit No. 8?

17 A. That's correct. Exhibit No. 8 shows just a
18 small portion of Mr. Gawloski's net sand isopach.
19 I've drawn 320-acre drainage circles around the
20 proposed unorthodox location and one of the choices as
21 an orthodox location. This radius is the 2,106 feet
22 that was noted before.

23 I want to calculate the volume of net sand
24 that exists within those circles according to this map
25 for each location. Once I have that volume in units

1 of acre feet, I then multiply that by my unit recovery
2 factor that I determined on the previous exhibit, and
3 the product of those two is my RGIP that I have
4 listed, the recoverable gas in place, using the
5 volumetric method.

6 The results of these show that -- I've
7 split it out for the total acre feet within the
8 drainage area of the unorthodox location, the 1,024
9 acre feet, and it results in the 1.39 Bcf reserves.

10 For the orthodox location, I've come up
11 with a total net acre feet of 1,131, which results in
12 an expected reserve for the orthodox location of 1.45
13 Bcf.

14 The other columns that I show there I've
15 also calculated the net acre feet within those
16 drainage circles that exists within the east half of
17 Section 22, just to determine how much of this reserve
18 I expect these wells to recover from the east half of
19 Section 22.

20 And for the unorthodox location I come up
21 with -- of its 1.39 Bcf, .59 Bcf of that will come
22 within the east half of Section 22. Well, that
23 represents 42 percent of the reserves for that well
24 comes from the east half of Section 22, which leads
25 you to believe that 58 percent of the reserves from

1 that well will come from outside of that east half of
2 Section 22 unit.

3 For the orthodox location, the same
4 calculation results; that 48 percent will come from
5 within the unit in the east half of Section 22, which
6 is a greater percentage of that gas will come from
7 that unit from an orthodox location than will come
8 from the unorthodox location. And, also, you have a
9 better well, can expect a better well at the orthodox
10 location.

11 Q. Santa Fe's criteria for a successful well
12 is judged by 1.2 Bcf, if I remember the testimony.

13 A. That's true.

14 Q. And under your analysis, what is your
15 estimate of the recoverable gas at the closest
16 orthodox location? That's the 1.54 --

17 A. 1.54 Bcf.

18 Q. So what does that tell you as a reservoir
19 engineer about your choice between the unorthodox or
20 the standard location?

21 A. There's no reason why they shouldn't drill
22 the orthodox location, actually. It's a better
23 location.

24 Q. Let's now turn to the Morrow. Mr. Frazier,
25 in Exhibit No. 9 did you apply the same methodology to

1 come up with Mcf per acre feet for the Morrow?

2 A. Yes, sir, I have.

3 Q. And you adjusted the parameters and values
4 to fit the Morrow?

5 A. That is correct.

6 Q. What did your calculations show that number
7 to be?

8 A. On a unit basis, I expect to recover 512
9 Mcf per net acre foot of reservoir.

10 Q. When we turn to Exhibit No. 10, show us how
11 you've analyzed that to determine whether or not you
12 would recommend a standard versus an unorthodox
13 location for testing the Morrow.

14 A. Okay. Here I'm using the net sand isopach
15 for the Morrow "B," the Upper Morrow. That was
16 supplied to me by Mr. Gawloski. That's where we
17 expect the bulk of the reserves from the Morrow to
18 come from; therefore, I've just used that net sand
19 isopach. But doing a similar analysis and assuming
20 that we will have 320-acre drainage circles about
21 these wells, I calculate that from the unorthodox
22 location, I expect 6.45 Bcf, and from the orthodox
23 location, I expect 8.36 Bcf, and also a greater, much
24 greater percentage of the 8.36 Bcf will come for the
25 orthodox location -- will come from the east half of

1 Section 22; 68 percent than if they were to drill the
2 unorthodox location; 51 percent of the reserves for a
3 Morrow well would come from the east half of Section
4 22.

5 Q. What then is your conclusion as a reservoir
6 engineer with regards to the Morrow?

7 A. For the Morrow, an orthodox location is the
8 location of choice.

9 Q. Mr. Fulton described a theoretical penalty
10 formula and suggested that as a possible penalty for
11 his unorthodox location. Have you examined how the
12 Commission or the Division might come up with a
13 penalty by which the well could be approved at this
14 location if they choose to take that risk, and yet
15 penalize the well in such a way that there is no
16 opportunity for uncompensated drainage between the two
17 spacing units?

18 A. Yes, sir, I have.

19 Q. In the absence of a penalty, will there be
20 uncompensated drainage, in your opinion?

21 A. Definitely.

22 Q. To whose detriment?

23 A. To Mitchell Energy Corporation, Manzano,
24 and also the Texaco acreage in Section 14.

25 Q. And that would also apply to the acreage in

1 Section 15; would it not?

2 A. That is correct.

3 Q. How did you attempt to address the
4 resolution of that issue with the penalty?

5 A. Well, in my mind -- can we go on to the
6 next exhibit?

7 Q. Exhibit No. 11?

8 A. Exhibit No. 11. We have the right to the
9 gas that is within our 320-acre drainage circle under
10 a legal location. Nobody else should be able to
11 produce any of that gas, or it would be uncompensated
12 drainage.

13 Q. How are you going to adjust then a penalty
14 that would take into consideration the actual
15 probabilities within the reservoir of what the wells
16 will do one to another as they compete, based upon
17 location?

18 A. You would have to restrict a well such that
19 its outer unit of drainage or its no-flow boundary
20 would not penetrate over our drainage area, 320-acre
21 drainage circle.

22 Q. That's not a high-tech engineering
23 calculation, is it?

24 A. It's pretty simple.

25 Q. Yes, sir. And what did you do?

1 A. Exhibit 11 shows me -- now I'm using
2 Exhibit 11 for what would be the closest orthodox
3 location, and that would be 660 from the east line and
4 1,960 from the north line in Section 22, with a
5 320-acre drainage circle around that well I've drawn
6 in. And it shows that the north end of that drainage
7 circle is 126 feet over the north line of Section 22.
8 Okay?

9 I've also drawn a 320-acre drainage circle
10 around our Wynell well. In this case, they do not
11 overlap. That radius is 2,106, feet and they happen
12 to intersect very close to this point, 126 feet north
13 of the north line of Section 22. Therefore, the
14 closest orthodox location -- that is the most northern
15 limit for the drainage radius of that well. If they
16 are granted any other allowable that would result in
17 larger drainage than that, then there would be net
18 uncompensated drainage for our Wynell Federal well.

19 The hatch line shows what their drainage
20 area for their unorthodox location would be without a
21 penalty. The small circle shows what their drainage
22 area must be in order for there to be no net
23 uncompensated drainage.

24 Now then, we must take that drainage circle
25 and calculate what the penalty would be. And the way

1 I've calculated that, I first know that drainage area,
2 that small circle has a radius of 660 from the --
3 okay. There is a small error here. I have used 600
4 feet because that's what I saw your application to
5 say. I've since corrected it to what this would be
6 with the actual 660 location from the north line.

7 But what you see here is a calculation
8 using 600 feet, the well spaced 600 feet from the
9 north line. Its drainage radius, in order to be in
10 that circle, would include an additional 126 feet. So
11 its total drainage -- its drainage radius would be 726
12 feet.

13 To calculate what its drainage area would
14 be in simple geometry, I calculate 38 acres. And,
15 therefore, I believe that well, its allowable penalty
16 should result in only 38 acres of drainage in order to
17 prevent uncompensated drainage on our tract.
18 Therefore, its penalty or its allowable factor would
19 have to be 38 divided by 320 for an allowable factor
20 of .119. The penalty would be 88 percent.

21 Q. Is that your recommendation of the most
22 appropriate penalty to apply in this particular fact
23 situation?

24 A. That is correct. I have evaluated others,
25 but that's the one I think would most apply in this

1 situation.

2 Q. Let's look at some of the other ways in
3 which we might approach penalties. This Division has
4 discussed numerous combinations in the past, Mr.
5 Frazier. Let me ask you to turn to Exhibit No. 12,
6 and ask you: The other types of penalties you've
7 explored, in what way have you examined another one
8 with Exhibit No. 12?

9 A. Exhibit Number 12, I've used some of the
10 factors that I've heard are commonly used here at the
11 Commission. I've used the distance number of 600 feet
12 from the north line, and I've also used -- for the
13 Atoka here, I'm showing that the total east half of
14 Section 22 does not contain productive sand. By Mr.
15 Gawloski's net sand isopach, I've calculated that only
16 221 acres out of the 320 acres are productive. So the
17 two factors I've used in this formula are net
18 productive acreage and the distance from the north
19 line.

20 Q. All right. Let me make sure I understand.
21 The 221 comes from where?

22 A. It's the productive area based on this net
23 sand isopach within the east half of Section 22.

24 Q. If we adopt this solution for penalty, why
25 should we use that as one of the factors?

1 A. Because the penalty should be based, to
2 some degree, on the amount of gas or productive gas
3 within that unit.

4 Q. You have chosen also to factor in the
5 encroachment to the north boundary line. You've used
6 600 feet. You simply substitute arithmetically 660,
7 and I think you come up with 23 percent allowable or
8 79 percent penalty, give or take. Why have you not
9 done what Mr. Fulton did, and that was factor in or
10 average in the east-west dimension?

11 A. Okay. There's a good reason for that.
12 When you have factors that are detrimental to what an
13 allowable should be, they're not -- you shouldn't
14 average them. This 600-feet factor is a detrimental
15 factor. That has a certain penalty associated with
16 it. The fact that it doesn't have enough productive
17 acreage within that unit is an additional factor that
18 makes the first factor even worse. So they compound
19 each other. They should be multiplicative.

20 When you start averaging in other factors,
21 it only takes the effect of diluting what the penalty
22 should be. As long as I use my product, I can bring
23 in that east half factor. That allowable factor is
24 660 over 660. That's acceptable. It's just a product
25 one times what I've done here. And as long as you

1 compound things, you can bring in those other factors.
2 But once you start averaging factors, it only tends
3 to dilute what the real issue and detrimental problems
4 are that you have by moving the location.

5 Q. Let me ask if you've prepared a display
6 that illustrates the point you're trying to make about
7 factoring in the dimension that is the standard
8 distance east-west. Have you done that?

9 A. Yes, I have.

10 Q. Let me show you what is marked as Exhibit
11 No. 13, Mr. Frazier.

12 A. Okay. The first allowable factor that I
13 have come up with is what happens when you do average
14 in the distance from the east line, the distance from
15 the north line, and then some acreage factor.

16 Here I've used net productive acreage. I
17 think Santa Fe has used the crescent method to come up
18 with acreage. But what happens here is, when you add
19 those three factors together and divide by three, you
20 only get a penalty of -- you get an allowable factor
21 of .66, a penalty of 34 percent.

22 Q. Let me see if I'm clear on the methodology.
23 The using of the three factors, in averaging them
24 allows a well to be two-thirds closer to the N
25 boundary and yet only be reduced by approximately a

1 third in terms of the penalty?

2 A. That is correct.

3 Q. Have you examined what the penalty would be
4 if Santa Fe had moved its location to ten feet off the
5 line with Section 15 to see what it would get for an
6 allowable?

7 A. Yes, I have.

8 Q. What did you find out?

9 A. The penalty would only be 43 percent. You
10 could essentially drill it on that lease line and have
11 only a 43 percent penalty.

12 Q. As a reservoir engineer, do you find that
13 acceptable?

14 A. I found that as rather amazing.

15 Q. Do you believe it's fair and appropriate?

16 A. Well, if I were them, I would also put in
17 the distance from the south line. It's legal from the
18 south line, and it's legal from the west line. And
19 I'd try to dilute it even further, I guess.

20 Q. Same logic would apply then; would it not?

21 A. Same logic. It's legal from those two
22 lines as well.

23 Q. In terms of the magnitude or the potential
24 impact of Santa Fe's proposed penalty of approximately
25 29 percent, have you also prepared a display to

1 illustrate what would potentially happen to their
2 drainage pattern with this penalty as they propose?

3 A. Yes, I have.

4 Q. Let me show you what's marked as Exhibit
5 No. 14. Do you have that?

6 A. I've got a copy. Okay. What I've shown on
7 Exhibit 14 is, around their proposed unorthodox
8 location, I've put -- first, I've put the 320-acre
9 circle. Then the second circle I've drawn is what
10 their drainage area would be if their 29 percent
11 penalty went into effect.

12 Their drainage area would essentially be
13 reduced by 29 percent. But because it's proportional
14 to the square of the radius, it drains in that
15 drainage limit very little. And I think that it would
16 end up giving them the opportunity to drain that brown
17 area that they had on their map as showing that that
18 was our acreage to drain. But by their penalty, they
19 would essentially be draining the bulk of that
20 acreage. It would limit their drainage area very
21 little.

22 My recommendation is the 88 percent case.
23 I've shown a 79 percent case, which was the case of my
24 Exhibit No. 12, to show that if we went with something
25 like 79 percent or even the 88 percent that we're

1 proposing, the drainage radius of that well would be
2 limited to what it should be. It should not be
3 allowed to drain acreage within the drainage radius of
4 our Wynell Federal well.

5 Q. Let's talk for a minute, Mr. Frazier, about
6 how the penalty is implemented. What is your
7 understanding of how the reduced allowable or penalty
8 is actually applied against the well?

9 A. Well, if the penalty -- the penalty is
10 multiplied -- well, one minus the penalty is
11 multiplied by the deliverability of that well, and
12 that's what you are allowed to produce your well at.

13 Q. If the Santa Fe well gets a deliverability
14 in the Atoka comparable to what Manzano experienced in
15 the Wynell Federal No. 1 well for its initial
16 potential or initial deliverability, what was that
17 deliverability?

18 A. We actually floated up in excess of six
19 million cubic feet per day during our four-point test.

20 Q. If we have six million a day times the 88
21 percent penalty, what is still the producing rate on a
22 daily basis that the penalized well gets to produce?

23 A. If we use our 88 percent penalty?

24 Q. Yes, sir.

25 A. Well, that would be able to produce 12

1 percent of that six million cubic feet per day, which
2 would be 720 Mcf per day.

3 Q. Can you think of any other way to apply the
4 penalty as you've proposed in order to avoid
5 uncompensated drainage between the properties?

6 A. I can't think of any other way to do it
7 that would be fair.

8 MR. KELLAHIN: Thank you, Mr. Examiner.

9 We move the introduction of Exhibits 7
10 through 14.

11 HEARING EXAMINER: Exhibits 7 through 14
12 will be admitted as evidence.

13 MR. CARR: I have no questions.

14 HEARING EXAMINER: Mr. Bruce.

15 CROSS EXAMINATION

16 BY MR. BRUCE:

17 Q. Mr. Frazier, looking at your Exhibit 8,
18 where you have the acre feet, how did you get the 4311
19 number and 544 number?

20 A. That looks like a typo.

21 Q. Could we get a correct number?

22 A. Sure. The 4311 is the typo. Okay? It
23 should be 431. Sorry about that.

24 Q. Now, assuming radial drainage, which you
25 have done here, and which Mr. Fulton also did -- is

1 that correct?

2 A. That's correct.

3 Q. And looking at just 320 gas well spaced on
4 320 acres, virtually every well will drain,
5 theoretically, acreage outside the units?

6 A. That is correct.

7 Q. And if Santa Fe drilled, let's say, had a
8 lay-down, drilled at a standard location 660 from the
9 north and 1,980 from the east line of the section, it
10 would probably drain a heck of a lot more of Section
11 15 than it will at its proposed unorthodox location;
12 is that correct?

13 A. And it would legally be allowed to do so.

14 Q. Have you done any volumetric calculations
15 on the Sapphire well?

16 A. Yes, I have.

17 Q. What did you come up with?

18 A. That particular well will probably not
19 drain 320 acres.

20 Q. How much will it drain?

21 A. I don't remember the exact number.

22 Q. Roughly.

23 A. Well, it's a function of what you -- right
24 now, based on the buildup, it looks like it's only
25 going to drain, oh, less than 100 acres. The

1 assumption is based on net sand to determine what your
2 final acreage figure is.

3 Q. So if Santa Fe drilled in the Morrow and
4 got a similar well, it would have much less effect on
5 any offsetting acreage than you've proposed here in
6 your exhibits?

7 A. That's not correct. We're primarily
8 concerned with the Wynell Federal, the Atoka, reserves
9 in the Wynell Federal and the Sapphire, and the Morrow
10 reserves in the Wynell Federal.

11 Q. If the Santa Fe well only drilled somewhat
12 under 100 acres, it wouldn't have near the effect on
13 the Wynell well, would it?

14 A. Well, overall the Morrow is expected to
15 drain 320 acres, and until we show otherwise, I'm
16 going to believe that our Wynell Federal will drain
17 320 acres from the Morrow.

18 Q. I'm saying assuming Santa Fe's well only
19 drained 100 acres.

20 A. Oh.

21 MR. KELLAHIN: I think that's an
22 inappropriate question. I'm going to object. He's
23 asking this technical witness to assume the fact.
24 It's not even an issue here. The presumption is
25 320-acre gas spacing. We've talked about that all day

1 long. There's no application before you to change the
2 spacing pattern --

3 MR. BRUCE: And he has just testified that
4 the only other Morrow well in this area is only
5 draining less than 100 acres.

6 HEARING EXAMINER: I'll allow the question,
7 Mr. Bruce.

8 Q. (BY MR. BRUCE) So if you just look at the
9 Santa Fe well -- if Santa Fe got a similar well
10 draining somewhat less than 100 acres -- I'm not sure
11 of the exact figure -- it would have a substantially
12 less effect on Manzano's and Mitchell's acreage in
13 Sections 14 and 15?

14 A. I have not testified that the only Morrow
15 producer in the area is going to drain 100 acres.

16 Q. The nearest Morrow producer?

17 A. The nearest, that is correct.

18 MR. KELLAHIN: Mr. Examiner, if Mr. Bruce
19 will stipulate that his well will only drain 100
20 acres, we'll go away. If he will limit his production
21 to only 100 acres, we can leave right now.

22 Object to the line of the question.

23 MR. BRUCE: We know the games that are
24 played here, Mr. Examiner. But Mitchell is claiming
25 at one point that these wells only drain less than 100

1 acres, but you have to assume that Santa Fe's going to
2 drain 320, and that the Wynnell is going to drain 320
3 in the Morrow.

4 MR. KELLAHIN: Mr. Examiner, I resent the
5 implication that this is a game. This is very serious
6 business with very serious people for very serious
7 money.

8 HEARING EXAMINER: Mr. Kellahin, let me
9 interrupt you. We've got an objection on the floor.
10 I'll do the same thing with Mr. Bruce as we did with
11 Mr. Kellahin.

12 What are you trying to prove with the
13 question? What is your objective? Why are you
14 asking it?

15 MR. BRUCE: He's already stated that the
16 closest Morrow well drains less than 100 acres, but he
17 has based all of his calculations on adverse effect on
18 Sections 14 and 15 based on 320 acres.

19 I'm merely asking that if the Santa Fe well
20 is similar, what would the effect be on the offset
21 acreage. I think it's a fair question.

22 HEARING EXAMINER: Mr. Bruce, if I asked
23 you to provide me with some premises, would you reach
24 the conclusion I seek?

25 MR. BRUCE: I'll withdraw the question. I

1 think the point has been made.

2 Q. Let's turn to Exhibit 11, Mr. Frazier. I
3 find this one quite interesting. I believe you stated
4 that, just looking at the Wynell well, assumed to
5 drain 320 acres, and we're not going to dispute you on
6 that, but then you stated no one should be allowed to
7 drain anything from the Wynell well's area of
8 drainage.

9 A. Well --

10 Q. You stated that, did you not, or words to
11 that effect?

12 A. From a stand-up unit in the east half of
13 Section 22, that is correct.

14 Q. That's not what you stated. I don't want
15 to get into an arguing match with you here, but you
16 stated that no one should be allowed to drain anything
17 from the Wynell well's area of drainage; so, in
18 effect, that means if you look at Section 14, Manzano
19 and Mitchell drills a well at its proposed location in
20 the southwest quarter of Section 14, that's going to
21 have to have a penalty on it, isn't it?

22 A. I'll be glad to correct myself.

23 Q. Thank you.

24 A. I meant specifically a stand-up unit in the
25 east half of Section 22, as the fuel rules allow, a

1 well in that unit should not drain the area within
2 that 320 circle around the Wynell Federal No. 1.

3 Q. What has Mr. Gawloski stated, that there is
4 a new well proposed by Manzano and Mitchell in the
5 southwest quarter of Section 14; is that correct?

6 A. That's correct.

7 Q. What is the footage location of that well?

8 A. There have been some minor adjustments due
9 to land problems, but it's basically 1,980 from the
10 west line and 1,980 from the south line. It's not
11 exactly that. I think it's 2,000 something, but it's
12 basically the 1,980/1,980 location.

13 Q. Assuming it's roughly 1,980/1,980, what's
14 the distance from that proposed well from the Wynell
15 well?

16 A. It would be approximately 1,980 plus the
17 660 that the Wynell is from the east line.

18 Q. So that's a half a mile; right?

19 A. Approximately.

20 Q. What is the distance between Santa Fe's
21 proposed well and the Wynell well?

22 A. About the same distance.

23 Q. So they're both going to be about --
24 assuming Santa Fe drills its well and Manzano drills
25 its second well, they're going to be approximately the

1 same distance from the Wynell well?

2 A. But our well will be an orthodox location.

3 Q. Has Mitchell ever drilled a well when it's
4 had an 88 percent penalty assessed against it?

5 A. No, I don't believe we have.

6 Q. Assuming the need arose for a Mitchell or
7 Manzano well to be unorthodox in the southwest quarter
8 of Section 14, would you recommend to management that
9 a well be drilled with an 88 percent penalty assessed
10 against it?

11 A. We wouldn't recommend a well to be drilled
12 there.

13 Q. You wouldn't recommend the unorthodox well,
14 or you wouldn't recommend the 88 percent -- the well
15 to be drilled with the 88 percent penalty?

16 A. I wouldn't recommend that location in the
17 first place.

18 Q. Looking at Exhibit 12, if you use Santa
19 Fe's geology instead, would it result in a somewhat
20 different penalty proposal?

21 A. Are you talking a penalty for the Atoka or
22 for the Morrow?

23 Q. This is the Atoka; is it not?

24 A. That's correct. I don't recall. I'd have
25 to calculate based on their map, but they don't even

1 have a net sand map.

2 Q. We need not get into that, but your penalty
3 calculations, a number of your factors here are really
4 based on Mitchell's geologist, are they not?

5 A. That's correct.

6 Q. And would it be fair to say there's quite a
7 difference between Mitchell's geology and Santa Fe's
8 geology?

9 A. There is some difference.

10 Q. And if you accepted Santa Fe's instead of
11 Mitchell's, you might come up with different results?

12 A. But either way you accept the geology, I
13 think the penalty formula should not be a deleting,
14 averaging method.

15 Q. Now, when you take this 221 corrective
16 acres out of -- of course, any time you multiply
17 fractions, you're going to get a smaller number than
18 any other fraction that you've used; right?

19 A. These are compounding effects, compounding
20 factors.

21 Q. Compounding downward?

22 A. Well, when you have two negative factors,
23 when you put them together, they should wind up with a
24 bigger penalty.

25 Q. Looking at your Exhibit 13, are you aware

1 of any instance --

2 A. Which exhibit?

3 Q. 13 -- any instance on a 320-acre gas well
4 unit where the OCD allowed the well to be ten feet
5 away from the lease line or the section line?

6 A. No, but if this formula is allowed, why
7 wouldn't somebody want one there? You're probably
8 going to see it.

9 Q. In looking at your Section 14, I'm really
10 not quite sure I understand it.

11 A. Okay.

12 Q. Whether the penalty is zero or 29 percent,
13 are you basically assuming that in the area of overlap
14 between the Wynell well and Santa Fe's well -- Santa
15 Fe's proposed well, that Santa Fe would recover all
16 hydrocarbons in that area of overlap?

17 A. No.

18 Q. You're not?

19 A. No. There would be a competitive drainage
20 situation for that area. But there shouldn't be a
21 need, shouldn't be getting into that situation for the
22 situation as it exists out here. I don't see them to
23 have the right to any of it.

24 Q. But overlaps almost always occur or often
25 occur, I should say?

1 A. But they try to be limited where you are --
2 accepted overlaps in certain directions, but overlap
3 in all directions is not allowed.

4 MR. BRUCE: I have nothing further, Mr.
5 Examiner.

6 MR. KELLAHIN: I do have one question, Mr.
7 Examiner.

8 REDIRECT EXAMINATION

9 BY MR. KELLAHIN:

10 Q. Are you aware of any precedent in the
11 Division for applying an acreage factor production
12 limitation, as well as in combination with a distance
13 factor limitation in any situations of an unorthodox
14 location?

15 A. Productive acreage?

16 Q. Correct, yes.

17 A. I'm not familiar with any in New Mexico,
18 no. I'm familiar with other areas.

19 MR. KELLAHIN: No further questions.

20 HEARING EXAMINER: Anything further of this
21 witness? If not, he may be excused.

22 (Thereupon, a discussion was held
23 off the record, and Case 9796
24 was briefly adjourned.)

25 HEARING EXAMINER: And we'll get back to

1 the other case.

2 Mr. Bruce, I believe you wanted to call a
3 witness.

4 MR. BRUCE: I would like to recall as a
5 rebuttal witness Mr. Thoma.

6

7

R E B U T T A L

8

9

JOHN L. THOMA,
10 the witness herein, after having been first previously
11 sworn upon his oath, was examined and testified as
12 follows:

13

DIRECT EXAMINATION

14

BY MR. BRUCE:

15

Q. Mr. Thoma, did you listen to Mr. Gawloski's
16 testimony?

17

A. Yes, I did.

18

Q. And did you review his exhibits?

19

A. Yes, I have.

20

Q. One thing he stated, I believe, was that
21 Mitchell used seismic. Does Santa Fe use seismic?

22

A. We do use seismic where we feel it is
23 useful. Integration of sonic and subsurface data is
24 useful, and coming up with a handle on velocity
25 variations which affect the integrity of seismic

1 interpretations.

2 However, we have found, particularly in the
3 Morrow, that near surface velocity problems are not
4 reliably addressed on a regular basis by integration
5 of sonic and subsurface data. And since you are
6 limited by those means to correcting the seismic for
7 velocity, near surface velocity problems, we have
8 subsequently decided that through use, through trial
9 and error, that seismic, in our opinion, is not a
10 reliable means of predicting structure in the Morrow.

11 There are frequently phase variations
12 within Morrow formation and at the top of the Morrow
13 formation caused by stratigraphic variations within
14 the Morrow itself, which cause you to incorrectly --
15 frequently incorrectly map structure because you're
16 not mapping equivalent points; you're mapping
17 methodology changes.

18 For that reason, we have not used -- we
19 have elected to minimize the use of seismic in the
20 Morrow.

21 Q. Now, looking at Mitchell's Exhibits 1
22 through 5, do you agree with those interpretations?

23 A. No, no. The Atoka interpretation I don't
24 disagree with, obviously. Those are very, very
25 similar. The Morrow interpretations I would

1 personally disagree with, professionally disagree
2 with, I guess is the proper way to state it.

3 Mapping groups of sands within the
4 Morrow is a frequently employed technique of mapping
5 prospective trends within the Morrow, but in terms of
6 isolating specific producing trends within an area, we
7 have elected to go to mapping individual sands.

8 Certainly by mapping a package of sands,
9 which Mitchell has elected to do, you're similarly
10 mapping sand trends the way I am by using a clean sand
11 map. They are both an aggressive approach to mapping
12 sand trend in the Morrow, but, once you've identified
13 a specific pay in a localized area, a more useful map
14 in terms of predicting where that sand is developing
15 and where it's going is to map that particular sand,
16 and that's what we have done with our isopach map.

17 That's why primarily we didn't show our
18 maps. We have maps very similar to this, and
19 certainly there are other sands in the area, but in
20 this specific area right here where we're talking
21 about drilling, that is the objective sand which has
22 been proven to be productive, and I guess that's where
23 I disagree with his maps in terms of the orientation
24 and whatnot; that's just a matter of interpretation.
25 But in terms of evaluating what should be looked at,

1 you know, specifically, in regards to any given well,
2 I think you need to take the interpretation to a much
3 more detailed level.

4 Q. Finally, Mr. Thoma, there's been talk about
5 the Pan Am Laguna well. Regarding the performance of
6 that well, is there anything -- and obviously
7 performed poorly -- is there anything that anybody can
8 point to, or is it all speculation?

9 A. I believe it's speculative. You can say
10 that the well was damaged from the frac job. You can
11 say it was damaged because it was drilled with fresh
12 water. Fresh water typically isn't used anymore.

13 There are a number of different reasons,
14 but there's also numerous Morrow wells with sands that
15 look just as good as that that have been drilled
16 around the basin, using proper techniques, that you
17 can't explain the producing number, why the sand
18 doesn't produce.

19 So I think that pointing to one thing in
20 particular on that well is speculation.

21 MR. BRUCE: Thank you.

22 CROSS-EXAMINATION

23 BY MR. KELLAHIN:

24 Q. Mr. Thoma, you mapped only one of the sands
25 in the Morrow pool, didn't you?

1 A. In this particular area, I presented a map
2 on the sand which I thought was the objective sand for
3 the area. We have mapped other sands in the area.

4 Q. The map you presented today is a map of a
5 single sand in the Morrow?

6 A. Correct.

7 Q. That's the only map you gave us?

8 A. That's correct.

9 Q. There are numerous other pay sands in the
10 Morrow in this area?

11 A. To the north and to the south, yes. In
12 this specific area, the three-mile radius or two-mile
13 radius, there is not to date.

14 Q. And within the area shown on Mr. Gawloski's
15 display, Santa Fe has yet to drill its first
16 Morrow well?

17 A. In an area approximately two miles, three
18 miles around this well, Santa Fe has yet to drill its
19 first Morrow well. However, if you go four miles away
20 from this well, you will find a well that we did in
21 fact drill.

22 MR. KELLAHIN: Nothing further.

23 HEARING EXAMINER: Anything further of this
24 witness? If not, he may be excused.

25 Would counsel like to give closing

1 statements at this time?

2 MR. KELLAHIN: If it please, Mr. Examiner

3 --

4 HEARING EXAMINER: Let's try and keep it
5 brief, if we can, Mr. Kellahin.

6 MR. CARR: Why don't you let me go first?
7 Mine's very brief.

8 HEARING EXAMINER: Okay, Mr. Carr.

9 MR. CARR: And ^{then} we can let the real parties
10 go at it.

11 Texaco Inc. is here today in opposition ^{to} of
12 the application of Santa Fe Energy Operating
13 Partners. We're the owner of substantial and valuable
14 mineral interest in the properties north and northwest
15 of the proposed unorthodox location, and we believe
16 the very best data available on the area dictates that
17 the well should be drilled at the standard location.

18 If, however, Santa Fe insists on drilling
19 at the proposed unorthodox location, we believe the
20 producing rate from the well should be penalized, and
21 the penalty should be substantial and in line with the
22 recommendations made by Mitchell Energy Corporation.

23 We believe you should follow the
24 recommendation of Mitchell because their penalty is
25 based on an analysis of the technical data available

1 on the reservoir, unlike the recommendation of Santa
2 Fe, which is based on nothing whatsoever except
3 surface distances-after they came in and made a
4 geological presentation, and then for some reason in
5 calculating penalty elected not to follow it.

6 We believe if a penalty is not imposed in
7 line with what is recommended by Mitchell,
8 uncompensated-for drainage is going to be authorized
9 and our correlative rights will be impaired.

10 HEARING EXAMINER: Thank you, Mr. Carr.
11 Mr. Kellahin.

12 MR. KELLAHIN: Mr. Examiner, it is my
13 assessment of Mr. Thoma's geologic criteria that he
14 identified for us that that geologic criteria has been
15 satisfied by his own exhibits and can be fulfilled
16 with a well at a standard location. If you look at
17 his structure map, you can follow the contour of the
18 same structural point he seeks for the unorthodox
19 location and find at a closer standard location he
20 does not lose structure. The only material difference
21 appears to be the loss of a few feet of thickness in
22 the Morrow channel.

23 It's our assessment that he has not proven
24 through his testimony or anyone else on behalf of
25 Santa Fe one of the basic requirements for justifying

1 the unorthodox location: that the unorthodox location
2 must show an enhanced opportunity to develop the
3 spacing unit that he cannot achieve at a standard
4 location.

5 Santa Fe ought to thank us, Mr. Examiner,
6 for showing them information that they chose not to
7 utilize or did not otherwise have. Santa Fe has yet
8 to drill their first Morrow test in this immediate
9 vicinity. We have brought before you the resident
10 expert, at least within this particular locale, the
11 exploration geologist that has put his money where his
12 mouth is and has successfully drilled two producing
13 wells. He has yet to drill his first dry hole in this
14 area. What he is doing is about to drill his third
15 well, and he's doing it at a standard location. The
16 development of these wells is at standard locations
17 until Santa Fe comes up and wants to play closology
18 and corner shoot what is the only producing Atoka well
19 in Section 15.

20 The seismic information is critical. Our
21 geologist customarily utilizes it in this particular
22 area, and we think it's a necessary tool that he has
23 successfully utilized and demonstrated to you that
24 it's accurate.

25 If Santa Fe chooses to go ahead with the

1 risk of drilling at the unorthodox location, it makes
2 absolutely no difference at all that the wells may be
3 in fact similar distances apart when you look at the
4 area of encroachment.

5 They have given you some unusual situations
6 by which you then can judge the entire presentation,
7 one of which is they tell you that there should be no
8 penalty on the Morrow because we're not yet producing
9 what we have proved to be producible Morrow reserves
10 in the southeast quarter of 15. They say, "Just
11 ignore that."

12 I have yet to see an order before this
13 Division that you've ever chosen to do that. You
14 always protect the undrilled acreage to give the
15 opportunity to those people being encroached upon to
16 protect themselves.

17 Mr. Bruce and his witnesses have suggested
18 the Pennzoil order. That's something of an antique by
19 now, Mr. Examiner. I can tell you about it longer
20 than you care to do it because I did it. And in that
21 case, we had some additional parameters that you as an
22 examiner have certainly not adopted, and as best I can
23 find have not been used in the recent past before this
24 Division.

25 I will show you, because I've gone to the

1 trouble to find them, some of the most recent orders
2 you have entered in similar situations. And the thing
3 that you have not done is that you have not given them
4 the windfall of factoring in the dimensions by which
5 the well is standard. That's a goofy idea anyway.
6 What you do is you give them a bonus for the
7 encroachment. There's no sense to that. Our engineer
8 demonstrated with good, sound engineering technique
9 that just makes no logic at all.

10 One of the orders I'd like to share with
11 you, and I'll provide a set of those to Mr. Bruce for
12 his comment, the Nearburg order is not one that you
13 did, but I selected it as an example because it is one
14 that Mr. Stogner did, and Mr. Stogner entered the
15 Pennzoil order upon which Santa Fe placed such great
16 reliance -- the Nearburg order only factored in the
17 dimension towards which the well was unorthodox.

18 The second order in the package of orders
19 is one that you did enter in the Reed & Stevens case.
20 Again, what you did in that case is you factored in
21 the one dimension in which the well was encroaching.

22 Look at the Santa Fe Exploration order that
23 you entered on April 12, 1989, in a similar situation,
24 more factoring in the dimensions in which the well is
25 unorthodox, and we don't give them a bonus or a

1 windfall for maintaining the distance that is
2 standard, and we suggest that it's totally
3 inappropriate to do so in this case.

4 You and I and everybody in this room that
5 practices regularly before you has struggled to find
6 an acceptable location for these type of cases or a
7 penalty for these type of cases, and I think we've got
8 a fresh idea here from Mr. Frazier that merits some
9 consideration. That's the one where on his Exhibit
10 No. 11, he attempts to apply engineering methodology
11 to come up with what really will be real world
12 penalties, and that's that no flow boundary
13 calculation, the 88 percent.

14 The record is substantial before you, and I
15 think you're justified in entering such a penalty.

16 What's interesting about all these
17 penalties is this is a case where there's opportunity
18 to the applicant to achieve a substantial advantage
19 because the way the penalty works is not really going
20 to affect it.

21 For example, if they get a well that's got
22 the deliverability potential of the Wynell well of 6
23 million a day, apply any kind of penalty against that,
24 even if it's an 88 percent penalty, they get to
25 produce at a significant rate.

1 And therein lies the flaw in the system is
2 that there is not an integration of the penalty with
3 the actual producing rates of the wells upon which
4 that location encroaches.

5 I think it's a fatal flaw, and I think what
6 Mr. Frazier gives us is a wonderful opportunity to
7 apply some science to what is really a theoretical,
8 hypothetical, sometimes meaningless arithmetic
9 solution for a penalty. And when he has carefully and
10 thoroughly calculated no flow boundary for the
11 encroaching well, I think there's some science to
12 that. There's some substantial evidence to justify 88
13 percent penalty. And I think you can do so in this
14 case with the comfort to realize that the best
15 geologic evidence shows that they can drill in the
16 standard location, and that's where they ought to be.

17 So if you choose to grant the opportunity
18 to grant this location, we would request, in order to
19 protect us and our clients, that you impose an 88
20 percent penalty, because without doing so, it simply
21 will not be fair.

22 HEARING EXAMINER: Thank you, Mr.
23 Kellahin.

24 Mr. Bruce.

25 MR. BRUCE: Mr. Examiner, Santa Fe has the

1 right under the statutes and the regulations to seek
2 this unorthodox location. In fact, it may have a
3 legal obligation to do so to protect the rights of the
4 interest owners in the unit.

5 Now, it's a matter of dispute what matter
6 should be considered in an unorthodox well location.
7 If you look at the statute 70-2-16, and Rule 104G, it
8 basically says, "The Division may give equitable
9 consideration to such pertinent factors as may from
10 time to time exist."

11 It's equitable; so a mathematical or
12 arithmetic formula is really not all that necessary,
13 nor in this case desirable.

14 Mr. Frazier presented a lot of nice
15 numbers, but we don't think they bear any relationship
16 to the facts of this case.

17 Now, we do agree that a primary factor to
18 consider is correlative rights, but the Division must
19 also look at the rights not only of Manzano, not only
20 of Mitchell, not only of Texaco, but also look at the
21 rights of Santa Fe. Santa Fe does have the right to
22 drill a well and recover its fair share of
23 hydrocarbons. We believe without this location it
24 will not recover its fair share of hydrocarbons.

25 Regarding the order, we did use the

1 Pennzoil order, but our penalty recommendation isn't
2 based on that. That was really more used as a
3 yardstick as anything else. Mr. Kellahin says that's
4 a relic. Maybe it shouldn't be used anymore. Well,
5 it's strikingly similar to one of the penalty methods
6 used by Mr. Frazier, and if the Pennzoil method is
7 archaic, then I believe so is that method.

8 Just looking at the magnitude of the
9 penalty suggested, I highly doubt that anyone would
10 drill around here with an 88 percent penalty. In
11 another situation, I'm not sure of the total facts of
12 the case, but Mr. Kellahin is now appealing de novo
13 for Marathon a case where an 80 percent penalty has
14 been issued.

15 We believe, at least as far as the Atoka, a
16 penalty is fair, but I think it has to bear some
17 relationship to economic reality in this case.

18 Now, we still assert that there's really no
19 need to give a penalty in the Morrow. There's no
20 effect on Section 23, and really the effect on Section
21 14 is to prove up that acreage as to the Morrow, we
22 believe. You're talking about experts in this area.
23 Santa Fe has drilled 50 Morrow wells in southeast New
24 Mexico. If anyone is the expert, Santa Fe is, and we
25 believe that their geology should be persuasive in

1 this case as a result. Santa Fe's geology shows that
2 their location is the optimum location for their
3 Morrow test, which is the primary target of the well.
4 The location is also necessitated by the need to get
5 away from the Pan Am well, and to move away from the
6 poor sand quality in the Pan Am well. And, therefore,
7 Santa Fe does recommend that the Morrow unorthodox
8 location be approved with no penalty.

9 As to the Atoka, we don't believe that this
10 can be looked at in a vacuum. If we were 1,000 feet
11 or 800 feet away from another well, you know, there
12 would be serious concerns, but this well is half a
13 mile away. That's a common distance. Many standard
14 location wells can be closer to the Wynell well than
15 Santa Fe's proposed location. Therefore, I think you
16 have to look at certain factors: the half-mile
17 distance; the fact that, once again, if Santa Fe
18 drills a good well at this location, although Santa Fe
19 admits there will be an effect on the Atoka in Section
20 14, it will also, we believe, help prove up the
21 acreage in Section 14. It's really like there's not
22 any benefit at all to Mitchell and Manzano by not
23 having their acreage approved.

24 Then I think if you look at the drainage
25 patterns, you see that there really is relatively

1 small overlap between the proposed Santa Fe location
2 and the Manzano well. We're talking roughly 90 to 95
3 acres, and if you factor that in, you get roughly a
4 28, 29 percent penalty. We think something in that
5 range is fair and would properly compensate Manzano
6 for any ill effect that may occur -- Manzano and
7 Mitchell for any ill effect that may occur from Santa
8 Fe drilling the well.

9 Mr. Kellahin has submitted some recent
10 orders here. I was not a party to any of these
11 cases. I do understand that the Santa Fe Exploration
12 case was unique because there was a fault involved in
13 that case. I can't tell from the Nearberg producing
14 case whether there were any other wells drilled in the
15 area, and the placement of those wells with respect to
16 the unorthodox location, etc.

17 Also, Mr. Kellahin would have you believe
18 that Santa Fe is going to get a 6 million or 7 million
19 cubic-feet-a-day well. Nobody knows. They really
20 need this unorthodox location in order to give them a
21 good chance at getting a good well. But even if they
22 get a good well, penalized at 90 percent, it really
23 doesn't make economic sense. So we would recommend
24 that a 20 to 30 percent penalty be assessed against
25 the Atoka. Thank you.

1 HEARING EXAMINER: Thank you, Mr. Bruce.

2 Anything further in this case? If not,

3 Case 9796 will be taken under advisement.

4 This hearing is adjourned.

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1 CERTIFICATE OF REPORTER

2
3 STATE OF NEW MEXICO)
4 COUNTY OF SANTA FE) ss.
5

6 I, Freda Simmons, Certified Shorthand
7 Reporter and Notary Public, HEREBY CERTIFY that the
8 foregoing transcript of proceedings before the Oil
9 Conservation Division was reported by me; that I
10 caused my notes to be transcribed under my personal
11 supervision; and that the foregoing is a true and
12 accurate record of the proceedings.

13 I FURTHER CERTIFY that I am not a relative
14 or employee of any of the parties or attorneys
15 involved in this matter, and that I have no personal
16 interest in the final disposition of this matter.

17 WITNESS MY HAND AND SEAL January 30, 1990.

18
19 

20 FREDA SIMMONS

21 I do hereby certify that the foregoing is
22 a true and accurate transcript of the proceedings in
23 the case of _____
24 heard by _____
25

Oil Conservation Division
Oil Conservation Division