

STATE OF NEW MEXICO  
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT  
OIL CONSERVATION DIVISION  
CASE 9854

EXAMINER HEARING

IN THE MATTER OF:

Application of Stevens Operating  
Corporation for Pool Creation and  
Special Pool Rules, Chaves County,  
New Mexico.

TRANSCRIPT OF PROCEEDINGS

BEFORE: DAVID R. CATANACH, EXAMINER

STATE LAND OFFICE BUILDING

SANTA FE, NEW MEXICO

February 7, 1990

**ORIGINAL**

CUMBRE COURT REPORTING  
(505) 984-2244

## A P P E A R A N C E S

FOR THE DIVISION:

ROBERT G. STOVALL  
Attorney at Law  
Legal Counsel to the Division  
State Land Office Building  
Santa Fe, New Mexico

FOR THE APPLICANT:

WILLIAM F. CARR, ESQ.  
Campbell & Black, P.A.  
Post Office Box 2208  
Santa Fe, New Mexico 87504

FOR YATES PETROLEUM  
CORPORATION:

ERNEST L. CARROLL, ESQ.  
Losee, Carson, Haas & Carroll  
Post Office Drawer 239  
Artesia, New Mexico 88211

FOR MARSH OPERATING  
CORPORATION:

JAMES G. BRUCE, ESQ.  
The Hinkle Law Firm  
500 Marquette NW, #740  
Albuquerque, N.M. 87102

## I N D E X

## Page Number

APPEARANCES

2

OPENING STATEMENTS

By Mr. Carroll

37

By Mr. Carr

39

WITNESSES FOR THE APPLICANT

## JACK AHLEN

Examination by Mr. Carr

6

Examination by Mr. Carroll

21

Examination by Mr. Bruce

34

Examination by Mr. Carr

34

Examination by Examiner Catanach

40

## PAUL H. DAVIS

Examination by Mr. Carr

43

Examination by Mr. Carroll

61

Examination by Examiner Catanach

75

## DONALD G. STEVENS

Examination by Mr. Carr

78

Examination by Mr. Carroll

87

WITNESSES FOR YATES PETROLEUM CORPORATION

## LESLIE BENTZ

Examination by Mr. Carroll

91

Examination by Mr. Carr

97

## DAVID FRANCIS BONEAU

Examination by Mr. Carroll

98

Examination by Mr. Carr

108

Examination by Examiner Catanach

113

CLOSING STATEMENTS

By Mr. Carroll

114

By Mr. Carr

117

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

E X H I B I T S

STEVENS OPERATING COMPANY EXHIBITS:

Exhibit 1	8
Exhibit 2	9
Exhibit 3	15
Exhibit 4	21
Exhibit 5	45
Exhibit 6	52
Exhibit 7	53
Exhibit 8	56
Exhibit 9	61

YATES PETROLEUM CORPORATION EXHIBITS:

Exhibit 1	93
Exhibit 2	93
Exhibit 3	93
Exhibit 4	93
Exhibit 5	93
Exhibit 6	99
Exhibit 7	99

REPORTER'S CERTIFICATE 122

1 EXAMINER CATANACH: Call the hearing back  
2 to order and call Case 9854.

3 MR. STOVALL: Application of Stevens  
4 Operating Corporation for pool creation and special  
5 pool rules, Chaves County, New Mexico.

6 EXAMINER CATANACH: Are there appearances  
7 in this case?

8 MR. CARR: May it please the Examiner, my  
9 name is William F. Carr with the law firm Campbell &  
10 Black, P.A., of Santa Fe. We represent Stevens  
11 Operating Corporation.

12 MR. CARROLL: My name is Ernest Carroll, of  
13 Losee, Carson, Haas & Carroll of Artesia, New Mexico,  
14 and we represent Yates Petroleum Corporation.

15 MR. BRUCE: Mr. Examiner, my name is Jim  
16 Bruce from the Hinkle Law Firm in Albuquerque,  
17 representing Marsh Operating Company.

18 EXAMINER CATANACH: How many witnesses do  
19 you have, Mr. Carr?

20 MR. CARR: I have two, maybe three.

21 MR. CARROLL: I have two witnesses.

22 EXAMINER CATANACH: Any witnesses, Mr.  
23 Bruce?

24 MR. BRUCE: None.

25 EXAMINER CATANACH: Can I get all the

1 witnesses to stand up and be sworn in.

2 (Thereupon, all witnesses were sworn.)

3 EXAMINER CATANACH: Mr. Carr?

4 MR. CARR: At this time we would call Mr.  
5 Ahlen.

6 JACK AHLEN

7 the witness herein, after having been first duly sworn  
8 upon his oath, was examined and testified as follows:

9 EXAMINATION

10 BY MR. CARR:

11 Q. Would you state your full name for the  
12 record, please.

13 A. Jack Ahlen.

14 Q. Mr. Ahlen, where do you reside?

15 A. Roswell, New Mexico.

16 Q. By whom are you employed?

17 A. Stevens Operating Corporation.

18 Q. Have you previously testified before the  
19 Oil Conservation Division and had your credentials  
20 accepted and made a matter of record?

21 A. Yes, I have.

22 Q. How were you qualified at that time? as a  
23 petroleum geologist?

24 A. Yes, sir.

25 Q. Are you familiar with the application filed

1 in this case on behalf of Stevens Operating  
2 Corporation?

3 A. Yes, I am.

4 Q. Are you familiar with the area that is the  
5 subject of the application?

6 A. Yes, I am.

7 Q. Have you made a study of the area?

8 A. Yes, I have.

9 MR. CARR: Are the witness's qualifications  
10 acceptable?

11 EXAMINER CATANACH: They are.

12 Q. Mr. Ahlen, would you briefly state what  
13 Stevens seeks in this case.

14 A. In this case, Stevens seeks a 320-acre  
15 spacing. We also seek a temporary testing allowable  
16 of 650 barrels of oil per day, which is the depth  
17 spacing allowable, a gas/oil ratio of 20,000 to 1, and  
18 a nine-month testing period.

19 Q. Are you also seeking the creation of a pool  
20 in the Fusselman formation?

21 A. Yes, sir.

22 Q. Have you prepared certain exhibits for  
23 presentation in this case?

24 A. Yes, I have.

25 Q. Would you refer to what has been marked as

1 Stevens Exhibit 1, identify this exhibit and review it  
2 for the Examiner?

3 A. Stevens Exhibit No. 1 is a land plat which  
4 is a copy of the Midland Map Company land map in this  
5 particular area covering a portion of Township 10  
6 South, Range 27 East. It shows lease ownership and  
7 the location of wells. The wells that are not with  
8 large circles around them are essentially San Andres  
9 oil producing wells and dry holes.

10 There are four deep wells on this  
11 illustration. They have the large circles drawn  
12 around them, being the well in the southeast quarter  
13 of the southeast quarter of Section 16; there are two  
14 wells in the west half of Section 21; and one well in  
15 the northwest quarter of Section 28. These are deep  
16 penetrations. They all have penetrated to the  
17 Pre-Cambrian basement in this area. There are no  
18 other wells on this illustration that are deep wells.

19 Q. What is the status of the northernmost  
20 well? Has that one been completed?

21 A. That well, the northernmost well has been  
22 completed as a dry hole in 1950. It is currently  
23 producing out of the San Andres after plugging back to  
24 it a long time ago.

25 Q. What are the proposed pool boundaries for



1 the new pool?

2 A. We would propose the south half of Section  
3 21 and the north half of Section 28.

4 Q. On this map you have a trace for the  
5 cross-section which is your next exhibit?

6 A. That is correct. The heavy line that  
7 connects those four wells is Exhibit No. 2.

8 Q. Mr. Ahlen, would you review the history of  
9 the development of this area? And in so doing, if you  
10 need to, would you refer to your cross-section which  
11 is Exhibit 2.

12 A. Okay. In 1950, approximately, Honolulu  
13 drilled a #1 Levic test in the southeast of the  
14 southeast of Section 16. They had a few shows of oil  
15 and gas in the lower Paleozoics. After testing, the  
16 well was subsequently plugged and abandoned, then it  
17 was reentered and made a San Andres producer.

18 In the early 1980s, San Andres development  
19 started in this vicinity. Then approximately 86 and  
20 87 there was a rapid expansion of San Andres  
21 development. During that development, a shallow,  
22 structural anomaly was developed and seismic work was  
23 done in the area, with the result that Yates drilled  
24 their # 3 "AFT" well, which was a discovery well in  
25 the Siluro-Ordovician section. It was a gas well.

1           Subsequent to that, Stevens drilled a well  
2 in the northeast border of Section 28. That was in  
3 late November and December of 89. The Yates discovery  
4 was in 88, November and December. Most recently Yates  
5 has drilled their #6 "AFT" well in the northwest  
6 quarter of Section 21. The latter three wells are all  
7 capable of production in the Siluro-Ordovician  
8 section.

9           Q.       Would you now like to work with your  
10 cross-section and review each of the wells on that for  
11 the Examiner? Are you ready to go to that?

12          A.       Yes, I am. May I go to the wall?

13          Q.       Yes.

14          A.       On this cross-section, I show the four deep  
15 wells that are circled on the index map, with the  
16 Honolulu well on the extreme right, the deep dry hole  
17 drilled in 1950. The next well in line is the #6  
18 "AFT" drilled by Yates. The next well in line is the  
19 #3 "AFT" drilled by Yates. The well on the left is  
20 the Stevens well.

21                 All of them, I have arranged the wells on a  
22 sea level, subsea datum. They are datumized at a  
23 minus--I wrote it down, minus datum of 2700 feet. I  
24 have a correlation marker in the Pennsylvanian Section  
25 immediately above the unconformity, and it is carried

1 across the cross-section and projected into the  
2 Honolulu well at this point.

3 Q. That's the dark, black line running across  
4 the exhibit on the top?

5 A. And marked Penn marker. There is an  
6 erosional conformity at the base of the Pennsylvanian  
7 and the top of the Siluro-Ordovician section over the  
8 crest of the structure, and the unconformity is  
9 present on top of the Mississippian in the  
10 Honolulu-Levic well. The only well that has Woodford  
11 section present is the Honolulu-Levic well, and I've  
12 marked that as the top of the Fusselman in that well.  
13 That correlates with the eroded Fusselman top here,  
14 but there is a significant amount of section missing  
15 at the top of the Fusselman. The Mississippian is  
16 also completely missing.

17 There is a Montoya marker that I have  
18 correlated across the section based on a radioactive  
19 marker that is present at a depth of approximately  
20 6435 feet in the Stevens well. That correlates with  
21 this radioactive marker and this radioactive marker in  
22 the #6 "AFT", and this marker in the Honolulu-Levic,  
23 and the Pre-Cambrian follows that very closely.

24 On the basis of sample shows, the electric  
25 log, water saturation, bulk volume water calculations,

1 I have established, as well as log characteristics, I  
2 have established a gas/oil contact at a datum of  
3 approximately minus 2524. There is an oil column of  
4 approximately 50 to 60 feet, from that datum, to a  
5 datum of minus 2587. There is a transition zone, an  
6 oil to water transition zone from that datum to  
7 approximately minus 2650. Below this zone essentially  
8 water only is indicated by log calculations. No  
9 testing has taken place below this except in the  
10 Honolulu-Levic well where only water was recovered on  
11 drill stem tests.

12 Now, Yates has recently completed  
13 evaluating a zone in the transition zone. Initially  
14 that well produced oil, and it shortly went to oil and  
15 water, approximately 50/50. They are currently  
16 testing a zone approximately 20 feet up from that, and  
17 I think perhaps other witnesses can testify that it  
18 will, better than I do, they have more recent  
19 information, but at last word it was producing oil  
20 only.

21 Yates has also perforated in the oil zone  
22 only in this particular well, and it produces oil.  
23 Yates initially completed their discovery well in the  
24 interval from 6255 to 6356, and it was completed as a  
25 gas well with no oil indicated. It flowed based on a

1 five-hour test, 3,800 Mcf per day at that rate.

2           Stevens drilled the McBride. No drill stem  
3 tests were taken on the way down. However, production  
4 tests have been conducted through perforations from a  
5 depth of 6218 through 6364. We will have a later  
6 witness that will attest to the specific tests during  
7 that time, but essentially an oil/water--excuse me, an  
8 oil/gas contact was quite firmly established, some  
9 water and oil and gas. All of these were produced  
10 from the lower perforations only.

11           From analysis of the samples and the  
12 resistivity log on this well, there is a strong  
13 suggestion that the reservoir has both fracture  
14 porosity as well as vuggy porosity as well as  
15 intergranular porosity. The testing also indicates a  
16 highly fractured reservoir, so that it is an  
17 inhomogenous reservoir.

18           I would like to explain the mud log on the  
19 extreme left here. Essentially we have some shows of  
20 oil and gas in the gas zone. The oil and gas zone  
21 does have some oil staining and some good cuts, and  
22 the gas analysis does show methane, ethane and  
23 butane. There is a distinct change in the character  
24 at the gas/oil contact in that the gas anomaly  
25 diminishes both on the C-1 and the C-2. However, the

1 C-3 increases through the oil zone. Also, the sample  
2 shows increase in the oil zone. It appears as though  
3 most of the rock fragments are oil stained in the oil  
4 zone.

5           In the transition zone we get some porosity  
6 that is oil stained and some porosity that is not oil  
7 stained. It is interesting to note that there very  
8 definitely is oil staining up in the oil column which  
9 suggests that the reservoir may have been oil  
10 saturated at one time but currently is not, to the  
11 degree that it could be wet oil saturated porosity.  
12 However, it has been subsequently drained since we  
13 believe that the oil source and the gas source are  
14 different. The gas probably came from Pennsylvanian  
15 sediments and the oil came from Mississippian and  
16 preMississippian sediments. They both migrated into  
17 the structure at slightly different times.

18       Q.     What conclusions can you draw now from this  
19 particular exhibit and the data shown thereon?

20       A.     I feel that the gas/oil contact is  
21 relatively uniform through the three wells. The  
22 oil/water contact appears to be a transition zone in  
23 the three wells, and one may produce some oil and some  
24 water from different zones of porosity within that  
25 interval. It is also a possibility that we may have

1 some oil saturation already in the oil zone, since in  
2 the original drill stem tests by Yates they did  
3 actually recover 2.1 barrels of oil while flowing 1.8  
4 million cubic feet of gas out of that zone.

5 Q. Does that conclude your testimony from  
6 Exhibit No. 2?

7 A. Yes, sir, unless you have any questions.

8 Q. Would you like to return to your seat?

9 A. Thank you.

10 Q. Mr. Ahlen, would you refer to what has been  
11 marked as Ahlen Exhibit No. 3, identify this for Mr.  
12 Catanach and review the information contained on this  
13 exhibit.

14 A. Exhibit No. 3 is a structure contour map on  
15 the top of the Fusselman formation. There are four  
16 subsurface control points and they are the four  
17 previously mentioned wells. It is also controlled by  
18 two seismic lines, essentially one east/west and one  
19 north/south, quite near the eastern line of Section 21  
20 and 28.

21 It does appear as though all points along  
22 that north/south seismic line are on the downthrow  
23 side of a major fault. The east/west line crosses two  
24 major faults. On the seismic line, on the eastern  
25 fault, is near shot point 435--excuse me, 360. On the

1 western fault, the fault is approximately near shot  
2 point 345.

3 I have contoured the datums of that seismic  
4 and the subsurface data on the same map. I think  
5 that's justified by the data that is available. I  
6 show the Yates discovery well to be 20 feet high to  
7 the Stevens well; the second Yates well, the #6 "AFT"  
8 is approximately 120 feet low to their discovery  
9 well. It's quite possible that that is a fault that  
10 caused that significant difference in datum. However,  
11 I have contoured it in the most simple manner  
12 possible, and it is probably correct. That, in turn,  
13 is 400 feet high to the Honolulu well, which is in the  
14 southeast of the southeast of Section 16, justifying  
15 the major down to the east fault.

16 Q. Would you now go to Ahlen Exhibit No. 4 and  
17 review that, please.

18 A. This is a structure contour map on the top  
19 of the Montoya formation. The gamma ray marker that I  
20 have pointed out on the cross-section is utilizing the  
21 same four subsurface wells that reach the subsurface  
22 data, and following the form lines of the previous  
23 Fusselman map. You'll note in this instance there's a  
24 significant difference between the Yates #3 "AFT" and  
25 the Stevens well, in that the Stevens well is now



1 structurally high to the Yates well, suggesting that  
2 there had been differential erosion at the  
3 unconformity. What that means overall is that the  
4 Stevens well has a thinner Fusselman/Montoya Section.

5           Then the difference between the #3 "AFT"  
6 and the #6 "AFT" is approximately 260 feet. This  
7 means that the Fusselman reservoir section has  
8 thickened significantly from the #3 "AFT" to the #6  
9 "AFT". Again, there's a big difference in datum  
10 between the Honolulu well and the #6 "AFT". In this  
11 particular instance, 370 feet, again primarily due to  
12 to the fault.

13       Q.     Based on your study of this area, what  
14 conclusions have you reached?

15       A.     I have reached the conclusion that this is  
16 an oil field with a gas cap; it is bounded on the east  
17 and west by a major structural deformation of faults  
18 down to the west and a fault down to the east. This  
19 is a horsed primary reservoir perhaps that's been  
20 enhanced by secondary leaching fluids. The intimation  
21 is that there is significant fracturing within the  
22 reservoir itself and that permeability horizontally  
23 and vertically are probably about equal.

24       Q.     How would you characterize the data that is  
25 available to you to make these judgments on the

1 reservoir?

2 A. I had four wells to make these judgments.  
3 What we need are additional wells to further develop  
4 the aerial extent of the pool and characterize the  
5 sedimentation and the structural mode.

6 Q. When you look at the Stevens well in this  
7 reservoir, does it appear to be a typical well or what  
8 you would expect from a geological point of view?

9 A. Oh, yes.

10 Q. From a geologic point of view, why would  
11 320-acre spacing be desirable?

12 A. In the first place, when we initiated these  
13 proceedings and asked for a hearing, Yates had a gas  
14 well. We suspected that we had an oil well because of  
15 the nature of the fluids at the surface, the color of  
16 the flare, and we put a separator on and, sure enough,  
17 we had copious quantities of oil present in our gas  
18 flow. So as we continued to develop evidence, we have  
19 come to the conclusion that it is an oil field with a  
20 very thick and large gas cap. However, we did not  
21 really want to penalize Yates Petroleum Corporation  
22 for having a gas well while we had an oil well and,  
23 therefore, we designated a 320-acre spacing since 320  
24 acres is the state-wide spacing unit for a Pre-Permian  
25 well.

1           Q.       So the impact on the Yates well was  
2 considered in developing these parameters?

3           A.       Absolutely.

4           Q.       Does that also apply to seeking a 20,000 to  
5 1 gas/oil ratio?

6           A.       Yes, sir. If Yates had a gas well and we  
7 declared this an oil pool, they would have difficulty  
8 making a commercial well out of that particular well,  
9 and we did not want them to be penalized.

10          Q.       What testing period or initial period for  
11 the temporary rules is Stevens actually seeking?

12          A.       A nine-month testing period.

13          Q.       Will that permit sufficient development of  
14 data to make judgment calls on further development of  
15 the reservoir?

16          A.       We hope that it will, yes, sir.

17          Q.       In your opinion, will granting this  
18 application prevent waste?

19          A.       Yes.

20          Q.       How so?

21          A.       First of all, if we only go on classic  
22 reservoir interpretation, we only think that we know  
23 the correct parameters to use in the proper  
24 development of this pool. If we are allowed enough  
25 time to actually test some of the theoretical

1 implications, well, then, we may actually be damaging  
2 the field rather than helping it, and we would promote  
3 waste rather than preventing waste. So we need that  
4 time in order to develop effective parameters that  
5 will ensure that the pool is developed properly.

6 Q. You're talking about damage to the pool  
7 being additional development without the data that  
8 could be obtained during this test period, is that  
9 correct?

10 A. Well, the damage could be economic in the  
11 sense that you drilled too many wells, or there could  
12 be economic damage in causing the oil to flow into a  
13 dry gas cap. We do not know for sure. We suspect  
14 that it is, but there is some evidence that suggests  
15 also that it is an oil saturated reservoir.

16 The samples, as I pointed out on the  
17 cross-section, have good oil staining, good cut, as  
18 well as the drill stem test on the Yates #3 did  
19 actually recover what was called 28-gravity oil.  
20 There are some unanswered questions that we need  
21 additional data. The next well that is drilled, we  
22 need to take that into consideration, consider coring,  
23 if it's possible to core here, as well as gather other  
24 data, flow data, that will be devaluated during the  
25 nine-month period that we're proposing.

1           Q.       Now, you've talked about waste. What would  
2 be the impact on correlative rights of a denial of the  
3 Stevens application?

4           A.       Well, Stevens would not be able to produce  
5 its rightful share of the hydrocarbons present in  
6 their proration unit.

7           Q.       Mr. Ahlen, were Exhibits 1 through 4  
8 prepared by you?

9           A.       Yes, sir, they were.

10           MR. CARR: At this time, Mr. Catanach, we  
11 would move the admission of Ahlen Exhibits 1 through  
12 4.

13           EXAMINER CATANACH: Exhibits 1 through 4  
14 will be admitted as evidence.

15           MR. CARR: That concludes my direct  
16 examination of this witness.

17           EXAMINER CATANACH: Mr. Carroll.

18                   EXAMINATION

19 BY MR. CARROLL:

20           Q.       Mr. Ahlen, at the present time, does  
21 Stevens Operating have a method by which to market the  
22 gas that will be produced in this well?

23           A.       Yes, sir. There is a 10-inch pipeline in  
24 the vicinity that crosses very near or goes through  
25 the location, Transwestern. The gas does have

1 hydrogen sulfide in it that makes it unmarketable, but  
2 at the present time Stevens is in the process of  
3 purchasing a unit which will remove that sulfur from  
4 the gas stream so that it may be sold. And the other  
5 facilities are already present on the location.

6 Q. Are the pipeline connections already  
7 present on the location?

8 A. No, sir. They're in the process of being  
9 hooked up.

10 Q. And the unit to sweeten the gas, is it on  
11 site at the present time?

12 A. It is not.

13 Q. What's the time frame that Stevens  
14 Operating is looking to connect the well to the  
15 pipeline and provide the sweetening facilities?

16 A. Within a week.

17 Q. One week?

18 A. Yes, sir.

19 Q. That would cover both items?

20 A. Yes, sir.

21 Q. There has been some testing going on with  
22 respect to this particular well, has there not?

23 A. Yes, sir.

24 Q. With respect to those tests, what kind of  
25 production are you looking at from this McBride well?

1           A.       We have had rates of oil production up to  
2 350 barrels of oil per day.

3           Q.       How much gas was being produced at 350  
4 barrels per day?

5           A.       About 3.5 million cubic feet per day.  
6 There will be later testimony by our engineering  
7 witness that will specifically detail what you are  
8 asking.

9           Q.       All right. Now, Mr. Ahlen, you made the  
10 statement that Stevens Operating feels that it needs  
11 nine months to perform additional testing and answer  
12 unanswered questions?

13          A.       Yes, sir.

14          Q.       Would you please specify what unanswered  
15 questions you intend to seek answers to and what  
16 methods of testing you intend to employ to answer  
17 those questions?

18          A.       Okay. First of all, most of those  
19 questions are engineering questions, and they're more  
20 properly addressed by an engineer. However, one of  
21 the questions that we are concerned about is the  
22 encroachment of water and whether this is a 100  
23 percent efficient water drive pool or not. Those  
24 questions will be more properly addressed by the  
25 engineering witness.

1           Q.       All right. Well, with respect to  
2 production, producing this well for nine months, is  
3 there any evidence you think you would gain for you to  
4 be able to better define the boundaries of this pool?

5           A.       With the production tests only?

6           Q.       Yes.

7           A.       That might be enough time. However, in the  
8 meantime, we are also running additional seismic lines  
9 that will help us to define the pool. This requires  
10 time. We are also in the process of coordinating with  
11 Yates Oil Corporation in trading data so that we all  
12 may have a better opportunity to interpret the limits  
13 of the reservoir.

14          Q.       You are aware that Yates Petroleum  
15 Corporation does have more than the east/west line and  
16 the north/south line you talked about?

17          A.       Yes, sir, I am. This is part of the  
18 seismic data that we have requested from them.

19          Q.       Now, I believe you made the statement that  
20 the only control or the control you have out there  
21 right now with respect to this pool exists with the  
22 four wells and the two lines of seismic? That's what  
23 you're armed with today?

24          A.       That's what has been available up to this  
25 point. We have shot a line already, an east/west



1 line, and it's at the processor right now being  
2 converted to data that's readily available. It runs  
3 east/west approximately 1980 feet from the south line  
4 of Section 28. It's part of the additional  
5 information that is needed to develop the  
6 configuration of the pool.

7 Q. That seismic line is to the south of the  
8 seismic line you've already discussed with us already,  
9 is it not?

10 A. That's correct. Brand-new line.

11 Q. Now, your Exhibits 3 and 4, one of the  
12 purposes of them is to help in defining the extent of  
13 this pool that we're talking about, is it not?

14 A. Yes, sir.

15 Q. The data that you have, at least that  
16 you've been able to obtain through the two  
17 northernmost wells, the dry hole, the Honolulu well  
18 and the #6 Pathfinder "AFT" well that Yates just  
19 drilled, they pretty well define the northern boundary  
20 of this pool, do they not?

21 A. If you'll look at the map, not  
22 necessarily. But the eastern limit of the pool is  
23 defined by the north/south fault. I do not really  
24 know what the structural configuration is north of the  
25 #6 "AFT". There's a strong suggestion that it is low

1 but this is, again, part of the additional data that  
2 we're trying to develop.

3 Q. With respect to the area south of the  
4 McBride well, you really have no real good control at  
5 all?

6 A. That is correct.

7 Q. So basically, if you set a limit on the  
8 pool to the south, it's pretty much guesswork, then,  
9 isn't it?

10 A. That's correct.

11 Q. Mr. Ahlen, I take it, then, that you have  
12 done no studies with respect to possible reserves that  
13 might be in this pool, the depletion of those  
14 reserves, whether oil or gas, then? That's been done  
15 by the engineer that's going to testify, is that  
16 correct?

17 A. That is correct.

18 Q. But your maps, I would take it, were  
19 furnished to this engineer to help him in determining  
20 reserves, is that your understanding?

21 A. Yes, sir.

22 Q. Basically what we're looking at is a pool  
23 that's located probably right in the middle of what's  
24 commonly called a horse block? It's been pushed up  
25 and you've got faults on each side, is that correct?

1           A.       Yes, that is correct.

2           Q.       And at least to the seismic line that you  
3 have seen, you can pretty well determine that at least  
4 the east and the west boundaries of this pool are  
5 pretty certain because your east/west seismic line  
6 very definitely define those fault lines, did they  
7 not?

8           A.       This Commission is very familiar with  
9 seismic techniques and their accuracy, which is  
10 sometimes limited.

11          Q.       I understand.

12          A.       Within the capability to interpret the  
13 data, yes.

14          Q.       At least your Exhibits 3 and 4 have pretty  
15 well defined the limits of the pool based on that  
16 seismic, then?

17          A.       Yes, sir.

18          Q.       And it's within those fault lines? You  
19 have contained it within them?

20          A.       Yes.

21          Q.       Can you tell me why it is necessary to have  
22 a 650-barrel allowable?

23          A.       We do not want to limit the Yates  
24 productivity in their gas farm.

25          Q.       And that is basically your sole reason for

1 picking 650 barrels as a limit? You just don't want  
2 to unfairly treat Yates?

3 A. There is another factor, in that if we do  
4 not produce our gas at an adequate rate, we will  
5 recover no oil. This will be discussed by the  
6 engineering witness as well.

7 Q. So at least your understanding is that you  
8 won't have an oil well out there unless you produce  
9 significant amounts of gas?

10 A. That is correct.

11 Q. And again, the 20,000 to 1 GOR that you're  
12 requesting, again I believe you testified that the  
13 reason that you picked such a high GOR was because you  
14 did not want to penalize Yates?

15 A. That is correct. The testing that we did,  
16 we were running GORs anywhere from 9,000 to 1 up to  
17 15,000 to 1. It also came with slightly above what  
18 our tests indicated.

19 Q. Did you compute the gas/oil ratio if you  
20 were producing 350 barrels at 3.5 million, what that  
21 gas/ratio is?

22 A. It was about 9,000 to 1.

23 Q. 9,000 to 1?

24 A. Yes, sir.

25 Q. So basically, from the--

1           A.       At a lower rate it was a higher GOR, which  
2 is rather anomalous for this type of a reservoir.

3           Q.       So basically, at least at this time, in  
4 your testings you have not at least proven a need for  
5 a GOR of 20,000 to 1 out of your well?

6           A.       No. Our highest GOR at the lowest rate  
7 that would produce oil was about 15- to 16,000 to 1.  
8 There will be an exact number with the next witness.

9           Q.       Now, is there any doubt in your mind, Mr.  
10 Ahlen, that the Pathfinder #6 well, the #3 well, which  
11 are both Yates wheels, and the McBride well which is a  
12 Stevens Operating well, is there any doubt in your  
13 mind that those three wells are sitting in the same  
14 pool or in communication with each other?

15          A.       No doubt in my mind. I think they're quite  
16 well connected by fracturing within the pool itself,  
17 as well as being the same stratigraphic horizon.

18          Q.       Now, Mr. Ahlen, you're basically familiar  
19 with the proposition that some oil wells do have, as a  
20 drive mechanism, a gas cap, is that correct?

21          A.       Yes, sir.

22          Q.       If one depletes the gas cap too rapidly,  
23 hasn't it been proven by the industry that that could  
24 also result in a loss in recoverable oil?

25          A.       Oh, yes. That's why we're asking for a

1 temporary testing allowable only. We have absolutely  
2 no intention of making this a permanent ruling. We  
3 need to find out additional information before  
4 permanent rules are established for the pool.

5 Q. At least you do recognize and Stevens  
6 Operating recognizes that if we did make a mistake out  
7 here we could hurt ourselves, both Yates Petroleum  
8 Corporation and Stevens, if you unduly depleted that  
9 gas cap?

10 A. Absolutely. Stevens wants the greatest  
11 return on their investment. It's obvious that the oil  
12 is much more valuable than the gas in this pool.

13 MR. CARROLL: May I have just a second, Mr.  
14 Examiner? (Pause) Just a couple more questions, Mr.  
15 Catanach.

16 Q. Mr. Ahlen, you made the pronouncement that,  
17 in your opinion, an adoption that what Stevens Oil is  
18 proposing here would prevent waste, is that correct?

19 A. Yes, sir.

20 Q. If what Stevens Oil is proposing would  
21 cause an unnecessary depletion of the gas cap, i.e.,  
22 there might be other ways of testing, wouldn't you  
23 consider that unnecessary depletion of the gas cap  
24 waste also?

25 A. Not really, so long as we stay within two

1 or three percent of the total reservoir volume. I  
2 don't think that would constitute irreparable waste.

3 Q. If we're trying to determine what's  
4 wasteful and not, we need to pretty well have a handle  
5 on what the reservoir volume is?

6 A. Yes, sir.

7 Q. Because if we miss our guess on how big the  
8 reservoir is, then we could be missing our guess on  
9 predicting how much damage we may be doing to that gas  
10 cap, i.e., reducing it by one or two percent as  
11 opposed to 10 or 12 percent?

12 A. There's no chance, I don't think, that we  
13 would be producing 10 to 12 percent of the gas in  
14 place by the testing that we're proposing.

15 Q. Have you done or performed any studies with  
16 numbers to tell you that?

17 A. I have heard some but what I tell you would  
18 be only hearsay, and I prefer not to do that.

19 Q. So you're basing that statement, then, upon  
20 other person's work or--

21 A. Qualified persons, yes, sir.

22 Q. All right. Now, you've also stated that  
23 with respect to the harm that Stevens Oil would be  
24 experiencing if they didn't allow this to happen, I  
25 believe you basically made it or summed it up in the

1 statement that Stevens would not be able to produce  
2 their rightful share of the oil and gas in place, and  
3 that's what you're worried about.

4 Well, if the Commission were to adopt,  
5 let's say, more restrictive guidelines for the testing  
6 of this area, i.e., a shorter time period, lesser  
7 amounts of oil to be produced, and a lower GOR, if  
8 that was applicable to all parties in this pool, then  
9 Stevens Oil would not be unduly or unfairly harmed,  
10 would they?

11 A. It depends if the allowable is lowered to  
12 such an extent that we can't produce any oil at all to  
13 evaluate the reservoir. We need an adequate amount of  
14 gas production to get the oil to the surface. We  
15 cannot do that on a GOR of 2,000 to 1. That's already  
16 been demonstrated to us by our well testing. I should  
17 say, a state-wide rule.

18 Q. The state-wide rules dictate a 2,000 to 1?

19 A. Yes, sir.

20 Q. Are you aware of any other oil wells in  
21 this area that have a proration set at 320 acres?

22 A. I am not aware of any anywhere.

23 Q. This would be a first time, would it not,  
24 at least in Southeastern New Mexico?

25 A. Yes. Remember, we primarily set up the 320



1 to accommodate a 320-acre gas unit immediately  
2 offsetting us to the north.

3 Q. All of these wells were drilled on 320s  
4 contemplating that they would be gas wells, is that  
5 correct?

6 A. That is correct.

7 Q. Why would you leave the #6 well out of this  
8 pool?

9 A. Because it's an oil well.

10 Q. But it is in communication with the other  
11 two wells, though?

12 A. Yes.

13 Q. The McBride well is also an oil well?

14 A. We think so.

15 Q. What basis, then, would you have for  
16 leaving it out, if we got your pool as an oil pool and  
17 that's an oil well and it's adjacent to it?

18 A. We would be willing to include it, if Yates  
19 would so elect.

20 MR. CARROLL: I pass the witness.

21 MR. STOVALL: Any redirect?

22 MR. CARR: A little bit.

23 MR. BRUCE: I have just one question.

24 EXAMINER CATANACH: Go ahead, Mr. Bruce.

25

## EXAMINATION

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

BY MR. BRUCE:

Q. Mr. Ahlen, what is the basis for requesting only lay-down units in this pool?

A. The basis is that's the previously existing configuration of the proration units.

Q. In other words, the first two wells were lay-down units, in effect?

A. Yes, sir.

MR. BRUCE: Thank you.

REDIRECT EXAMINATION

BY MR. CARR:

Q. Mr. Ahlen, in response to questions by Mr. Carroll, you stated that depleting a gas cap could harm a reservoir, isn't that correct?

A. Yes.

Q. Is that your conclusion in regard to this particular reservoir, that that is going to occur?

A. With the limited temporary allowable that we're requesting, I do not feel as though we will overly damage the reservoir in this instance. We need additional information to develop what the real story is in the pool.

Q. Before you can reach that conclusion, what do you have to know about the water drive?

1           A.       You have to know whether it is active or  
2 not, first, then you need to know the degree of  
3 activity, whether it's a 50-percent water drive,  
4 75-percent water drive or 10-percent water drive.

5           Q.       With the data available now, do you know  
6 that?

7           A.       Absolutely not.

8           Q.       Would it be helpful to know whether you  
9 have oil saturated rock in the gas zone?

10          A.       Yes, it would.

11          Q.       Do you know that now?

12          A.       We do not.

13          Q.       Now, we talked about wells in this area and  
14 whether or not you're aware of any other oil well that  
15 has this sort of spacing. Are you aware of any other  
16 oil well in the area that is displaying the producing  
17 characteristics of the Stevens well in Section 28?

18          A.       Yes. Up in the Foor Ranch, Fred Pool has a  
19 gas well that actually produces oil along with the  
20 gas. He has a second well in the same section,  
21 Section 13, that produces condensate. So there very  
22 definitely are other wells in this area that are oil  
23 pools with a gas cap. Now, in Foor Ranch, the oil  
24 ring is extremely thin and probably is not effective.

25          Q.       Would it be comparable to the situation you

1 see in this reservoir?

2 A. Yes, sir.

3 Q. When the application was made for these  
4 particular rules, are you aware of what the status of  
5 the #6 well was at that time?

6 A. It hadn't even started drilling yet.

7 Q. Is that one of the reasons it was not  
8 included in the pool?

9 A. That's correct.

10 MR. CARR: That's all I have.

11 MR. STOVALL: I have a rather unusual  
12 situation or request here at this point in the  
13 hearing. In listening to Mr. Carroll's  
14 cross-examination, both the Examiner and myself are  
15 not quite certain where Yates is coming from and what  
16 their position is.

17 I think, before you speak, Mr. Carroll, I  
18 think what we would like to ask at this point, and  
19 then we'll give Mr. Bruce also, if you care to do so  
20 on behalf of Marsh, that would be fine, but if you  
21 would just make a very brief statement of the concerns  
22 so that when we listen to the cross-examination and  
23 your witnesses, we can have some idea what your  
24 position is. Then, Mr. Carr, if you have any concerns  
25 that you would like to respond to in clarifying your

1 position, fine. I think we understand Stevens'  
2 position, but not Yates' at this point.

3 MR. CARROLL: Fine. The discovery well out  
4 here is the #3 well, and it was drilled a little over  
5 a year ago. We thought we had a gas well. There was  
6 no line to produce that well in that area at the time  
7 it was drilled.

8 Yates entered into negotiations,  
9 Transwestern agreed to build, and it's only just been  
10 recently built out to this area. So the well has  
11 never been produced or really tested, other than just  
12 the initial testing and what have you.

13 Then the McBride well was drilled and then  
14 we began drilling the #6 well, and the results that we  
15 became aware of from the McBride well and the #6 well,  
16 changed our thinking that we may not have a gas well,  
17 we may have an oil pool out here with a gas cap.

18 We're very concerned about it because we  
19 couldn't deplete the gas cap. We feel that this  
20 reservoir is a limited reservoir as defined by our  
21 seismic, which we will testify to, and that the  
22 temporary rules that are being requested by Stevens  
23 Oil could, realistically, deplete as much as 10 to 15  
24 percent of that gas cap in the nine months, or even  
25 shorter period. This is why we are here, because that

1 could, in effect, cut in half the amount of  
2 recoverable oil. And we'll testify about the reserves  
3 which we predict.

4           What we are going to propose, then, in  
5 opposition or for consideration of the Commission, is  
6 that we are, right now, involved in some very  
7 extensive testing on both the #3 and the #6 well. We  
8 would propose temporary rules for 90 days. We would  
9 ask that we limit the barrels to 222 barrels, and the  
10 GOR to the state-wide rules, it's 2,000 to 1.

11           We feel that that would allow the kind of  
12 testing that is necessary out there to determine what  
13 kind of reservoir we have without taking the risk of  
14 depleting the gas cap. And our testimony will be  
15 directed at that, I think, and that's what we're going  
16 to propose to the Commission as a solution.

17           MR. STOVALL: Mr. Bruce, did you have  
18 anything you wanted to add?

19           MR. BRUCE: No. We don't oppose Stevens'  
20 application. We're just here for information. We're  
21 an offsetting interest owner--working interest owner.

22           MR. STOVALL: Mr. Carr, did you need to  
23 clarify in any way? Mr. Ahlen, we're not examining  
24 you at this point. We just want to know where we're  
25 coming from.

1           MR. CARR: Basically, our position is that  
2 we have a reservoir that is performing in a way that  
3 was not initially anticipated, that what is needed now  
4 is the acquisition of additional information. And  
5 what we have proposed, we thought, would enable us to  
6 obtain that information and, at the same time, not  
7 pose problems for the offsetting Yates wells.

8           I can tell you now that the recommendation  
9 that Mr. Carroll has just proposed has to be  
10 unsatisfactory to us because with the limits they've  
11 imposed, not the 90 days as much as the gas/oil ratio,  
12 it's simply going to be impossible to produce any  
13 oil. The question becomes, when you have substantial  
14 volumes of oil under your tract, you have wells that  
15 aren't performing like you would expect, what you have  
16 to do is to be able to acquire information so you can  
17 make some informed judgments and not be restricted to  
18 producing some gas from a well that is in an oil pool  
19 while other wells in the pool produce the oil that's  
20 under your tract. That's where we are. It's  
21 complicated and it's not what anybody, I think,  
22 expected when the wells were initially drilled.

23           MR. STOVALL: Usually we can figure out,  
24 coming in, what the opponents are saying. This time  
25 it was really unclear.

1 (Discussion off the record.)

2 EXAMINATION

3 BY EXAMINER CATANACH:

4 Q. Mr. Ahlen, you're pretty confident that  
5 what you're dealing with is an oil reservoir?

6 A. Yes, sir.

7 Q. With a gas cap?

8 A. Yes, sir.

9 Q. On what basis, besides leasehold interest  
10 or anything else, are you proposing the 320-acre  
11 spacing?

12 A. It is primarily an indication that we  
13 didn't want to penalize Yates Petroleum Corporation  
14 because they had a gas well. It was completed as a  
15 gas well and we knew nothing different until just a  
16 few days ago. What they have, they have now  
17 recompleted their gas well to a well that will produce  
18 oil.

19 Q. I see. So you don't have any technical  
20 support to justify your position that these wells will  
21 drain 320 acres?

22 A. No, sir.

23 Q. How deep are these wells, Mr. Ahlen? Let  
24 me rephrase that. In terms of a depth bracket  
25 allowable, what would they receive?



1           A.       6,000 to 7,000 feet. The deepest well is  
2 the dry hole to the north, and it's 7,216 feet deep.  
3 The other wells are 500 feet shallower than that.

4           Q.       How did you arrive at your 650 barrels a  
5 day allowable?

6           A.       Just took 160-acre depth bracket figure and  
7 doubled it. No? Excuse me. There's a better witness  
8 to that.

9           Q.       I was going to tell you that was  
10 incorrect. As I understand it, you have not done any  
11 calculations to determine the volume of gas?

12          A.       That is correct. I have not.

13          Q.       Is the Stevens well currently just  
14 completed below the gas/oil contact?

15          A.       It has perforations in the gas column and  
16 the oil column. They are all open. It has been  
17 tested--all of those perforations have been tested  
18 simultaneously. We have also tested it with a packer  
19 at what we consider to be the gas/oil contact. We  
20 have produced with an annulus only, in the gas zone  
21 only, we've also produced through the tubing in the  
22 oil zone only.

23                 We have done extensive testing attempting  
24 to evaluate all these things, but we hesitate to test  
25 too much because it's a waste of natural resource.

1 When we vent that gas, it's lost forever and we lose  
2 money, just as Yates does. That's why we don't want  
3 to do extremely extensive testing and waste money. We  
4 would much rather do it into the pipeline.

5 Q. You mentioned one test that you had  
6 conducted that you recovered 350 barrels a day at 3.5  
7 million cubic feet a day. Is that from both zones,  
8 from all the zones open?

9 A. No. That was from one of the zones only.  
10 There will be testimony to those exact tests in just a  
11 few moments.

12 Q. You testified that your testing did  
13 indicate that this was a highly fractured reservoir?

14 A. Yes, the testing does indicate that, as  
15 well as the drilling characteristics, as well as  
16 reference to the resistivity log that we did run. On  
17 hearsay evidence, the Yates wells also are highly  
18 fractured. They ran devices in the hole that more  
19 exactly treat that subject. I have not seen those  
20 logs, though.

21 EXAMINER CATANACH: I think that's all I  
22 have for now. The witness may be excused, if there's  
23 nothing further.

24 MR. CARR: Nothing further.

25 MR. CARROLL: No.

1 EXAMINER CATANACH: Let's take a 10-minute  
2 break.

3 (Thereupon, a recess was taken.)

4 EXAMINER CATANACH: Call the hearing back  
5 to order. Mr. Carr, you may proceed.

6 MR. CARR: At this time we call Mr.  
7 Davis.

8 PAUL H. DAVIS

9 the witness herein, after having been first duly sworn  
10 upon his oath, was examined and testified as follows:

11 EXAMINATION

12 BY MR. CARR:

13 Q. Would you state your full name for the  
14 record, please.

15 A. Paul H. Davis.

16 Q. Mr. Davis, where do you reside?

17 A. In Midland, Texas.

18 Q. What do you do for a living?

19 A. I work for Williamson Petroleum Consultants  
20 as a consulting engineer.

21 Q. Have you been employed as a consulting  
22 engineer by Stevens Operating Corporation in this  
23 case?

24 A. Yes, I have.

25 Q. Have you previously testified before the

1 New Mexico Oil Conservation Division?

2 A. Yes, sir, I have.

3 Q. How long ago was that?

4 A. It's been approximately 10 years ago.

5 Q. Could you briefly review for Mr. Catanach  
6 your educational background and work experience?

7 A. Certainly. I spent 19 years with a major  
8 oil company; six years of that was as a field  
9 engineer, seven years as a reservoir engineer, and  
10 another six years as a unitization and proration  
11 engineer. After that I went to work for Williamson  
12 and I've worked for them for the past 10 years in  
13 primarily reservoir work.

14 Q. Are you familiar with the application filed  
15 in this case on behalf of Stevens Operating  
16 Corporation?

17 A. Yes, I am.

18 Q. Have you made a study of the area?

19 A. Yes, I have.

20 MR. CARR: We tender Mr. Davis as an expert  
21 witness in petroleum engineering.

22 EXAMINER CATANACH: He is so qualified.

23 Q. Mr. Davis, have you prepared certain  
24 exhibits for presentation here today?

25 A. Yes, I have.

1           Q.       Would you refer to what has been marked as  
2 Davis Exhibit 5, identify this exhibit and then review  
3 it for the Examiner?

4           A.       Yes.   Exhibit No. 5 is a report from  
5 Schlumberger Well Services in reference to production  
6 loading and testing which they did on the McBride  
7 State Com. Well #1. This testing was done to  
8 undertake an extensive testing program to determine  
9 two things: One was the producing rates from  
10 particular zones, and the other was the type of fluid  
11 from each zone.

12                   In order to accomplish this purpose,  
13 Schlumberger measured four different quantities  
14 simultaneously and used them to come up with  
15 solutions--with answers. The first measuring device  
16 they used was an adaptable Packer flowmeter which, in  
17 essence, measures the rate of flow using a spinner  
18 survey. It also incorporates a flexible diaphragm  
19 that puts all of the fluid through that spinner  
20 survey.

21                   The second device they used was a  
22 gradiomanometer. This measures the differential  
23 pressure between two points, and its primary purpose  
24 is to determine the fluid density is at any place and  
25 also to distinguish what is the gas and oil and

1 water.

2           The third device that was used is a  
3 temperature survey, and this is to get a temperature  
4 profile under static conditions and then to get one  
5 under flowing conditions, and make comparisons with  
6 that temperature profile and make determinations from  
7 that.

8           The fourth and final device that was used  
9 is called a manometer, and this is simply a pressure  
10 measuring device in the hole and it simply measures  
11 bottomhole pressure, and it's used to make corrections  
12 from reservoir conditions to surface conditions in the  
13 calculations.

14           So, all four of these surveys are run  
15 simultaneously. We have the results of four different  
16 runs, the static test and three flowing tests that I  
17 would like to review. If you'll turn back to--

18           Q.     Are these the logs that are attached to the  
19 report?

20           A.     That's correct, as figures 1 through 4.

21           Q.     Would you go to figure 1, identify which  
22 test this was and then explain the results?

23           A.     Okay. Figure 1 is the log that depicts the  
24 well in a shut-in condition. I think I need to  
25 perhaps go over what the curves are and how they

1 relate to each other so that we can have some  
2 understanding of what we're looking at.

3           The curve on the left is the Gamma Ray  
4 curve, just a standard Gamma Ray curve. Just to the  
5 right of that, and almost on top of the centerline of  
6 the left-hand track, you can see that it departs from  
7 that down in the lower part of the curve, is the  
8 manometer or pressure reading. You'll notice that it  
9 changes in gradient at about 6345, from a slope to  
10 just a straight line.

11           The next thing I wanted to point out was  
12 the perforations which are just to the left of the  
13 bore hole. They're numbers and start with number  
14 three near the top, number one and two being packer  
15 reflections, and they do skip certain numbers but  
16 that's because there's two perforations, too close to  
17 each other to get both of them on here. These are the  
18 perforations that are in the well.

19           The logs on the right-hand side of the log,  
20 first of all, it's been highlighted in yellow, is the  
21 temperature survey. This temperature survey goes, as  
22 indicated above, from 120 to 130 degrees Fahrenheit.  
23 The blue curves are fluid density, which is measured  
24 by the gradiomanometer, and the solid line is the  
25 fluid density and its scale is at the top and it goes

1 from zero to one to two. One in the center would be  
2 the density of water in grams per cc. The dashed  
3 lines, then, that are also highlighted in blue, are  
4 nothing more than just an amplified fluid density, and  
5 we do not have a scale on here to tell what those  
6 specific values are.

7           Now, the specific gravity, for instance,  
8 that's shown on the blue curve, would have a reading  
9 of approximately 1.4, which we know is probably much  
10 higher than what the formation of water actually is,  
11 and so Schlumberger explained that by saying that  
12 there were materials that got into their tool on the  
13 way down and as a result it always gave a higher  
14 reading than what it should give, but it's relative.  
15 So this is a qualitative type log rather than a  
16 quantitative.

17           Q.     What does it show you?

18           A.     This particular log shows, down at the  
19 bottom, a depth of 6347 feet there is a change in the  
20 density to show that we've gone from the water into  
21 the oil column.

22                   Just above that, then, at 6334, there's a  
23 second change in rate. It shows where the gas is.  
24 This is where the fluids are in the wellbore and they  
25 don't necessarily reflect where they are in the well



1 formation.

2 Now, incidentally, for instance on this  
3 particular one, we've had the oil/water contact at  
4 6405, which is just almost down off the page. That's  
5 the formation for oil/water contact.

6 Q. Let's go to figure 2 and I would ask you to  
7 review what's shown thereon.

8 A. On figure 2, we have the same logs. We  
9 have added one additional log at this time, of course,  
10 because this figure 2 is with the well flowing at a  
11 rate of 2.6 million cubic feet per day and 250 barrels  
12 of oil per day. Let's go on a curve-by-curve basis,  
13 similar to what we did before.

14 The pressure gradient on the left has  
15 changed the gradient. You can see that instead of  
16 following the center, the left-hand log straight up,  
17 it is bearing to the left, indicating a lower pressure  
18 at that point, which means that there is gas in the  
19 column and that's what it is like in the column at  
20 that point. It is more constant gradient.

21 The fluid density curve has a deflection  
22 that's moved up from the last curve from about 6347 to  
23 6327, and the temperature curve has a deflection also  
24 at about 6322, and this deflection here can be  
25 interpreted as oil entering.

1           The curve that we mentioned, the red curve,  
2 which is the first time we've seen it, this is the  
3 results of the spinner survey. If you start at the  
4 bottom from that, we'll notice it shows zero fluid  
5 entry at a point about 6348. I need to back up one  
6 time because there on the right-hand part of the bore  
7 hole, it has little dots. Those dots indicate where  
8 the spinner survey was taken at each survey as you go  
9 up the hole. There was probably some movement in the  
10 bore hole down below the indicated point there at  
11 6334, because the spinner will not operate at rates  
12 below 10 barrels of oil per day.

13           We can tell from the density curve that  
14 there's mostly gas movement above 6332, and mostly oil  
15 movement below that point. If we follow the red curve  
16 from the bottom, at the point there at 6314, it still  
17 shows the 250 barrels of oil per day which is the  
18 maximum that will produce from this well at this rate,  
19 and just some gas.

20           The next point up shows mostly gas entry,  
21 and as the spinner survey is moved up the hole, we  
22 show more and more gas production but with the same  
23 oil production. This is a pretty linear function.

24           Q.     Anything else on figure 2?

25           A.     I might mention one thing on the fluid

1 density curve. It kind of gets wavy up towards the  
2 top of it, and we feel like it's due to changes in the  
3 gas column. There's an increase in gas in the  
4 liquids.

5 Q. Let's go now to figure 3. Could you  
6 explain what this shows?

7 A. Figure 3, we reduced the flow rate from 2.6  
8 million a day to 1.5 million a day, and at this rate  
9 we get 50 barrels of oil per day along with it, as  
10 opposed to the 250 barrels a day we get at the 2.6  
11 million rate.

12 The general description here is that almost  
13 100 percent of the oil comes from below 6314 depth,  
14 because that's the first interval where we show the 50  
15 barrels per day which is the maximum fluid entry that  
16 we show at this rate. This doesn't have the linear  
17 shape of the curve that we had at the higher rate.

18 We don't see a lot of gas entry, really,  
19 until we get up to around 3258, where it departs and  
20 goes into higher gas rates. As an example of that,  
21 from the three perforations above 6248, 58 percent of  
22 the gas comes from there. If we look at the very top  
23 perforation, the number three, over 29 percent of the  
24 total gas entering the well comes from that one  
25 perforation.

1 Q. Let's go on to figure 4.

2 A. In figure 4, we begin to reduce the rate of  
3 flow at this time to 680 Mcf per day, and we've got  
4 zero oil production as a result of it. If you look at  
5 the spinner survey, we show that over 100 percent of  
6 the gas is entering above 6274 with no movement in the  
7 wellbore below that point.

8 Q. Mr. Davis, what conclusions can you draw  
9 from this information?

10 A. I think one of the conclusions I have would  
11 be in the next exhibit, if we could.

12 Q. Let's go to Exhibit No. 6. I would ask you  
13 to identify this?

14 A. Okay. Exhibit No. 6 is kind of a graphic  
15 illustration of the four logs that we just looked at.  
16 One thing, of course, that's evident from the tests  
17 that were run, the well was producing oil from the  
18 lower perforations and gas from the upper  
19 perforations. I think that's basic.

20 As the gas rate decreases, the oil also  
21 decreases until you get to the 680 Mcf per day, at  
22 which no oil is produced. That we can demonstrate on  
23 this particular log by showing those levels within the  
24 wellbore to the first fluid movement at the various  
25 rates of flow.

1           If we start from the bottom up, there at  
2 6367, wells were producing at a rate of 2.6 million  
3 day, 250 barrels of oil a day, GOR is at 10,400. If  
4 we reduce that rate to 1.5 million a day we get 50  
5 barrels of oil, GOR increases to 30,000. This happens  
6 there at 6310.

7           If we go up to what we show as the point of  
8 lowest fluid movement at 6258 at the rate of 680 Mcf a  
9 day, we get no oil. The GOR here we put at 680,000.  
10 That would assume one barrel of liquid produced.  
11 Mathematically it's infinite.

12         Q.     Could you summarize now exactly your  
13 conclusions?

14         A.     The conclusion from that is that as you  
15 reduce the rate of the flow from the well, that you  
16 produce less and less liquids until at lower rates you  
17 produce no liquid at all.

18         Q.     At those lower rates the oil and the liquid  
19 is left in the reservoir?

20         A.     That's right.

21         Q.     Are you ready to go to Exhibit 7?

22         A.     Yes.

23         Q.     Could you identify what Exhibit 7 is?

24         A.     Exhibit No. 7 is actually three different  
25 tests that were run on the McBride State Well #1 at

1 different times. The first flow test was taken during  
2 the Schlumberger testing. These rates that are shown  
3 on this particular exhibit are actually the surface  
4 flow rates. You compare this, then, to what  
5 Schlumberger shows on their logs and they compared it  
6 very favorably in value--close agreement.

7 Q. Page 1 is the November 30 test. Were all  
8 perforations tested at this time?

9 A. Okay. This is the November 15th test we're  
10 looking at, and this is all perforations that are  
11 being tested.

12 Q. What was the length of that test?

13 A. The total length of the test was from 10:15  
14 in the morning until 6:30 at night was the total run  
15 of the test, so a relatively short length of time.

16 Q. Let's go to the next page.

17 A. Okay. The test on the McBride State #1,  
18 just testing the lower perforations by moving the  
19 packer down between the upper and the lower  
20 perforations; that is, between the gas and the oil  
21 zones. These tests were run at a fairly constant  
22 rate, at about a million and a half a day as we go  
23 down to larger choke settings in time.

24 The one thing that I think should be  
25 mentioned here is that there is an increase, as we

1 increase the amount of gas and the amount of fluids  
2 that are produced with it; for instance, from the  
3 first test it goes from 80 barrels a day to the next  
4 rate of 144 to 170, and the last rate drops to 153,  
5 but this is the first rate at which we see some water  
6 production. So there is some evidence, at least in  
7 this test, there is some water coning in the  
8 reservoir.

9 Q. Anything else on Exhibit No. 7?

10 A. One comment is that at the GORs that are  
11 indicated on the test that was taken on December 19th  
12 will be quite similar to the GORs that we'll see on  
13 the December 21st test, which is of the upper  
14 perforations of the annulus of the well.

15 I have the data from this flow test plotted  
16 as the next exhibit but there are a couple of things I  
17 would like to point out before we go to that exhibit.  
18 In the test that was between 11:30 and 12:15 p.m.,  
19 that's the first time during that period that the  
20 condensate turned to oil. So it's definitely an oil  
21 reservoir. We had condensate to start with, but after  
22 a certain amount of flow period, we went to an actual  
23 oil rate.

24 And the next rate, you can see where that  
25 gravity was measured at 42.5, which has some influence

1 of condensate from it. We feel like the actual  
2 gravity out here is probably closer to 35 degree API.

3 Q. Are you ready to go to your graph?

4 A. Yes.

5 Q. Take a look at that and explain to Mr.  
6 Catanach what you've depicted on this exhibit?

7 A. This is really the data from the previous  
8 exhibit. On the left-hand column we have scales  
9 showing the rate of gas production the rate of oil  
10 production and the rate of water production. I would  
11 point out, too, that the oil and the water are on the  
12 same scale, so that those volumes of oil and water  
13 would be compared.

14 Also, in the left-hand scale we show the  
15 choke settings at each of the different flow rates for  
16 these six test rates. Over in the right-hand margin  
17 is the scale for the GOR, which is also plotted.  
18 About the first flow period at the bottom is for 90  
19 minutes, and the flow period of each of the additional  
20 tests are shown at the bottom.

21 The first 90-minute flow period did not  
22 have fluid with it, but this well had been shut in and  
23 it was probably unloading fluid overnight and what  
24 fluid had built up during that period of time. The  
25 second flow period started at the time the condensate



1 turned to oil, so that that should be a more  
2 representative value. You can see, as flow rate  
3 decreased on the gas production, it also decreased on  
4 the oil production and the water production. But the  
5 strange thing about it is that the GOR increased  
6 during this same period.

7           The GOR went to a maximum value that  
8 exceeded 20,000 to 1, which is what we had requested  
9 in the field rules. The last test was for a very  
10 short time period and we feel like it really hadn't  
11 stabilized in, and that's probably what accounts for  
12 the oil rate still going down at that time.

13       Q.       Basically the information on these exhibits  
14 confirmed Schlumberger's conclusion?

15       A.       Yes. This is just another test that's  
16 independent of those tests.

17       Q.       Mr. Davis, do you have an opinion as to  
18 what flow rates are necessary if the oil under the  
19 Stevens tract is to be produced?

20       A.       The rate that we feel like we need in order  
21 to produce the fluids that are in the well is 2.5  
22 million a day.

23       Q.       In your opinion, if Stevens' application is  
24 granted, will waste be prevented?

25       A.       Yes, we think it will, in the overall

1 picture. Of course, we understand and appreciate this  
2 is a water dry reservoir, we have a gas cap involved.  
3 There is risk in losing some of that production into  
4 the gas cap, the residual being nonrecoverable.

5           At this time I believe there is an active  
6 water drive but the water influx that we have may not  
7 replace the hydrocarbons that are being withdrawn so  
8 this tells us that it may be just a partial water  
9 drive rather than a full water drive. This is  
10 something that we don't know at this time. It's also  
11 possible, as was mentioned earlier, that the reservoir  
12 could be oil saturated. Therefore, there would be no  
13 loss as far as the oil moving to the gas cap and  
14 having a residual saturation if you had depletion.

15           Q.     At this point in time, is it possible to  
16 determine the maximum efficient rate at which to  
17 produce this reservoir?

18           A.     No, I think the reservoir is way too  
19 early. There's been so little withdrawal from that  
20 reservoir, and we need to have a test allowable that's  
21 sufficient in order to test that.

22           Q.     Could you explain basically what Stevens  
23 proposes to do during this testing period? What kinds  
24 of tests or logs will be run?

25           A.     One log we've already ran that will have to

1 be rerun is a TDT log, to try to determine where the  
2 oil/water contact is and the gas/oil contact is.

3 Q. That's a TDT?

4 A. TDT, yes, thermal delay time. Of course,  
5 the second thing we would want to run would be  
6 periodic pressure tests, pressure tests daily as far  
7 as the flow rates go, bottomhole pressure on a  
8 periodic basis.

9 Q. Is it going to be possible to move towards  
10 a balance whereby you can produce the reservoir at a  
11 more efficient rate?

12 A. That's the basis of what we're trying to  
13 find here. It's what Stevens wants, just to get all  
14 that we can out of it but at a maximum efficient rate,  
15 and that's what we're trying to calculate.

16 Q. Do you foresee harm to the reservoir by  
17 implementing a test program to acquire this  
18 information?

19 A. There's always that danger. But at the  
20 rate that we've asked for--I haven't done any exact  
21 calculations on this--but we're talking on the range  
22 of five percent of the total reservoir volume. With  
23 that volume, that's pretty minimal in order to  
24 determine what the MER should be for the field.

25 Q. In your opinion, would it be prudent to go

1 forward with the development of the reservoir without  
2 first obtaining this additional information?

3 A. No. Well, I think that it would certainly  
4 be better to have the information before we do that.

5 Q. When you talk about removing five percent  
6 of the reservoir, you mean the total reservoir or the  
7 reservoir that exists under the Stevens tract?

8 A. Those calculations were made based on the  
9 original gas in place on what we calculated as a  
10 320-acre proration unit.

11 Q. The present recommendation by Stevens  
12 proposes 320-acre development. Do you have an opinion  
13 on that?

14 A. Well, of course, the original  
15 recommendation or request by Stevens was for 320  
16 acres. As we explained, we had done that primarily  
17 because of the Yates well. We feel like that we could  
18 probably live with 160-acre spacing at this time.

19 Q. What about the gas/oil ratio of 20,000 to  
20 1? Is that something you believe is necessary to  
21 effectively test and obtain data on the reservoir  
22 during the test period?

23 A. We hope it will be a maximum rate, GOR  
24 rate, that we would ever have to use. We need to have  
25 that flexibility in our testing in order to define the

1 reservoir.

2 Q. You could adjust this rate as you attempt  
3 to establish the maximum efficient rate for producing  
4 the reservoir?

5 A. Yes.

6 Q. In your opinion, will granting this  
7 application be in the best interest of conservation  
8 and the prevention of waste?

9 A. Yes, it would.

10 Q. Is Exhibit 9 an affidavit and accompanying  
11 letter showing that notice of the hearing had been  
12 given as required by Oil Conservation Division rules?

13 A. Yes, it is.

14 MR. CARR: At this time, Mr. Examiner, we  
15 would offer Stevens Exhibits 5 through 8, and also 9,  
16 which is the affidavit.

17 EXAMINER CATANACH: Exhibits 5 through 9  
18 will be admitted as evidence.

19 Q. Do you have anything further to add to your  
20 testimony at this time?

21 A. No.

22 MR. CARR: Pass the witness.

23 EXAMINATION

24 BY MR. CARROLL:

25 Q. Mr. Davis, let me ask you some general

1 questions and then we'll go into some more specifics  
2 directed at your testimony. As a general proposition,  
3 are high permeability vertical fractures consistent  
4 with a transition zone 75-foot thick?

5 A. Probably.

6 Q. Probably? The McBride well, was it  
7 completed as a gas well or as an oil well, according  
8 to the records of the Oil Conservation Division?

9 A. I believe it was originally filed as an oil  
10 well--no, as a gas well? and later refiled as an oil  
11 well.

12 Q. Okay. If you have a water drive in a  
13 reservoir, is it better to keep the gas in a gas  
14 cap--suppose we do have, and this is kind of a  
15 hypothetical--and we have a reservoir, an oil  
16 reservoir with a water drive and a gas cap in place,  
17 is it better to keep that gas in the gas cap or try to  
18 preserve that gas or to let the oil move into the gas  
19 cap?

20 A. If there's no prior oil saturation in the  
21 gas cap, it would be better to keep it out.

22 Q. The exhibit that had the reports of the  
23 testing, I guess that's Exhibit 7, the test periods,  
24 that was just during the latter part of last year,  
25 were they not, November and December tests?

1           A.       That's right. I think all three of these  
2 tests were in the December period.

3           Q.       How much water was produced during this  
4 testing?

5           A.       Total amount? I don't know the answer to  
6 that. We know from Exhibit 8 what was produced at the  
7 difference rates, but I don't know what the total  
8 amount of water is. We feel like the water is  
9 probably more than any load water that was there, if  
10 that's what you're asking. It exceeded the load  
11 volume.

12          Q.       Has any further testing been performed on  
13 this McBride well since the first of the year,  
14 January, February?

15          A.       There have been some recent tests in the  
16 last few days, and I saw one of them just a few  
17 minutes ago and that's really the only information I  
18 have. They have been tested, though.

19          Q.       What you saw, did that depict any  
20 significant difference from the tests that were taken  
21 back in December of 1989?

22          A.       No. The basic thing that was depicted  
23 there is that there was communication in the test  
24 between the upper and lower perforations.

25          Q.       All right.

1           A.       We saw a pressure drop, for instance, in  
2 the upper perforation than in the lower perforations.

3           Q.       What you did, apparently you used a packer  
4 to test the upper perforations as opposed to the lower  
5 perforations, and when you had the lower ones squeezed  
6 off you saw a decrease in pressure in both areas?

7           A.       That's right. And the packer really has  
8 not moved since the December tests were taken.

9           Q.       That packer, it sat, then, at the  
10 approximate area of what you considered to be the  
11 gas/oil contact?

12          A.       Yes, it is.

13          Q.       Was any water produced during that test in  
14 February?

15          A.       I don't know the answer to that.

16          Q.       Judging from what you've just told us and  
17 the fact that Stevens knows or at least contends that  
18 it has set the packer in the area of the gas/oil  
19 contact, can you tell me why Stevens has perforated  
20 across both areas, both across the oil column and into  
21 the gas area?

22          A.       The only reason I would know, they wanted  
23 to test both intervals to see what was there and what  
24 rates would be produced from those, so both those  
25 intervals were opened.



1           Q.       Now, I guess a shorthand conclusion to be  
2 drawn from the Schlumberger testing is that in fact  
3 the gas comes from the upper perms and the oil comes  
4 from the lower perms? Is that basically what all of  
5 these different tests indicated?

6           A.       That's one of the things they indicate,  
7 yes.

8           Q.       And the testing that you performed out  
9 there indicated that the more gas you produced and the  
10 more--and as you produce gas from a well, you reduce  
11 the pressure in the wellbore, do you not?

12          A.       Yes.

13          Q.       Weren't these tests actually showing that  
14 as you produced more gas, the pressure in the wellbore  
15 through these upper perms were reduced to allow the  
16 oil to come in?

17          A.       Would you repeat that question?

18          Q.       Okay. What, basically, your test showed  
19 out there, is that given the assumption that as you  
20 produce gas you produce the gas pressure in the  
21 wellbore, isn't it true that what you're really saying  
22 is you had to draw down the pressure in the wellbore  
23 caused by the gas to allow the oil to come in through  
24 the lower perms?

25          A.       The test that you have referenced there,

1 the most recent test, those were tests taken of the  
2 production to load the packer, as I understand it.

3 Q. Well, Mr. Davis, isn't it true that if you  
4 squeezed off the upper perfs that you could probably  
5 do away with the problem you're experiencing out  
6 there, having to produce a high rate of gas to get any  
7 oil production at all?

8 A. No. I believe that with the pressure we  
9 have in that area, you're going to have communication  
10 between the oil and gas zone. That's complete  
11 communication as indicated by the tests that were  
12 recently taken in the well.

13 Q. Let's assume we squeezed off the upper  
14 perfs. You're saying that because of the fracturing  
15 that's in this particular pool, if you squeezed off  
16 the upper perfs, the gas is going to communicate down  
17 through these fractures and prevent the oil from  
18 coming into the wellbore, then, if you're just open in  
19 the oil column?

20 A. One of the things these two tests showed  
21 that I indicated a while ago was that we had almost  
22 the same GOR from below the packer as we did above the  
23 packer, which would indicate that you're really not  
24 changing, I guess, the flow patterns in the reservoir,  
25 at least very far out in the reservoir, by producing

1 from either the upper zone or the lower zone.

2 Q. Figure 3 and figure 4 to the Schlumberger  
3 exhibit didn't show that. It, in fact, showed that  
4 when you were producing your oil down in the lower  
5 zones that you got almost no gas the lower the perf  
6 with your production of oil?

7 And I'm sorry, I don't have my figure 3 and  
8 4 here. It would be Exhibit 5. I think Mr. Carr  
9 referred to them as figures.

10 A. They are indicated as figures, as  
11 attachments to the letter.

12 Q. In particular, looking at figure 3, I guess  
13 it's your spinner curve, you show that the first point  
14 where you have oil coming in, you have 50 barrels of  
15 oil only; then the next point you have 50 barrels of  
16 oil with just some gas. In fact, if you were  
17 producing, then, from those lower perms, you wouldn't  
18 have a problem except in gas, would you?

19 A. Just on the basis of this survey you might  
20 be able to presume that, but this is a test of very  
21 short duration. I think once you establish a gas  
22 saturation, that you're going to have the channeling.

23 Q. Well, Mr. Davis, did you do any studies to  
24 determine if, in fact Mr. Davis could actually perf  
25 lower than the perforations that are now existing in

1 the McBride well?

2 A. No, I didn't.

3 Q. Have you looked at the cement bond log?

4 A. I have a copy of it, but I really didn't  
5 look at it as part of my study.

6 Q. It is true that Stevens made no effort to  
7 keep the oil and gas zoned separate, is that correct?

8 A. That's correct.

9 Q. As far as you know, both zones were  
10 perforated and all of those perforations were  
11 acidized, were they not?

12 A. Yes, I believe that's right.

13 Q. I apologize. I didn't quite catch it when  
14 you gave an opinion as to, I think it was, the rate of  
15 production that you think would be applicable or best  
16 for this McBride well, and I think you gave the figure  
17 of 2.5. I wasn't sure exactly if that was what your  
18 opinion was. I missed the first part of it. Could  
19 you restate that for me, just so I know I'm tracking  
20 along with you?

21 A. Yes. We feel like we need a rate of 2.5  
22 million per day in order to make the tests that we  
23 feel like we need to sufficiently produce the  
24 reservoir.

25 Q. Have you done any calculations as to how

1 much oil would then be produced at 2.5 million per  
2 day?

3 A. No, I haven't.

4 Q. Have you done calculations that necessitate  
5 an oil production of 650 barrels a day?

6 A. No, sir. That 650 barrels a day is really  
7 an arbitrary amount. It's somewhat based on the ratio  
8 of what 80 acres to 160 acres is, versus 160 to 320  
9 acres.

10 Q. So at least you've performed no studies  
11 which dictates 650 as a magic number?

12 A. No, sir, we have not.

13 Q. If you say that two and a half million Mcf  
14 is the ideal number that you think is necessary to get  
15 the kind of data that you want, why would you ask for  
16 a 20,000 to 1 gas/oil ratio? That would, essentially,  
17 allow you to produce 13 million Mcf per day.

18 A. The reason is, I guess, we don't want to be  
19 limited by our testing in trying to determine what is  
20 the MER of the reservoir. The actual rate we're going  
21 to produce out here will probably be in the  
22 neighborhood of two and a half million a day.

23 Q. What you're saying is that you may have an  
24 error factor of at least five times out there, at  
25 least to your reasoning you've got here? At least you

1 want to allow yourselves to be able to produce at  
2 least five times more gas?

3 A. Well, under the initial request, that's  
4 true.

5 Q. Now, have you done a calculation of the  
6 original oil in place in this pool?

7 A. I did a calculation of the original oil in  
8 place under the 320-acre proration unit.

9 Q. What proration unit are we talking about?  
10 The north half of Section 28?

11 A. Yes, that's right.

12 Q. Did you do a calculation of the original  
13 gas in place understand that same proration unit?

14 A. Yes, sir.

15 Q. What are the numbers you got for that  
16 320-acre spacing unit?

17 A. Original gas in place was 34.4 Bcf and the  
18 oil in place was 13,000,000 barrels of oil.

19 Q. What numbers did you utilize to come up  
20 with these figures or these numbers?

21 A. This is basically from the log of  
22 Schlumberger's and their integrated log calculations.

23 Q. What you're assuming, based on that log and  
24 the wellbore of the McBride well, you've extrapolated  
25 whatever the porosity, whatever the thickness of the

1 different pay is, you've extrapolated from that  
2 wellbore out, to include or encompass the whole 320  
3 acres in that proration?

4 A. That would be what a 320-acre proration  
5 would, with that same thickness, would have in place.  
6 We've downgraded that for structure and for the  
7 faulting that diminishes the size of the reservoir,  
8 and also for recovery.

9 Q. What kind of figures did you use in  
10 downgrading?

11 A. As far as the distance to the fault we said  
12 instead of having the 320 acres, that we probably had  
13 20 percent less than that. Just a rough idea of the  
14 distance we've reduced between the two faults as  
15 opposed to a full mile across there.

16 The down structure we know will pinch out  
17 on the edges of the reservoir. There we estimated  
18 maybe a reduction of 30 percent. Then, if we had a  
19 recovery of 80 percent of the reserves that were  
20 remaining, we're talking about a 13.76 Bcf. This is  
21 just rough numbers, and aren't meant to be precise  
22 engineer numbers. They're ballpark numbers.

23 Q. All right. That 13 Bcf, is that what  
24 you're saying is recoverable gas?

25 A. Recoverable gas from the gas cap.

1           Q.       As opposed to the 34.4 original gas in  
2 place?

3           A.       Which is original gas in place, assuming  
4 that the formation thickness was the same and we had a  
5 full 320 acres.

6           Q.       This 34.4 Bcf, was that number arrived at  
7 after you did the reductions that you just described  
8 for us, the 20 percent in acreage and 30 percent in  
9 structure?

10          A.       No.

11          Q.       But the 13.4 Bcf recoverable, you did use  
12 that?

13          A.       13.76, yes.

14          Q.       13.76. Okay. Excuse me. Now, you gave us  
15 a figure, or I think you gave a figure, I'm not  
16 exactly sure, but you used a number of five percent.  
17 Are you saying that if you allowed the production to  
18 go at the rates asked for by Mr. Stevens, that you  
19 would only see a possible five percent reduction in  
20 the gas in the gas cap? Was that what your testimony  
21 was?

22          A.       Well, that's based on the calculations of  
23 this one well which we assumed would apply to areas  
24 outside that proration.

25          Q.       Your figure of five percent, were you using



1 13 million a day production figures or were you using  
2 2.5 million production figures?

3 A. 2.5.

4 Q. So your reduction of the gas cap, if it did  
5 in fact go up to the 20,000 to 1 that is being asked  
6 for, could, in fact, increase that five percent figure  
7 by five times, couldn't it?

8 A. It would increase it. I don't know by how  
9 much, but it certainly would increase it.

10 Q. You've described two sets of tests that you  
11 want to do, the PDT to allow you to, I guess,  
12 reconfirm the oil water contact and the gas water  
13 contact?

14 A. Reconfirm or see how much they've moved  
15 from over a period of time.

16 Q. All right. So you find this out. What is  
17 that going to tell you? What is that going to  
18 dictate? In other words, how is that information, the  
19 contact's moved X inches or feet or what have you,  
20 what's that going to tell you with respect to how this  
21 reservoir should be produced?

22 A. We'll know whether the rate of water influx  
23 is equal to the rate of withdrawals of gas and oil  
24 from the reservoir. We'll be able to make reservoir  
25 calculations that will, I believe, tell us whether the

1 oil zone will move up into the gas cap and at those  
2 rates, whether we could make it even produce at a  
3 higher rate and it wouldn't move, or whether we need  
4 to produce at a lower rate. But those are things we  
5 would have no way of knowing now, and need to have the  
6 test in order to determine it.

7 Q. It's quite possible that at the end of your  
8 testing you could determine that in fact the  
9 production rates asked for by Stevens and maybe used  
10 during this period of time were, in fact, too great,  
11 and that a depletion of the gas cap could have  
12 occurred? It's one of the possible results, isn't it?

13 A. I don't think a depletion of the gas cap  
14 could possibly have occurred, but there may be some  
15 damage. That's something that we just don't know at  
16 this point. It would be a small amount of damage when  
17 we're talking about five percent of the total.

18 Q. But if we're talking about 15 or 20 percent  
19 of the reserves, is that an insignificant amount of  
20 damage to the reservoir?

21 A. Well, it does need to be a significant  
22 amount.

23 Q. And if, in fact--and we're using the term  
24 "damage"--if, in fact, we the reservoir as we're  
25 talking about or as you're talking about, that damage

1 would equate into waste, would it not?

2 A. It would, there again assuming that there  
3 wasn't any oil saturation in the gas cap to start  
4 with.

5 MR. CARROLL: I have no further questions  
6 Mr. Examiner.

7 EXAMINATION

8 BY EXAMINER CATANACH:

9 Q. Mr. Davis, the proposed testing, is two and  
10 a half million is day satisfactory for this kind of  
11 test, or do you actually want more flexibility to  
12 increase that?

13 A. We feel since we have additional  
14 information now that we could probably do our testing  
15 over a period of nine months at a rate of two and a  
16 half million and get the results that we needed.

17 Q. And the gas/oil ratio that you would need  
18 at the two and a half million rate, would be less than  
19 20,000 to 1, would it not?

20 A. Yes, it would, and I haven't calculated  
21 what it would be; but yes, it would.

22 Q. Do you have the data you need to calculate  
23 that?

24 A. Yes, sir. We're speaking of the GOR now?

25 Q. Right.

1           A.       I think rather than calculate that, I think  
2 the rate that you see on our Exhibit No. 8 would  
3 indicate that we could go over 20,000 to 1, but we  
4 could probably live with a 15,000 to 1 ratio.

5           Q.       So you think 15,000 would be adequate?

6           A.       That would be a maximum rate that we would  
7 need to have. We wouldn't expect, really, to go to  
8 that high of a rate, but we would like to be able to  
9 do it if it became necessary, in order to test the  
10 wells.

11          Q.       In the test that you're proposing to  
12 conduct, would the well be produced at a constant rate  
13 for all this period of time, or would you vary the  
14 rates?

15          A.       No, I think we'd need to vary those rates.  
16 We haven't set up any kind of a program for that, but  
17 I think they would definitely need to be varied.

18          Q.       Two and a half million would be your  
19 maximum, and from there you might come down some in  
20 your testing?

21          A.       Yes, sir. I think the results of those  
22 tests as we took them, as far as the pressure tests  
23 and the TDT logs, would dictate how far we needed to  
24 come down or how far we needed to go with our testing  
25 in order to determine the MER for the field.

1 Q. Why do you feel you need 90 days for the  
2 test?

3 A. Nine months.

4 Q. I mean nine months.

5 A. Basically, we want to be able to produce a  
6 significant reservoir in volume, and we don't think  
7 that one or even two percent is sufficient in order to  
8 make a judgment of that kind. For instance, an  
9 example, in P/Z work generally we say well, we don't  
10 have good data until we get to 10 percent of the  
11 reservoir volume. What we're asking for here is  
12 somewhat in the range of five percent of the reservoir  
13 volume, and we feel we need that before we can get  
14 data that we can rely on.

15 EXAMINER CATANACH: I believe that's all I  
16 have of the witness at this time. He may be excused.

17 MR. CARR: At this time I call Don  
18 Stevens.

19 DONALD G. STEVENS

20 the witness herein, after having been first duly sworn  
21 upon his oath, was examined and testified as follows:

22 EXAMINATION

23 BY MR. CARR:

24 Q. Will you state your full name for the  
25 record, please.

1           A.     My name is Donald G. Stevens.

2           Q.     Where do you reside?

3           A.     Roswell, New Mexico, I'm president of  
4 Stevens Operating Corporation.

5           Q.     And Stevens Operating Corporation is the  
6 Applicant in this case?

7           A.     Yes.

8           Q.     Have you testified in the past?

9           A.     Yes, I have.

10          Q.     Were your qualifications accepted at that  
11 time and made a matter of record?

12          A.     They were.

13          Q.     How were you qualified then?

14          A.     As an expert witness.

15          Q.     In what field? Are you a petroleum  
16 engineer?

17          A.     No, I'm an oil and gas producer with  
18 considerable experience in petroleum engineering,  
19 geology, oil and gas production, gauging, testing,  
20 all--

21          Q.     Is this practical experience, Mr. Stevens?

22          A.     Some of it is practical, some of it is not  
23 so practical.

24          Q.     Mr. Stevens, are you familiar with the well  
25 and the pool that are the subject of this hearing?

1 A. Yes, I am.

2 Q. Have you studied the well and the pool?

3 A. Considerably.

4 MR. CARR: Are the witness's qualifications  
5 acceptable? He's not going to make detailed  
6 engineering conclusions.

7 EXAMINER CATANACH: He is so qualified.

8 Q. Mr. Stevens, when did you drill your  
9 McBride well?

10 A. It was in October and we completed it in  
11 November.

12 Q. When you completed it, in your opinion did  
13 you have an oil well or a gas well?

14 A. We initially thought we had a gas well.  
15 The offset well was presumably a gas well, but it only  
16 perforated the upper porosity. We had no evidence  
17 that it might be other than that, other than a drill  
18 stem test they had made in the upper which showed 2.1  
19 barrels of 28-gravity oil, which was very confusing to  
20 us.

21 In any case, we perforated our well as a  
22 gas well. We saw a greater amount of what we thought  
23 at the time were condensate gas fractions, the C-3 and  
24 the C-2 at the bottom more so, and we felt that if we  
25 perforated the entire section, we might have a chance

1 of getting more condensate which, from we thought at  
2 the time, looked as if it were at the bottom of the  
3 well in the lower porosity.

4           When we completed the well, it was a gas  
5 well. It floated. The initial test showed some  
6 strange hydrocarbons which surely looked like oil. It  
7 was a jelly-like substance, highly parafinic. It  
8 wouldn't pour out of a bottle, which kind of confused  
9 us, so therefore we determined to make the additional  
10 tests which were the Schlumberger tests, which have  
11 been previously testified to.

12           Q.     The reason that you perforated above and  
13 below what is now what you believe to be the gas/oil  
14 contact was because of the production of condensates,  
15 is that correct?

16           A.     Yes. We thought we would get gas and gas  
17 condensate.

18           Q.     It was at that time you felt that the  
19 entire zone might be productive of gas, so you  
20 perforated the entire zone?

21           A.     Yes, and it was oil/water contact, pretty  
22 obviously, lower than where we had perforated, but the  
23 porosity wasn't that particularly good. We  
24 perforated, presuming there was vertical fractures  
25 based on the drilling and samples and all the other



1 evidence we had, we didn't want to perforate too low,  
2 fearful of water. Generally speaking, you tend to  
3 have a water drive. We don't know yet that this does,  
4 but that was the tendency.

5 I might mention a couple of questions which  
6 I might be able to answer, asked of our previous  
7 witness that I might get out of the way since I'm a  
8 little more familiar with it having been there, the  
9 last tests that were made in the last two or three  
10 days prior to this test showed slightly higher gas/oil  
11 ratios and slightly higher water cuts. The water cuts  
12 again, we have produced these wells only for short  
13 periods of time, only to determine some data for this  
14 hearing. We didn't produce them very long simply  
15 because we didn't want to waste anymore gas than was  
16 necessary.

17 The water ratios varied. There was very  
18 little difference between producing the well through  
19 the lower oil perforations with the packer right above  
20 those oil perforations. You make almost as much gas  
21 from the, quote, oil perforations as you make from the  
22 gas perforations, which are now above the packer and  
23 what we know as the gas zone today, indicating to us  
24 considerable heavy fracturing. When you open up the  
25 oil perforations and have the gas zone shut off behind

1 the annulus, and you make a tremendous amount of gas,  
2 you have to have communication between the two.

3 Q. Do you believe you could squeeze off the  
4 upper perforations and thereby produce the oil in this  
5 reservoir?

6 A. Oh, there is a slight possibility. My  
7 experience and, I think, the industry experience with  
8 squeezing off producing zones, is extremely poor in  
9 success ratios. It can happen, but it's extremely  
10 rare. It usually runs on. There's really no reason  
11 to, as far as we are concerned, at least during this  
12 testing period and even afterward. We have no proof  
13 at this juncture that this would result in waste.

14 There has been testimony and inferences  
15 that if the oil column moves up into the gas column,  
16 there may be waste. That may well be true if you have  
17 a dry gas rock up there; but if you have an oil  
18 saturated rock, indicating the reservoir was perhaps  
19 once an oil zone and gas came in later, the only loss  
20 would be the residual oil saturation and that's  
21 already been lost when the gas may go out.

22 Again, this is part of the proof we need to  
23 determine during this testing period. So, to suggest  
24 that an excellent, magnificent, well such as this be  
25 squeezed to try to shut off some excellent, wonderful

1 gas production without any greater knowledge than we  
2 have, I think is premature.

3 Q. In your experience in the oil and gas  
4 business, is the performance of this particular well  
5 and pool unique to you?

6 A. Well, it's not unique but it's relatively  
7 rare for this part of the country. Most don't make  
8 water when you add gas and oil. Again, I think that's  
9 indicative of the heavy fracturing that must be  
10 present in the reservoir, and all evidence indicates  
11 that.

12 Q. To make decisions about how you are to go  
13 forward with further development of the reservoir, is  
14 it essential that you obtain additional information?

15 A. I think so. The oil on the H-drill stem  
16 test in the gas zone indicates that that reservoir may  
17 have been oil wet. In that case, we have no concern  
18 with moving the oil column into the gas column. We  
19 don't know this. If it is dry gas rock, then we have  
20 as great a concern as Yates apparently is evidencing  
21 by their cross-examination questions.

22 The BTU of the Yates gas, at 1235 in their  
23 #6 well out of the oil zone, 1235 BTU, whereas our  
24 well tested 1050 BTU, indicates quite a difference in  
25 the gas. The gas and the oil did come from a

1 different place. Do we have water drive? There's  
2 some evidence of it, but there's no proof of it. It  
3 will take production to prove it. There's no great  
4 harm, even if all of the factors militate against--we  
5 hope they don't--if this is a dry gas reservoir rock  
6 there, yes, there is a risk that we will waste, if the  
7 term be used, a little bit of oil and gas.

8           Conversely, this Commission is concerned  
9 with correlative rights, to go back to the state-wide  
10 2,000 to 1 gas/oil ratio as recommended by Yates  
11 Petroleum Corporation, means that that well doesn't  
12 produce. We can't recover the oil underlying this  
13 tract as the Commission rules, regs and statutes  
14 state.

15           We do have water coning in this field at  
16 the higher rates. When you lower the rate, the water  
17 doesn't cone as much, but the gas decreases. To my  
18 understanding, there's no problem with water coning in  
19 a reservoir. It may be a problem in the well, but  
20 there's no long-term damage to the reservoir. So that  
21 doesn't concern us, in any case.

22           We think we need the time to run the TDT  
23 log so that we can see and produce enough gas so we  
24 can see if, in fact, the oil column is moving up into  
25 the gas column. If we can't flow gas and oil, it's

1 impossible to rate.

2 Q. You have proposed 20,000 to 1 gas/oil  
3 ratio, 650 barrels per day. Is it your intention to  
4 produce at these levels, or are these just maximums?

5 A. No, again, as is borne out many times,  
6 20,000 to 1, I think, we need based upon a lesser  
7 amount of oil production. We don't know exactly what  
8 that is, but if we got two and a half million a day,  
9 then my presumption is we would be producing somewhere  
10 around 150 to 200 to 250 barrels a day. So we don't  
11 need the 650. That was an early-on request based upon  
12 trying to make sure that Yates and their well that  
13 they had and the oil well they might be drilling  
14 wouldn't be penalized by the fact that we found the  
15 oil zone, and we didn't want them to object to what we  
16 were going to propose during this testing period. And  
17 it turned itself around the other direction. They  
18 found more oil and feel that they don't want to  
19 produce the gas during this period.

20 Q. If some relief is not obtained in terms of  
21 adjustment to producing rate or additional data for  
22 you, is there any way that you can produce the oil  
23 that underlies this tract, in your opinion?

24 A. Not that we know of. When you shut down  
25 that gas/oil ratio to 2,000 to 1, you cannot produce

1 oil, period. Squeezing it, I think, just isn't  
2 practical. There's an outside chance it can work, but  
3 it surely isn't practical.

4 Q. If additional data is obtained during the  
5 test period, do you believe that will assist you and  
6 other operators in developing this reservoir in the  
7 most efficient way possible?

8 A. I would certainly think so.

9 Q. Would that, then, tend to reduce the  
10 potential for waste of hydrocarbons from this pool?

11 A. Yes, it will. I guess when we first  
12 started talking about this 20,000 to 1 gas/oil ratio  
13 and 320-acre spacing, the purpose was to prevent a lot  
14 of early-on rules that kept we and Yates from  
15 developing this field properly. The only way you can  
16 develop the property is to get the proper information,  
17 and you can't get the information when you can't  
18 produce your well more than 444,000 a day.

19 Q. Do you have anything further to add to your  
20 testimony?

21 A. No, sir.

22 MR. CARR: That concludes my examination of  
23 Mr. Stevens.

24 EXAMINER CATANACH: Mr. Carroll.  
25

## EXAMINATION

BY MR. CARROLL:

Q. Mr. Stevens, early on in your testimony you indicated that the new tests that were just run in the last few days on your McBride well, indicated slightly higher gas/oil ratios?

A. That's correct.

Q. What do you mean by slightly higher? How do you define that?

A. Maximum, I think we had is 15,000 to 1. We generally, however, produced at a higher rate and we didn't produce at the lower rates as we had previously because we wanted to produce enough water to determine if it were really formation water as opposed to treating water. If we had produced it at the lower rates, I feel sure our gas/oil ratios would have climbed substantially as they had the prior rates.

Q. Prior to this time, you say this was about 15,000 to 1. Prior to this time what was the maximum?

A. We had a 20- or a 22,000 to 1 at a low flow rate, and that was evidence which was presented by the engineer. All of this flow rate data has been submitted to Yates, too, for their information.

Q. You said that the water cuts were slightly higher. Again, what do you mean by "slightly higher"?

1           A.       Well, they're variable. We had such short  
2 flow rates, you can't really say. In some cases we  
3 got as high as a 50 percent water cut. In some cases  
4 they're as high as five percent or none.

5                   My opinion is that a sustained flow rate of  
6 about 2.5 million, that the percentage would be  
7 somewhere around 20 percent. But that's merely an  
8 untested opinion that can only be determined by more  
9 flowing.

10          Q.       What were the time periods that you tested  
11 this well during the last test?

12          A.       They were approximately five hours a day on  
13 the Saturday, Sunday and Monday prior to this date.

14          Q.       Five hours each day?

15          A.       Approximately.

16          Q.       Based on your information, would it be  
17 possible to perforate the McBride well to stay within  
18 that oil column?

19          A.       I think you can stay within the oil  
20 column. I have a concern that you're closer to the  
21 oil water transition zone and that you may increase  
22 your water cut by so doing. Plus, you have lower  
23 porosity down there, so that would mean you would get  
24 a lesser flow. We would prefer not doing so simply  
25 because it might result in the wells being even more



1 water productive.

2 Q. As I understand your position, Mr. Stevens,  
3 it is basically that unless you get what you're  
4 asking, you're unable to produce oil at least in the  
5 situation or how the well is now completed and where  
6 the perforations now exist?

7 A. If it were 2,000 to 1? Was that your  
8 question?

9 Q. If you don't get what you're asking. I  
10 believe your well is now presently--

11 A. Or something like what we're asking, yes,  
12 that's correct.

13 Q. You also stated that it was not practical  
14 to change the way your well was completed?

15 A. It's probably not practical. The risk,  
16 when you're talking about squeezing, is extremely  
17 high. That's industry consensus. You squeeze a gas  
18 zone or an oil zone, heavily fractured as this is,  
19 highly porous, the permeability is the greatest I've  
20 seen in any log in the Permian Basin, your chances of  
21 getting an adequate squeeze job on that are generally  
22 nil. It can happen.

23 Q. The perforations that were made in the  
24 McBride well, were they made all at the same time or  
25 did you go in at a process and perforate an area and

1 test or did you just perforate all of the zones?

2 A. All at the same time.

3 Q. And basically what you now know, that was  
4 probably a mistake?

5 A. I don't think that necessarily was a  
6 mistake. I think you have massive fracturing in there  
7 and you'll have that regardless. Now, there is a  
8 distinction between the McBride State, our well, and  
9 the Yates "3" Pathfinder. There is an extremely dense  
10 and permeable zone between the gas zone and the oil  
11 zone, approximately 10 feet thick. In our well, that  
12 zone does not exist. The permeability is constant  
13 throughout both oil and gas zones.

14 Whether, in fact that helps the Yates #3 in  
15 this case or not, I don't know. It could very well  
16 if, in fact, the Yates #3 ends up without a high  
17 gas/oil ratio.

18 MR. CARROLL: That's all the questions I  
19 have.

20 EXAMINER CATANACH: The witness may be  
21 excused.

22 (Thereupon, a recess was taken.)

23 EXAMINER CATANACH: The hearing will come  
24 to order.

25 MR. CARROLL: May I proceed?

1 EXAMINER CATANACH: Yes.

2 LESLIE BENTZ

3 the witness herein, after having been first duly sworn  
4 upon her oath, was examined and testified as follows:

5 EXAMINATION

6 BY MR. CARROLL:

7 Q. Would you please state your name,  
8 occupation, and by whom you're employed?

9 A. My name is Leslie Bentz. I'm employed as a  
10 petroleum geologist by Yates Petroleum Corporation of  
11 Artesia, New Mexico.

12 Q. Have you previously testified before the  
13 New Mexico Oil Conservation Division as a petroleum  
14 geologist and had your credentials accepted as same?

15 A. Yes, I have.

16 MR. CARROLL: I tender Ms. Bentz as an  
17 expert.

18 EXAMINER CATANACH: She is so qualified.

19 Q. Ms. Bentz, you have been present here in  
20 the hearing room during the testimony of the expert  
21 witnesses for Stevens Oil, have you not?

22 A. Yes, I have.

23 Q. The area with which we are concerned, are  
24 you familiar and have you done any studies in that  
25 area?

1           A.       Yes, I have.

2           Q.       Were you the principal geologist  
3 responsible for the drilling of the Yates Pathfinder 3  
4 and 6 wells?

5           A.       Yes, I have.

6           Q.       Ms. Bentz, in an effort to try to shorten  
7 this long hearing and it's getting late in the day, I  
8 am going to ask you to state to the Commission  
9 basically if there are any differences with respect to  
10 your geological interpretation of this area, as  
11 opposed to that interpretation given to us by  
12 Mr. Ahlen on behalf of Stevens Oil.

13                   Let's try to limit our discussion. I  
14 understand there are a lot of things where we agree,  
15 but let's look at where we disagree.

16           A.       Okay. The two main points I disagree with  
17 are the oil/water transition zone and the overall size  
18 of the field. The oil water transition zone, as  
19 Mr. Ahlen has it, we performed a DST on the Pathfinder  
20 #6 below the transition zone, and we had a test that  
21 recovered only oil. We did not recover any water.  
22 So, therefore, I believe that we are dealing more with  
23 a tilted oil water contact rather than a transition  
24 zone.

25           Q.       You have prepared five exhibits for use

1 here at today's hearing?

2 A. Yes, I have.

3 Q. The first exhibit was a land plat which  
4 agrees with what Stevens Oil did, your second and  
5 third exhibits were the large cross-section and then a  
6 smaller cross-section which really depicts the same  
7 thing, is that correct?

8 A. That's correct.

9 Q. And then Exhibits 4 and 5 deal more  
10 specifically with what you were just testifying to,  
11 about the transition zone and water zone and what have  
12 you, do they not?

13 A. Yes, they do.

14 Q. In particular, which exhibit would you be  
15 referring to basically?

16 A. If we were referring to the small  
17 cross-section, I think that--

18 Q. If you could, point out for the Examiner  
19 exactly how that relates?

20 A. Okay. If you'll note, there appears to be  
21 a definite oil/water contact in the Stevens Operating  
22 McBride. That oil/water contact is lower in the  
23 Pathfinder #3 and again, by the time you reach the #6,  
24 you're dealing with almost 50 feet lower than you are  
25 in the McBride well.

1           This only comes into play when you're  
2 trying to figure out your oil column so you can  
3 calculate how much oil is in place.

4           Q.     Now you performed these functions and  
5 furnished this information to Mr. Boneau, did you not?

6           A.     Yes, I did.

7           Q.     The specific purpose for determining the  
8 oil/water contact was to aid him in determining the  
9 oil in place or what the reservoir contained?

10          A.     That is right.

11          Q.     Now, what other item did you differ with,  
12 with respect to the interpretations given by  
13 Mr. Ahlen?

14          A.     I disagree with the size of the overall  
15 field. I probably have considerably more data than  
16 Mr. Ahlen to make this interpretation. Yates  
17 Petroleum has in their possession six seismic lines  
18 that really delineate what is going on in Section 21,  
19 and pretty much what's happening in the north part of  
20 28. The only problem would be in the south part of  
21 28.

22          Q.     Are you familiar with the two lines of  
23 seismic that Mr. Ahlen testified to?

24          A.     Yes, I am. I have them both.

25          Q.     You do have four other lines of seismic

1 other than the two that Mr. Ahlen had?

2 A. That is correct.

3 Q. Are those lines located both north and  
4 south of the lines that you know Mr. Ahlen utilized?

5 A. They're located north.

6 Q. North of it. Exhibit 4 depicts, does it  
7 not, what you consider the parameters of this  
8 particular pool?

9 A. Yes, it does. One point I guess I have to  
10 disagree with Mr. Ahlen a little bit. The seismic,  
11 these fault cuts, have up to 200 feet of throw on  
12 them. They're very easy to pick. There's no question  
13 about where it is faulted, where we do have seismic  
14 control. We have dense enough seismic control in  
15 Section 21 that we know where the faults are.

16 The faults are wanting to come together in  
17 the north part of 21, and we're getting steep dip  
18 which suggests that the field does not extend  
19 significantly past the #6 well, as I've got shown on  
20 my map. To the south again we have the faults--we see  
21 the fault cuts, and again they are coming together.  
22 We see steep dip to the southeast and steep dip to the  
23 southwest, which suggests that it's not as flat and as  
24 large as Mr. Ahlen would suggest.

25 Q. Mr. Ahlen's Exhibits 3 and 4, those were

1 his attempt to depict the magnitude of this particular  
2 field, were they not?

3 A. Yes.

4 Q. In fact, you restrict the size of that  
5 pool, as he has shown in his Exhibits 3 and 4, in your  
6 exhibits, do you not?

7 A. Yes, I restrict it. Not only do I restrict  
8 it down on Stevens, but I have it restricted from what  
9 he has drawn on us. I wish it was the size he's  
10 drawn. Right now I don't have any data to indicate  
11 it's that big.

12 Q. Ms. Bentz, are there any other items you  
13 would like to draw to the attention of the Commission  
14 at this time?

15 A. I might tell just very briefly how these  
16 maps were constructed and how we calculated the  
17 reserves in place.

18 Q. All right.

19 A. We use seismic. I can map on top of the  
20 pre-Penn unconformity. Then I had to construct an  
21 isopach of the Mississippian which Mr. Ahlen really  
22 didn't show on his cross-section. But from doing  
23 synthetic seismograms, that is the reflection and the  
24 marker we are seeing.

25 Then I had to subtract that off, and then I



1 had pretty much used the constant gas/oil contact,  
2 which is consistent with what Mr. Ahlen said. Then I  
3 had to go from that point, use the tilt that we were  
4 seeing in the field, subtract off the gas contact and  
5 then come up with the oil pay below it.

6 Q. All right. Ms. Bentz, you did hear  
7 Mr. Ahlen testify concerning his construction of his  
8 Exhibits 3 and 4?

9 A. Yes.

10 Q. Do you feel, after having had the benefit  
11 of hearing him testify to that, do you still feel that  
12 your depictions of this particular pool are more  
13 reasonable than his, based on the fact that you had  
14 more information?

15 A. Because I had more information available to  
16 me.

17 MR. CARROLL: I pass the witness.

18 EXAMINATION

19 BY MR. CARR:

20 Q. Because you have more information, you have  
21 been more able to, in your opinion, clearly define the  
22 boundaries of the reservoir?

23 A. Yes, I have.

24 Q. And it is smaller than the reservoir as  
25 depicted in Mr. Ahlen's interpretation?

1           A.       Yes.

2           Q.       And you've utilized probably four  
3 additional seismic lines to make this interpretation?

4           A.       That is correct.

5           Q.       Based on your interpretation, there's still  
6 substantial reserves under the north half of 28, isn't  
7 that correct?

8           A.       Yes, there are.

9                   MR. CARR: That's all I have.

10                  EXAMINER CATANACH: No questions.

11                  MR. CARROLL: Mr. Examiner, I would tender  
12 Exhibits 1 through 5 at this time.

13                  EXAMINER CATANACH: Exhibits 1 through 5  
14 will be admitted in evidence.

15                               DAVID FRANCIS BONEAU

16 the witness herein, after having been first duly sworn  
17 upon his oath, was examined and testified as follows:

18                               EXAMINATION

19 BY MR. CARROLL:

20           Q.       Would you please state your name, your  
21 occupation, and by whom you're employed?

22           A.       My name is David Francis Boneau. I'm  
23 employed as an engineer by Yates Petroleum  
24 Corporation. I hope I'm still employed, if I ever get  
25 back there.

1           Q.     Mr. Boneau, have you previously testified  
2 before the Oil Conservation Division as an expert in  
3 the field of petroleum engineering?

4           A.     Yes, sir.

5           Q.     And had your credentials accepted for the  
6 same?

7           A.     Yes, sir.

8                   MR. CARROLL: I would tender Mr. Boneau as  
9 an expert witness.

10                   EXAMINER CATANACH: He is so qualified.

11          Q.     Mr. Boneau, you have prepared for today's  
12 hearing two exhibits, have you not, Exhibits 6 and 7?

13          A.     Yes, sir.

14          Q.     Would you please explain to the Examiner  
15 what those two exhibits are?

16          A.     Those two exhibits are oil and gas isopachs  
17 of this reservoir that we have been discussing. They  
18 are based--their outline is consistent with the  
19 outline developed by Ms. Bentz in her testimony.

20                   There are three data points on which the  
21 oil in place and gas in place calculations are made.  
22 Those are the three wells that are productive from  
23 this reservoir.

24                   I've analyzed the logs and come up with  
25 feet of gas hydrocarbon pore volume and oil

1 hydrocarbon pore volume in each of the three wells,  
2 put those on the outline, planimetered, drew contour  
3 lines, planimetered, and come up with original oil in  
4 place of 9.1 million stock tank barrels and original  
5 gas in place of 16.4 Bcf, and those numbers are going  
6 to be smaller than similar numbers developed for the  
7 larger reservoir presented by the other people.

8 Q. Through Mr. Davis' testimony?

9 A. Yes, sir.

10 Q. Mr. Boneau, you were present during the  
11 testimony of Mr. Davis, is that correct?

12 A. Yes, sir.

13 Q. Mr. Boneau, would you please discuss for  
14 the benefit of the Examiner if you found any or if you  
15 have any differences with the testimony or the  
16 conclusions drawn by Mr. Davis and why you draw those  
17 differing conclusions?

18 A. I'll try to do that. Let's start with what  
19 I think we have in common. I think we agree that  
20 there's a reservoir of some size that has roughly a  
21 hundred foot column of oil overlaying 500 plus or  
22 minus feet of gas, a big gas cap. An oil reservoir  
23 with a big gas cap. It seems to be fractured. We  
24 have some indication that it's fractured.

25 There's an awful lot of oil there, and we

1 simply want to spend some time trying to recover a  
2 large fraction of that oil. What I think is happening  
3 in Mr. Stevens's well is that he's coning oil up, he's  
4 perforated, you know, he's barely in the top of the  
5 oil zone or halfway in the oil zone, but he's not  
6 really perforated in the oil zone. He has all this  
7 gas cap open.

8           The only way he can produce oil is to cone  
9 it up where its perforations are. And to get a  
10 pressure drop to do that, he's got to pull the well  
11 hard to lower the pressure in the wellbore so that the  
12 oil can move up.

13           You know, I'm sorry his well's like that  
14 and I'm sorry our wells aren't perfect yet, either,  
15 but we've got this 9.1 million barrels of oil or a  
16 bigger number, I hope, with a big gas cap. At Empire  
17 Abo, which is a huge field, it has this same kind of  
18 geometry on a bigger scale, but the same kind of  
19 geometry. And by slow production over many years the  
20 partners at Empire Abo are going to recover something  
21 like 40 percent of the oil. That might be a big  
22 target, but, you know, 30 might be possible. It might  
23 be possible to recover 3,000,000 barrels of oil from  
24 this.

25           I would ask you to do a little arithmetic

1 with me. If you take--my numbers are easier for me to  
2 talk about, but if you take 16.2 Bcf of gas and  
3 produce it at a 20,000 GOR, you get out 820,000  
4 barrels of oil, which is like eight percent of the oil  
5 in place. I'm thinking, that's what they're asking  
6 for. Maybe that's all we can do, but give us 90 days  
7 to try and do it right, what I call right, which is  
8 perforate in the oil, produce it at low rates so you  
9 don't cone water, so you don't cone gas, see if you  
10 can do that.

11 That's what we're suggesting, is that there  
12 be a period of time to see if the operators can do  
13 that. And if that's successful, we probably can  
14 develop the field so that we'll get an extra two or  
15 two and a half million barrels of oil, which is a lot  
16 of money to us and a lot of royalties and all that  
17 good stuff.

18 We drilled our discovery well a year or  
19 year and a half ago, and it sat there, you know, it  
20 produced nothing. Our people feel that another 90  
21 days of an empty pocket is okay, in view of the  
22 possible plum of this 2- or 3,000,000 barrels of oil.

23 That's pretty much our position. We just  
24 don't believe that you can set a GOR and expect people  
25 not to go up to it. The GOR is going to be like a

1 highway speed limit, I think. The maximum is going to  
2 become the minimum, the minimum is going to become the  
3 maximum. You set 20,000, you're going to get gas  
4 wasted. You need to set a low GOR and a relatively  
5 low flow rate so that we can try to produce this  
6 reservoir as an oil reservoir. It's going to require  
7 Mr. Stevens to do some things he doesn't think will  
8 work or doesn't want to do, and it's going to require  
9 us to work on our wells to reach the same thing.  
10 Maybe we can't do it, but we want 90 days to try.

11 Q. Mr. Boneau, based on your calculation of  
12 reserves in place, the rates that Stevens Oil  
13 Operating is requesting, would those rates, based on  
14 your reserve numbers, result in a significant  
15 production of the amount of gas that's in place or a  
16 reduction in the pressure in the gas cap?

17 A. Yes. Well, if he's going to produce, if  
18 we're going to be able to produce 13,000,000 cubic  
19 feet per day out of his well and out of at least one  
20 of our wells, in nine months that's going to amount to  
21 something like 43 percent of the gas in the  
22 reservoir.

23 If he produces his at 20,000 GOR and we  
24 produce ours at 20,000 GOR for the nine months, that's  
25 over 7 Bcf of gas which is around 40 percent of the

1 gas in the reservoir. This test period would blow  
2 down the reservoir. The test period would be the life  
3 of the reservoir. I think that's not wise.

4 Q. Mr. Boneau, is it a fair statement, then,  
5 that you disagree with Mr. Davis' figure of five  
6 percent that he attributed to allowing their program  
7 to go on for nine months, that they would only result  
8 in an approximate five percent reduction, then?

9 A. Well, he admitted that was based on two and  
10 a half million a day and a different GOR than he was  
11 asking for. So, yeah, the numbers are--if people  
12 would produce what is allowed by what they're  
13 requesting, way more than five percent of the  
14 reservoir would be blown down.

15 Q. Mr. Boneau, I know you've gotten into part  
16 of what Yates is asking this Commission to do out  
17 there. Would you specifically state everything that  
18 Yates would like the Commission to do? because we are  
19 asking, in effect, or Yates Petroleum Corporation is  
20 asking for specific rules to be imposed out there on  
21 this field, are they not?

22 A. Yes, sir, that's correct. We're asking  
23 that the 320 acres remain as Mr. Stevens asked, and I  
24 think our reason for that is that my idea may be  
25 entirely wrong and in three months we'll be back here



1 saying, we got a little oil and most of us got gas and  
2 we're all beyond 320s. We think you would be wise  
3 down the road to stay with 320s just like they ask.

4 THE WITNESS: We'll give you one, okay?

5 MR. STEVENS: Thanks.

6 A. We think that the oil rate should be set at  
7 222 barrels of oil per day, and that the GOR should be  
8 set at 2,000, and that the test period should last 90  
9 days, three months, rather than a longer period of  
10 time.

11 Q. Specifically what tests are you proposing  
12 or is Yates proposing to perform out there, and can  
13 those tests be performed under the guidelines that  
14 you've just advocated?

15 A. Well, as Mr. Davis and I agree, I'm sure we  
16 could think up tests which would take longer than  
17 that. I don't think that's the point. The main thing  
18 we want to test is whether we can produce oil at  
19 relatively low GOR and relatively low water/oil ratios  
20 with the idea that if we're successful in developing  
21 on 80 acres or maybe 40 acres, or maybe drilling  
22 horizontal wells through the oil, but the main test we  
23 want to do is try to complete the wells so that they  
24 can produce as oil wells, okay?

25 We would also do some testing,

1 interference-type pressure testing, try to seek  
2 continuity from well to well and also from gas cap to  
3 oil zone. I have in mind, if some of this works out,  
4 in doing a numerical simulation reservoir model. That  
5 is not do-able in three months, but three months is  
6 long enough to determine an answer to the main  
7 question that we think is an important one to ask,  
8 whether these can be produced as oil wells.

9 Q. Mr. Boneau, in your opinion, if the  
10 Commission were to accept the guidelines as guidelines  
11 what you have just advocated, is it your opinion that  
12 such would prevent waste in this area?

13 A. Yes, they would surely prevent waste.

14 Q. Do you feel that correlative rights would  
15 also be protected?

16 A. Yes, correlative rights would be  
17 protected. Both people would be producing at  
18 relatively low rates.

19 Q. Mr. Boneau, if the Commission were to adopt  
20 the guidelines that have been promoted by Mr. Stevens  
21 or Stevens Oil, do you feel that those guidelines  
22 would prevent waste?

23 A. I feel if the Commission grants what the  
24 petitioner asks, that a large portion of the gas cap  
25 will be blown down, whether it's 18 percent or 25

1 percent or 43 percent. An unacceptably large portion  
2 of the gas cap will be blown down and the result will  
3 be a waste of oil that is possibly recoverable.

4 Q. In other words, we would leave oil in the  
5 ground that might have been recovered, had we not  
6 wasted the gas cap?

7 A. Yes, sir.

8 Q. Do you feel that Stevens Oil proposal,  
9 would that protect correlative rights?

10 A. It probably would, actually. Both people  
11 would produce like crazy, out of competition.

12 Q. But the key problem then here is the issue  
13 of waste, is it not, Mr. Boneau?

14 A. It is in my opinion, yes, sir.

15 Q. Basically, then, under both proposals,  
16 correlative rights would be taken care of because all  
17 parties would be treated the same?

18 A. Yes, sir.

19 Q. The real issue is the possible damage to  
20 the reservoir?

21 A. That's my opinion, yes, sir.

22 Q. Do you have anything else that you would  
23 like to present to the Commission today relative to  
24 these issues?

25 A. I do not.

1 MR. CARROLL: Pass the witness.

2 EXAMINATION

3 BY MR. CARR:

4 Q. Dr. Boneau, if I understand your concern,  
5 you believe waste will occur if the recommended gas  
6 rates, recommended by Stevens, are authorized and they  
7 produce those volumes, is that right? You're going to  
8 have a reduction in pressure in the gas cap?

9 A. Yes, sir.

10 Q. And that's going to lead to waste?

11 A. Uh-huh.

12 Q. Would that occur if you had oil saturated  
13 rock in the gas column in this reservoir?

14 A. I believe that my concern is independent of  
15 that issue. I did not address that issue and I don't  
16 think that it's--

17 Q. When you look at this, does the reservoir  
18 drive mechanism have anything to do with your concern  
19 about blowing down the gas cap?

20 A. Oh, yes.

21 Q. If it's a hundred percent water drive  
22 reservoir, would that cause waste?

23 A. If there's a huge water drive, what you  
24 call a hundred percent water drive, if there's a huge  
25 water drive, you would want to keep the pressure in

1 the gas cap so that the oil did not move up into the  
2 gas cap unless the gas cap is already saturated with  
3 oil. Our geologist doesn't think that it's already  
4 saturated with oil, and we don't think it is and we  
5 don't think it's worth that risk.

6           So, even if there is a water drive, you  
7 would want to keep the pressure in the gas cap so that  
8 the oil would be forced to your wells rather than up  
9 into your gas cap. If there's not a big water drive,  
10 then the dominant mechanism is the gas cap expansion,  
11 and you would want to maintain the energy in that gas  
12 cap to push oil out your wells rather than to blow the  
13 gas off of the gas cap.

14         Q.     We don't know, do we, whether we have a  
15 50-percent water drive or more than that?

16         A.     No, we do not know.

17         Q.     We really don't know for sure whether or  
18 not we've got oil saturated rock in the gas column, do  
19 we?

20         A.     I don't know with 100-percent certainty the  
21 answer to that. I know there's a gas cap. That's the  
22 one drive I do know, and I'm worried about protecting  
23 that one.

24         Q.     The reason that you're proposing the 90-day  
25 temporary period with the rates of withdrawal and the

1 gas/oil ratio that you're recommending, that is again  
2 to gather data on this formation, isn't that right?

3 A. Yes, sir. You could be absolutely right on  
4 several of--

5 Q. One thing we can probably agree on, there  
6 is a lot out here we don't know about this reservoir  
7 yet?

8 A. Yes, sir, I agree.

9 Q. We also know there's a substantial volume  
10 of oil under Stevens' tract? I think that's a fair  
11 statement, is it not?

12 A. Yes, sir.

13 Q. What you are recommending is a test period  
14 that will reduce producing rates for 90 days?

15 A. Well, I'd prefer to look at them that it  
16 would raise them from zero to something, but not as  
17 high as other people want.

18 Q. You're going to have a lower gas/oil ratio  
19 than is recommended by Stevens?

20 A. Yes, sir.

21 Q. You're recommending a lower producing rate?

22 A. Yes, sir.

23 Q. Based on your understanding of this  
24 reservoir and the wells in it, at the rates you're  
25 recommending, it's fair to say that no oil is going to

1 be produced from the Stevens well, isn't that right?

2 A. Well, the gist of your question is right if  
3 he does nothing. I think--and he doesn't give a darn,  
4 you know, what I think--but I think that he needs to  
5 be out there trying to perforate his well lower and  
6 trying to squeeze his well and trying to produce the  
7 oil and--which is the same thing that we, you know,  
8 think we want to do. And you're right, I think, in  
9 that our recommendation forces him to make a decision  
10 to produce nothing or to try to produce the oil.

11 Q. And as the well is now completed, your  
12 recommendation simply means that this well won't  
13 produce oil unless there's some real changes made in  
14 the mechanical set-up in that well?

15 A. I believe that's true, yes.

16 Q. And you would have to agree that when you  
17 start monkeying with a well and start going in and  
18 cementing off perforations and all, there's a basic  
19 risk to the well itself whenever you do that, isn't  
20 that correct?

21 A. There is some risk in that operation, yes,  
22 sir.

23 Q. When you go down and try and perforate  
24 deeper in a zone, you do run the risk of a higher  
25 water cut, isn't that correct?

1           A.     That's correct.

2           Q.     And you could get into an area of less  
3 porosity? That's correct, isn't it?

4           A.     Not that that's bad, but that is correct,  
5 yes.

6           Q.     So what you're recommending, in fact, poses  
7 some risk to the Stevens well, if he decides to go out  
8 there and do something mechanically to the well, isn't  
9 that right?

10          A.     That's correct. And we've got two wells  
11 that have to face the same risk. Our wells are not in  
12 the condition where they need to be to get this high  
13 recovery of oil.

14          Q.     You talked about testing to see if there  
15 was continuity well to well during this period of  
16 time. Right now, isn't it fair to say it's fairly  
17 obvious that there is communication between all three  
18 wells in this pool?

19          A.     Yes, that's everyone's opinion I've talked  
20 to, and that's my opinion also.

21          Q.     The two Yates wells are currently producing  
22 oil at lower rates?

23          A.     I purposely did not talk about what our  
24 wells are doing. They've done different things on  
25 different days. Our wells cannot produce 222 barrels



1 of oil a day at 2,000 GOR right now.

2 Q. Are they producing oil right now?

3 A. They have been tested in the same time  
4 period that Mr. Stevens talked about, in the previous  
5 few days, and they both produced oil in those tests.

6 MR. CARR: That's all I have.

7 EXAMINER CATANACH: Any redirect?

8 MR. CARROLL: No.

9 EXAMINATION

10 BY EXAMINER CATANACH:

11 Q. Mr. Boneau, the outline of the reservoir as  
12 your geologist has defined it, covers approximately  
13 355 acres. You and Stevens are in agreement that this  
14 field should be spaced on 320 initially. Do you have  
15 any feel for what these wells might eventually be  
16 determined to drain, how large an area?

17 A. My feeling is that the gas cap, if they end  
18 up being produced as gas wells with minor amounts of  
19 oil, they can clearly drain--320 acres is clearly  
20 appropriate spacing. If the tests that I'm talking  
21 about turn out to be successful, the field should be  
22 developed as an oil reservoir on either 40's or 80's.  
23 We have a little permeability data, which is  
24 consistent with what I'm saying. In this 90 days we  
25 would have more pressure build-ups and permeability

1 determinations and could tell you whether a 40 or an  
2 80 is a recommended spacing. But I'm confident that  
3 if it can be developed as an oil reservoir, 40's or  
4 80's are the appropriate spacing.

5 Q. Whether or not it will be produced as an  
6 oil or gas reservoir depends on this test period,  
7 doesn't it, and what is determined?

8 A. That's my point of view, yes, sir. That's  
9 what we're trying to convince you of.

10 EXAMINER CATANACH: I have no further  
11 questions of this witness.

12 MR. CARROLL: Mr. Examiner, I would move  
13 the admission of Yates Exhibits 6 and 7.

14 EXAMINER CATANACH: Exhibits 6 and 7 will  
15 be admitted as evidence.

16 MR. CARROLL: That concludes Yates'  
17 evidence.

18 EXAMINER CATANACH: Would counsel like to  
19 make closing statements in this case? Okay,  
20 Mr. Carroll, whenever you're ready, if you want to  
21 make a closing statement.

22 MR. CARROLL: I think that the problem that  
23 faces the Commission here is not one of whether to do  
24 something or not to do something. I think both  
25 parties agree that something needs to be done. We

1 have a problem. We thought we had a gas field, a gas  
2 prospect, and now those thoughts have been shaken. It  
3 now appears that we have or quite possibly we could  
4 have a very nice oil discovery out here.

5           Really, I think when you look at the  
6 evidence and you weigh the evidence presented by the  
7 two sides, I think what Yates has presented probably  
8 should be given a little more weight because it's  
9 based upon more information. Yates has drilled two  
10 wells. They have more lines of seismic out here.  
11 They've been better able to define what the reservoirs  
12 are.

13           It gets us down to the ultimate question,  
14 which is that we have a resource, a natural resource,  
15 and we want to protect it. And our guidelines are, we  
16 are supposed to prevent waste. Well, we both  
17 presented testimony which says, "Our proposal will  
18 prevent waste." I think you need to break it down and  
19 look at it a little more closely, because I don't  
20 think both sides are talking about preventing waste.

21           I do believe that Yates' arguments and the  
22 evidence put on by its two witnesses are depicting a  
23 situation that we could, if we do something wrong out  
24 here, we could risk the loss of recoverable oil;  
25 therefore, waste. Our risk out there is real, in

1   losing oil.

2                   Mr. Stevens, and Stevens Oil's position is  
3 well, we're going to lose because we're not going to  
4 be able to produce. Under the proposal presented by  
5 Yates, I don't think you're going to lose that oil.  
6 If worse comes to worse and Stevens Oil does not do  
7 anything to its well and it just sits out there for  
8 three months, they may be deferred income, but I don't  
9 think there's anything in what has been proposed by  
10 Yates that is going to cause them to lose ultimate  
11 reserves. And that's the risk we really need to focus  
12 on here, is what is the real risk?

13                   The risk is losing reserves, not deferring  
14 production or not getting cash flow for a period of  
15 time. It is unfortunate that Mr. Stevens adopted a  
16 procedure by going out and perforating the entire  
17 string, or what he thought was the entire string,  
18 where Yates has not done that. And they might be  
19 better able. Still, he's not prevented from taking  
20 remedial action and putting his well into a situation  
21 where it can produce as an oil well.

22                   There is no easy solution. It's going to  
23 cost somebody. What we've got to do is weigh the  
24 relative cost. If Mr. Stevens is wrong, if his  
25 proposal is wrong, we may have shot ourselves in the

1 foot and lost 50 percent of those oil reserves.

2 If Yates is wrong, we have deferred income  
3 for Mr. Stevens for three months. That's what you've  
4 got to weigh. I think that's what the decision ought  
5 to turn on. Which solution is the least risky?

6 We do agree we don't have the answers and  
7 we need to get some more, but let's don't adopt a  
8 policy which could really cost us in the long run and  
9 other folks out there. There's other people  
10 that--well, I say "other people." Yates controls most  
11 of this and I think possibly Stevens Oil, at least the  
12 way these pools have gone, but we also have the State  
13 of New Mexico, the royalty owners and other working  
14 interest owners, if there are any. That's where we  
15 need to confine ourselves, and that's the crux of the  
16 question.

17 EXAMINER CATANACH: Thank you. Mr. Carr?

18 MR. CARR: May it please the Examiner, I  
19 think the real question here is efficient operations  
20 in this reservoir. I think we agree that what we  
21 don't have is sufficient data to make the kind of  
22 calls that have to be made so that the operators in  
23 the pool can go forward, produce the wells at the  
24 maximum efficient rate and recover what is there.

25 What we have, we have Mr. Stevens coming in

1 here with a well that we submit to you has been  
2 completed and in an appropriate fashion, and we have  
3 also Yates wells which have been completed in what  
4 appears to be appropriate manners. Yet, when we look  
5 at the reservoir, we find that they're not producing  
6 actually as any of the operators originally hoped.

7           So what we're doing, we're coming in and  
8 we're asking for some maximum limits that admittedly  
9 were set too high. They were set too high because we  
10 were hoping not to interfere with Yates operations  
11 while we collected data. But we're coming in here  
12 with a realistic time period to collect some  
13 meaningful data so some real decisions can be made and  
14 some producing rates that permit flexibility so that  
15 we can acquire data to make some realistic calls.

16           I submit to you, on the other hand what we  
17 have is Yates coming in with some very low rates and a  
18 very short time period that we submit will really be  
19 inadequate to establish anything, and we'll be back  
20 here in another 90 days looking at this same question  
21 all over again.

22           There are a few things that we do know. We  
23 do know that the reservoir isn't performing like  
24 anybody suspected, and even when we hear arguments  
25 from Yates today, no one is willing to call this, once

1 and for all, as an oil and gas reservoir now. So  
2 we've got a situation where we come before you and the  
3 question is: Are we going to go after some meaningful  
4 information and try and do this right? or are we going  
5 to just take a short stab and collect a little bit of  
6 data which, I think, even Dr. Boneau suggested the  
7 time frame was inadequate, for modeling the reservoir  
8 and some other things that might ultimately be  
9 required.

10               There are other things we agree on.  
11 There's a lot we don't know. We sit here and we  
12 speculate, what if? What if you've got 100-percent  
13 water drive? What if it's 50-percent water drive?  
14 What if there's oil saturated rock in the gas zone?  
15 What if? What if? What if the gas/oil contact is  
16 tilted? The fact of the matter is, we really don't  
17 know very much and we submit to you we're standing  
18 before you with the only proposal that's going to  
19 enable us to really obtain some information.

20               But there is a correlative rights question  
21 that also hangs over this, and that is the proposal  
22 that Mr. Stevens makes is going to let everybody  
23 produce. I don't think anybody would suggest that  
24 these two operators are going to run out and try and  
25 gut a reservoir that they've got this kind of

1 investment and interest in.

2           What you've got is a situation where we're  
3 proposing something where Yates can produce, and  
4 they're proposing something that gives us the option  
5 of undertaking certain--attempting certain mechanical  
6 changes on our well that could ruin the wellbore. I  
7 think it would be nice for us to go down and perforate  
8 where we're going to be coning water into the well or  
9 the perforations, or the porosity is going to be  
10 tight.

11           Mr. Stevens is a prudent operator and he  
12 thinks these things are imprudent, so what we have  
13 before you is one proposal where everyone can produce,  
14 and another one where Yates will produce and we'll be  
15 confronted with making a decision of sitting back and  
16 not producing anything, or running the risk of ruining  
17 our well.

18           We believe we've come forward with a  
19 proposal that was conceived in a fashion that we  
20 thought would be acceptable to everyone, and at the  
21 same time let us develop some meaningful information.  
22 We feel like the hearing has been turned and Mr.  
23 Stevens has been painted as someone trying to run out  
24 and blow off the gas cap. We think it's absurd.

25           We think the only appropriate thing for you



1 to do is to grant the application. But, if you have  
2 to make some adjustments in it, obviously on this  
3 record we were asking for some things that were  
4 unusually high to accommodate others; we certainly  
5 would not object to--I hate to say it--abandoning the  
6 one thing in which we seem to be in accord.

7 I think perhaps if you're going to try and  
8 set up a framework with which some meaningful  
9 information can be gained, 160-acre spacing is  
10 probably the most appropriate way to go, for it would  
11 permit not only testing but additional drilling within  
12 what appears to be the boundary of the reservoir. We  
13 submit that if you're going to protect correlative  
14 rights, if you're going to prevent waste, the  
15 application of Stevens should be granted.

16 EXAMINER CATANACH: Thank you, Mr. Carr.  
17 It's requested that I receive draft orders from both  
18 parties in this case.

19 Is there anything further in this case at  
20 this time? If not, Case 9854 will be taken under  
21 advisement.

22  
23  
24  
25

## 1 CERTIFICATE OF REPORTER

2  
3 STATE OF NEW MEXICO )  
4 ) ss.  
5 COUNTY OF SANTA FE )

6 I, Carla Diane Rodriguez, Certified  
7 Shorthand Reporter and Notary Public, HEREBY CERTIFY  
8 that the foregoing transcript of proceedings before  
9 the Oil Conservation Division was reported by me; that  
10 I caused my notes to be transcribed under my personal  
11 supervision; and that the foregoing is a true and  
12 accurate record of the proceedings.

13 I FURTHER CERTIFY that I am not a relative  
14 or employee of any of the parties or attorneys  
15 involved in this matter and that I have no personal  
16 interest in the final disposition of this matter.

17 WITNESS MY HAND AND SEAL February 25, 1990.

18   
19 CARLA DIANE RODRIGUEZ  
20 CSR No. 91

21 My commission expires: May 25, 1991  
22

23 I do hereby certify that the foregoing is  
24 a complete record of the proceedings in  
25 the Examiner hearing of Case No. 9854  
heard by me on February 7 19 90.

  
David R. Catant, Examiner  
Oil Conservation Division

1 STATE OF NEW MEXICO  
2 ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT  
3 OIL CONSERVATION DIVISION  
4  
5  
6

7 EXAMINER HEARING  
8

9 IN THE MATTER OF:  
10  
11

12 Application of Stevens Operating Case 9854  
13 Corporation for pool creation and  
14 special pool rules, Chaves County,  
15 New Mexico.  
16

17 **ORIGINAL**  
18

19 TRANSCRIPT OF PROCEEDINGS  
20

21 BEFORE: MICHAEL E. STOGNER, EXAMINER  
22

23 STATE LAND OFFICE BUILDING  
24

25 SANTA FE, NEW MEXICO

January 24, 1990

CUMBRE COURT REPORTING  
(505) 984-2244

1 EXAMINER: Call next case No. 9854.

2 MR. STOVALL: Application of Stevens  
3 Operating Corporation for pool creation and special  
4 pool rules, Chaves County, New Mexico.

5 Applicant requests this case be continued  
6 to February 7, 1990.

7 EXAMINER: Case No. 9854 will be so  
8 continued.

9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

I do hereby certify that the foregoing is  
a complete record of the proceedings in  
the Examiner hearing of Case No. 9854,  
heard by me on 24 January 1990.  
Michael J. Haynes Examiner  
Oil Conservation Division


## 1 CERTIFICATE OF REPORTER

2  
3 STATE OF NEW MEXICO )  
4 ) ss.  
5 COUNTY OF SANTA FE )

6 I, Diana Abeyta, Certified Shorthand  
7 Reporter and Notary Public, HEREBY CERTIFY that the  
8 foregoing transcript of proceedings before the Oil  
9 Conservation Division was reported by me; that I  
10 caused my notes to be transcribed under my personal  
11 supervision; and that the foregoing is a true and  
12 accurate record of the proceedings.

13 I FURTHER CERTIFY that I am not a relative  
14 or employee of any of the parties or attorneys  
15 involved in this matter and that I have no personal  
16 interest in the final disposition of this matter.

17  
18 WITNESS MY HAND AND SEAL January 31, 1990.

19  
20  
21   
22 DIANA ABEYTA  
CSR No. 267

23 My commission expires: May 7, 1993  
24  
25