

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

STATE OF NEW MEXICO
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
OIL CONSERVATION DIVISION
CASE 9861

EXAMINER HEARING

IN THE MATTER OF:

Application of TXO Production Corporation
for Compulsory Pooling, Eddy County,
New Mexico.

TRANSCRIPT OF PROCEEDINGS

BEFORE: DAVID R. CATANACH, EXAMINER

STATE LAND OFFICE BUILDING
SANTA FE, NEW MEXICO
February 7, 1990

ORIGINAL

A P P E A R A N C E S

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

FOR THE DIVISION:

ROBERT G. STOVALL
Attorney at Law
Legal Counsel to the Divison
State Land Office Building
Santa Fe, New Mexico

FOR THE APPLICANT:

W. THOMAS KELLAHIN, ESQ.
Kellahin, Kellahin & Aubrey
Post Office Box 2265
Santa Fe, New Mexico 87504

FOR ARCO:

WILLIAM F. CARR, ESQ.
Campbell & Black, P.A.
Post Office Box 2208
Santa Fe, New Mexico 87504

I N D E X

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

Page Number

Appearances

2

RICHARD COATS

Examination by Mr. Kellahin

5

Examination by Examiner Catanach

14

GLEN BROWN

Examination by Mr. Kellahin

16

Examination by Examiner Catanach

27

RANDALL CATE

Examination by Mr. Kellahin

30

Examination by Mr. Stovall

37

Certificate of Reporter

39

E X H I B I T S

APPLICANT'S EXHIBITS:

Exhibit 1
Exhibit 2
Exhibit 3
Exhibit 4
Exhibit 5
Exhibit 6
Exhibit 7
Exhibit 8
Exhibit 9
Exhibit 10
Exhibit 11
Exhibit 12
Exhibit 13
Exhibit 14

6
7
9
10
12
18
20
20
21
23
36
32
35
35

1 EXAMINER CATANACH: Call Case 9861.

2 MR. STOVALL: Application of TXO Production
3 Corporation for compulsory pooling, Eddy County, New
4 Mexico.

5 EXAMINER CATANACH: Appearances in this
6 case.

7 MR. KELLAHIN: Mr. Examiner, I'm Tom
8 Kellahin of the Santa Fe law firm of Kellahin,
9 Kellahin and Aubrey. I'm appearing on behalf of TXO
10 Production Corporation. I have three witnesses to be
11 sworn.

12 EXAMINER CATANACH: Any other appearances?

13 MR. CARR: May it please the Examiner, my
14 name is William F. Carr, with the law firm Cambell &
15 Black, P.A. of Santa Fe. I represent ARCO Oil and
16 Gas, Inc. I do not intend to call a witness nor
17 otherwise participate in the hearing.

18 EXAMINER CATANACH: Would the witnesses
19 stand and be sworn, please.

20 (Thereupon, the witnesses were sworn.)

21 RICHARD COATS
22 the witness herein, after having been first duly sworn
23 upon his oath, was examined and testified as follows:
24
25

EXAMINATION

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

BY MR. KELLAHIN:

Q. Mr. Coats, for the record, would you please state your name and occupation?

A. My name is Richard Coats. I'm a landman with TXO Production Corporation.

Q. Mr. Coats, have you, on prior occasions, testified as a landman on behalf of your company before the Division?

A. It's been a very long time.

Q. Summarize for us generally what you do as a landman for TXO Production Corporation?

A. I handle all types of trades, negotiations, lease acquisitions, record search, title curative, well preparation, et cetera.

Q. How long have you practiced your profession, Mr. Coats?

A. For approximately six years.

Q. When we look at the north half of Section 16 in Eddy County, New Mexico, that is the subject of this application, have you made yourself familiar with the current working interest ownership of that spacing unit?

A. Yes, sir.

Q. Have you been the individual employed on

1 behalf of your company to attempt to negotiate on a
2 good-faith basis the voluntary joinder of those
3 working interest owners in the drilling of the subject
4 well?

5 A. Yes, sir.

6 MR. KELLAHIN: I tender Mr. Coats as an
7 expert petroleum geologist.

8 EXAMINER CATANACH: He is so qualified.

9 THE WITNESS: Landman.

10 MR. KELLAHIN: Yes, landman. I almost got
11 you to be a geologist.

12 THE WITNESS: I don't want to be one of
13 those.

14 MR. KELLAHIN: We tender him as a landman,
15 Mr. Examiner.

16 EXAMINER CATANACH: He is so qualified as a
17 landman.

18 Q. Mr. Coats, let me direct your attention,
19 sir to Exhibit No. 1. When we look at the display and
20 look at the north half of Section 16 within the area
21 shaded in the yellow outline, would you describe for
22 us what that represents?

23 A. Well, the acreage within the yellow outline
24 is our proposed 320-acre proration unit for the
25 Shugart-State Com. "A" #1. The divisions within that

1 320-acre tract, represent state leases that cover
2 additional acreage, but that is the acreage they cover
3 within that north half.

4 Q. Identify for us which if any of the parties
5 as of the date of this hearing have not currently
6 agreed to voluntarily participate in the drilling of
7 the proposed well.

8 A. The only party is ARCO.

9 Q. Where is their interest?

10 A. In the northeast quarter of the northeast
11 quarter.

12 Q. In that 40-acre tract, do they have 100
13 percent of the working interest?

14 A. Yes, sir.

15 Q. Let me direct your attention to Exhibit No.
16 2, Mr. Coats. What have you prepared here?

17 A. This is a summary of the proposed well
18 location, the proposed depth we anticipate drilling
19 the well to, a schedule of the working interest owners
20 along with their ownership percentage interest in the
21 north half, and the nature of their ownership. It
22 sets forth the party that we anticipate pooling and
23 the formations we're requesting pooling.

24 Q. Am I correct in understanding that you have
25 obtained voluntary agreement from all working interest

1 owners with regard to the drilling of this well,
2 except for ARCO?

3 A. Yes.

4 Q. The formations to be pooled are from the
5 top of the Wolfcamp formation to the base of the
6 Pennsylvanian formation?

7 A. That is correct.

8 Q. The total depth of the well is one to
9 penetrate and test the Morrow formation?

10 A. That is correct.

11 Q. The location of the well in the northeast
12 to the northwest quarter, is that the proposed
13 location as shown on Exhibit 1?

14 A. Yes, it is. It's 660 from the north line
15 and 1980 from the west line. It's a legal location.

16 Q. ARCO's proportionately reduced interest in
17 the spacing unit is what, sir?

18 A. 12.5 percent.

19 Q. That's as shown on Exhibit 2?

20 A. Correct.

21 Q. Summarize for us, Mr. Coats, what has been
22 your efforts on behalf of your company to obtain
23 ARCO's voluntary participation in the proposed well.

24 A. On May 19th I hand-delivered a well
25 proposal to ARCO, which was an unorthodox well

1 location in the northwest quarter of the northeast
2 quarter. At that point in time we were anticipating
3 dedicating that well to the east half. ARCO was
4 offered the right to participate in that well and
5 expressed to us that they would strongly oppose that
6 location and would seek to prevent it from being
7 drilled, or at least have a strong penalty.

8 Q. Your first contact with ARCO about their
9 interest in the section is set forth in Exhibit No. 3?

10 A. Yes, it is.

11 Q. And that's the letter over your signature
12 dated May 22, 1989?

13 A. That's correct. The letter that's stapled
14 to that is dated May 19, 1989. The May 19th letter
15 proposed the well, the May 22nd letter was following
16 up on one of the provisions in that May 19th letter
17 saying that we would deliver a proposed operating
18 agreement.

19 Q. After the May 22nd letter of 1989, what
20 then occurred?

21 A. As I said, ARCO--it became clear they were
22 going to object to that location. We therefore
23 negotiated with our partners in Section 16 to realign
24 the proration units to provide for the Shugart-State
25 Com. well in the southeast of the southwest to be

1 dedicated to a south half proration unit instead of
2 the west half proration unit it had previously been
3 dedicated to.

4 In doing that, it would allow us to drill a
5 legal location as proposed on the plat and let us go
6 ahead and continue with our plans out there. It took
7 from May 22nd to December 5th to accomplish this, and
8 on December 5th I hand-delivered ARCO a subsequent
9 well proposal that provided for the drilling of the
10 Shugart-State Co. "A" #1 well, as shown on the plat.
11 Attached to that was an AFE and a proposed operating
12 agreement.

13 Q. The December 5th letter, then, shows the
14 north half orientation, shows the specific well
15 location that you've described in Exhibit 1, and gave
16 ARCO the opportunity, then, to participate in the well
17 based upon this AFE?

18 A. Yes, it did.

19 Q. Have you received any objections from ARCO
20 to having TXO operate the well?

21 A. No, we have not.

22 Q. Any objection to the use of the north half
23 as the orientation for the spacing unit?

24 A. No, we have not.

25 Q. Any objection to the well location?

1 A. No.

2 Q. Any objection to the AFE costs?

3 A. No.

4 Q. As of the date of the hearing today, what
5 is the current status of your efforts to get voluntary
6 joinder by ARCO?

7 A. As of today we were informed that ARCO has
8 signed the AFE for the well. However, they continue
9 to attempt to negotiate terms of the operating
10 agreement with us. We've given them the right to
11 participate under the operating agreement that was
12 attached to the proposal, as well as join the
13 operating agreement that's in existence with all of
14 our other working interest owners. Neither of those
15 proposals or operating agreements appears to be
16 acceptable to them. We feel like that we've been fair
17 and that those terms and conditions are accepted
18 generally by most other nonworking--or nonoperators.

19 Q. Without going through all the details of
20 the discussions and the negotiations about the terms
21 of the operating agreement, in your opinion, Mr.
22 Coats, will further time, in your opinion, result in
23 the voluntary joinder of ARCO, or do you now need the
24 assistance of the Division in entering a compulsory
25 pooling order?

1 A. We need the assistance of the Commission to
2 enter the compulsory pooling order. ARCO's intended
3 purpose in this, in my opinion anyway, is to delay the
4 drilling of this well as long as possible.

5 Q. When we look at the offsetting properties
6 as shown on Exhibit 1, who operates the well in the
7 south half of Section 9 to the north of your spacing
8 unit?

9 A. ARCO.

10 Q. What is the formation that is produced in
11 that well?

12 A. The Morrow formation.

13 Q. That is the intended projected target for
14 your well in the north half of 16?

15 A. Yes, it is.

16 Q. Do you have an opinion, Mr. Coats, as to
17 what you would recommend to the Examiner for overhead
18 rates to be included in the compulsory pooling order?

19 A. My recommendation is that we have, as a
20 drilling well rate, \$5,960 per month, and as a
21 producing well rate, \$595 per month.

22 Q. Let me direct you to Exhibit No. 5, Mr.
23 Coats. Is this an exhibit you prepared?

24 A. Yes, it is.

25 Q. When we look at that exhibit, and look at

1 the last entry, are those the proposed rates that
2 you're requesting the Examiner to include?

3 A. Yes, they are.

4 Q. What's the basis for your recommendation?

5 A. Well, first of all, those rates are
6 included within the operating agreement that's
7 currently proposed to ARCO. Well, these are our
8 standard rates for a well at this depth, a gas well in
9 Southeast New Mexico. They're consistent with other
10 overhead rates that we have included in other
11 operating agreements; for instance, the Burton Flat
12 Federal #1, with \$6,000 drilling well rate and a
13 producing rate, and also the Earnst & Young averages
14 for 1989 which, by the way, have not been published
15 yet, but we got these directly from that accounting
16 firm.

17 The 89 averages, as you can see, is \$6,134
18 \$566. The median is somewhat lower than that, as
19 shown on that exhibit. Essentially, we feel like
20 these overhead rates are consistent with overhead
21 rates charged by other operators. In addition to
22 that, ARCO has been allowed the opportunity to
23 participate under the original operating agreement.
24 The overhead rates under that agreement are set forth
25 where it says Shugart-State Com. #1 and Shugart-State

1 Com. "A" #1.

2 Q. What's the meaning of the calculation at
3 the bottom portion of the exhibit?

4 A. Well, what that is, the original overhead
5 rates in those operating agreements were \$1,980
6 drilling well rate and \$335 producing rate. Over the
7 last 11 years or so, those have been escalated by a
8 factor of 199.01 percent.

9 Q. Have any of the other working interest
10 owners in the spacing unit objected to the proposed
11 overhead rates?

12 A. No, they have not.

13 Q. Have all the other working interest owners
14 approved the AFE?

15 A. Yes.

16 MR. KELLAHIN: That concludes my
17 examination of Mr. Coats. We move the introduction of
18 Exhibits 1 through 5.

19 EXAMINER CATANACH: Exhibits 1 through 5
20 will be admitted as evidence.

21 EXAMINATION

22 BY EXAMINER CATANACH:

23 Q. Mr. Coats, I'm not sure I understand
24 Exhibit 5. You've got the Shugart-State Com. #1.
25 That well was drilled in 1978, is that right?

1 A. Yes, sir. That well was drilled under an
2 operating agreement that covered the entire Section
3 16. The ARCO tract expired from that agreement and
4 was subsequently leased, obviously, by ARCO.

5 The Shugart-State Com. #1 well is operated
6 by TXO under that operating agreement and the overhead
7 rates on that well are set forth on Exhibit 5. The
8 overhead rates to be charged to our partners on the
9 proposed Shugart-State Com. "A" #1 would be identical
10 to the ones for the Shugart-State Com. #1, as far as
11 the nonoperators under that JOA. And we have given
12 ARCO the opportunity to participate by ratifying that
13 contract, which they do not want to do.

14 Q. Am I correct in understanding that all the
15 other interest owners in the north half of 16, except
16 for ARCO, will be paying the overhead rates of 39, 40,
17 40?

18 A. Drilling well rate, yes, sir.

19 Q. Drilling well rate. And ARCO will be the
20 only one paying the higher or the proposed overhead
21 rates?

22 A. Well, if they continue to not join the
23 existing operating agreement, that's correct, or
24 that's what we're asking for.

25 Q. If they sign the JOA, then, they're subject

1 to the lesser rates?

2 A. Yes, sir.

3 EXAMINER CATANACH: I see. I have no
4 further questions of the witness.

5 MR. KELLAHIN: Mr. Examiner, at this time I
6 would like to call Mr. Glen Brown. Mr. Brown is the
7 geologist for TXO.

8 GLEN BROWN

9 the witness herein, after having been first duly sworn
10 upon his oath, was examined and testified as follows:

11 EXAMINATION

12 BY MR. KELLAHIN:

13 Q. Mr. Brown, on prior occasions have you
14 testified and qualified as a petroleum geologist?

15 A. In other Commissions, not this one.

16 Q. Not before this New Mexico Division?

17 A. Right.

18 Q. Would you take a moment and summarize for
19 us your educational background and employment
20 experience?

21 A. I received a bachelor's degree in geology
22 from the State University in New York, in Plattsburg.
23 That was in 1980. I received a master's degree in
24 geology from New Mexico State University in Las Cruces
25 in 1982.

1 At that time I went to work for Marshall R.
2 Young Oil Company out of Ft. Worth. I worked in their
3 Oklahoma City office as a petroleum geologist.

4 I left their employ after three years, and
5 two months later joined up with Texas Oil and Gas,
6 where I've worked since that time. I've been with
7 Texas Oil and Gas for five years.

8 Q. Summarize for us your particular
9 experiences, in a general way, in Southeastern New
10 Mexico in mapping and geologic evaluations of the
11 Morrow and Pennsylvanian formations.

12 A. I have been working New Mexico geology for
13 a little over a year at this time.

14 Q. Did you prepare the geologic displays that
15 the Examiner is about to see with regards to the
16 structure and thickness of the Morrow sand?

17 A. I have.

18 Q. You prepared the cross-section as well as
19 the map on the Atoka?

20 A. Yes, I have.

21 Q. And otherwise have made a geologic
22 investigation of the opportunities to produce gas at
23 this location?

24 A. Yes.

25 MR. KELLAHIN: We tender Mr. Brown as an

1 expert petroleum geologist.

2 EXAMINER CATANACH: He is so qualified.

3 Q. Let me turn your attention to what is
4 marked as Exhibit No. 6. Identify that display,
5 please.

6 A. This is a production map of the area
7 surrounding Section 16.

8 Q. When we look at the code on the lower left
9 side of the display, what have you shown there?

10 A. It's a color code that relates to specific
11 formations that produce in the area.

12 Q. What, in your opinion as a geologist, are
13 the primary objectives of a well to be drilled at this
14 particular location?

15 A. The primary objective for this location
16 would be the Morrow.

17 Q. Let's quickly eliminate some of the other
18 formations, if you will. When we look at the
19 potential for a Strawn producer, do we have any Strawn
20 producers shown on the display?

21 A. There is one located a little over two
22 miles to the north, in the very northwest corner of
23 Section 3, the very north end of our map.

24 Q. When we look at the opportunities for an
25 Atoka producer, where are we in relation to other

1 Atoka producers?

2 A. There's Atoka production a mile and a half
3 to the south. I have a map that I'll submit for
4 evidence of the Atoka. I don't believe it's really
5 prospective at our given location. It's pinched out
6 to the south.

7 Q. The best deep gas prospect is for the
8 Morrow?

9 A. That's correct.

10 Q. Have you divided the Morrow into any
11 intervals?

12 A. Yes, there are two distinct intervals in
13 the Morrow that produce in here. There's what I've
14 termed for convenience the middle and lower Morrow
15 sandstones. I have exhibits that reflect isopachs of
16 both of those sands.

17 Q. Based upon your geologic investigation of
18 this area, were you able to formulate an opinion as to
19 a proposed risk factor penalty to be assessed against
20 any nonconsenting working interest owners by the
21 Division in this case?

22 A. Yes, I have.

23 Q. What is that opinion?

24 A. We request a 200 percent penalty.

25 Q. Let's look at some of the bases upon which

1 you make that conclusion. Let's go, sir, to Exhibit
2 No. 7. Again, please identify that for us?

3 A. Exhibit 7 is a structure map on the top of
4 the middle Morrow sand. This structure would also be
5 the same for structure at the lower Morrow sand.
6 They're only 100 feet away from one another.

7 Q. When we look at the structural component of
8 the geologic risk involved in drilling this well and
9 your conclusion about the risk factor penalty, what
10 does the structure tell you?

11 A. Well the structure is mapped on subsurface
12 control alone. We have no seismic data to confirm
13 that we would get high to the wells to the north or to
14 the south. There is associated water production in
15 the middle and lower Morrow sands. It's a combination
16 trap of sand and structure.

17 Therefore, structure would be of
18 importance, and it would be significant if we were to,
19 in fact, fall in a hole, in that we would encounter
20 water instead of gas. There would be a risk there of
21 losing structural position.

22 Q. When we look at Exhibit No. 8, would you
23 identify that for us?

24 A. Yes. It is a porosity isopach of net,
25 middle Morrow sand that is greater than or equal to

1 eight percent.

2 Q. Let's go to Exhibit No. 9, then, and have
3 you identify that display.

4 A. That is a porosity isopach of net lower
5 Morrow sand greater than or equal to eight percent.

6 Q. What part do either of the displays,
7 Exhibit 8 or 9, play in forming a basis for your
8 conclusion that the 200 percent risk factor penalty is
9 appropriate in this case?

10 A. What these maps show is that we're
11 obviously in a Morrow trend of porosity development.
12 The sands are interpreted as being a fluvial channel
13 form system, and I'm hoping that these maps are, in
14 fact correct, that we will encounter net values
15 similar to producers in the area. However, my
16 experience with that nature of the reservoir has been
17 that sometimes one can be incorrect because the sands
18 do come and go in a very short space.

19 Q. Does it diminish the recommended risk
20 factor penalty to less than 200 percent to have the
21 proposed well location located between two producing
22 gas wells?

23 A. Well, yeah. I don't think it diminishes
24 from that recommended penalty myself, because, as I
25 say, there is a tendency for these sands to come and

1 go. There's very little control in the Morrow to the
2 east or to the west of this ARCO well that's located
3 in Section 9, to determine which way this sand, in
4 fact, trends as it goes away from that well. It's
5 very possible it could avoid our location.

6 Q. Can you give us an example to illustrate
7 your point that exists on Exhibit 9, when we look at
8 the relationship in Section 17 to the west of your
9 location, and the wells in Section 20?

10 A. Yes. If the Examiner would look in Section
11 20, there are two Chevron wells there that are on a
12 very close distance to one another, I would say
13 approximately a quarter of a mile from one another.
14 Those two wells, one had encountered 19 feet of
15 porosity, the other had encountered 6 feet of porosity
16 in the lower Morrow sand. Production in those two
17 wells, there was a very sharp contrast over that short
18 of a distance.

19 Q. If we go back to the production map, which
20 is Exhibit No. 6--

21 A. All right. One would look at the Chevron
22 Littlefield Fed. Com., which is in the northwest of
23 the southeast quarter. That well from the Morrow has
24 cum'd 3.9 Bcf and 77,000 barrels of condensate, and it
25 currently makes over 600 Mcf a day.

1 The well in the northwest quarter, the
2 Chevron Eddy-Federal Com. 1D, it only cum'd
3 103,000,000 cubic feet of gas. Obviously a
4 subeconomic producer. So the point being, then, in a
5 short distance the reservoir economic quality of the
6 sand can, in fact, vary and become very undesirable.

7 Q. Let's take a moment and look at the
8 stratigraphic cross-section which is Exhibit 10, Mr.
9 Brown. Let's go directly to the cross-section and
10 find the schematic of the proposed location.

11 A. Okay.

12 Q. Have you found that?

13 A. Uh-huh.

14 Q. Let's look at your geologic opinions with
15 regards to that location as you compare them to each
16 of the two wells on each side of that location.

17 A. Uh-huh.

18 Q. All right.

19 A. As you can see, our proposed location, as
20 you'll notice on our previous maps, lies between a
21 Texas Oil and Gas-operated well to the south, the
22 Shugart-State Com. #1, and it offsets to the north the
23 ARCO Paton B Fed. #1. There is, as I mentioned
24 before, there's production in the middle Morrow and
25 lower Morrow in the area. The ARCO Paton well

1 produces from one sand stringer in the middle Morrow
2 well, and also has some sand development opened in the
3 top of the lower Morrow section.

4 In contrast, you know, to the south, in our
5 TXO Shugart-State Com. well, we have a development of
6 three lenses of sand in the middle Morrow that
7 produce, and the lower Morrow sand in that well was
8 tested as well, water-bearing.

9 Q. When we look at the log of the
10 Shugart-State Com. well, you see the three orange sets
11 of perforations in the middle Morrow?

12 A. Right.

13 Q. Look below. See the lower Morrow
14 perforations?

15 A. Yes.

16 Q. Describe how those are separated at this
17 point.

18 A. They're separated by hot shale markers that
19 are considered to be time stratigraphic markers that,
20 in fact, bound the sands as genetic intervals, is how
21 they're separated out.

22 Q. In your opinion, the production in that
23 well is coming from the middle Morrow and not the
24 lower Morrow?

25 A. Exclusively, yes. We perforate tested and

1 got all salt water out of the lower Morrow.

2 Q. In summary, then, Mr. Brown, what is your
3 geologic conclusion about an appropriate risk factor
4 penalty to assess?

5 A. I would still recommend 200 percent. If I
6 might make one additional point while I have this
7 cross-section in front of everyone, the next well to
8 the left from the Shugart-State Com. that we were just
9 looking at, is the Gulf Energy Keohane "C" Federal
10 #1. This well encountered the thickest and best
11 development of middle Morrow sand that I saw in the
12 entire area. However, they perforated this well and
13 it only made 43,000,000 cubic feet of gas.

14 My summary is that there is a variability
15 in these sands in terms of your risks in encountering
16 them, and there's also a variability once you get them
17 on a log as to what you have. Not only does your risk
18 come in at the drilling stage, but it comes in at
19 completion stage. We've weighed these risks in our
20 mind and have offset them with the potential that we
21 could, in fact, make some rather large wells in the
22 area, and feel that it is warranted to drill for, but
23 there is substantial risk.

24 MR. KELLAHIN: Thank you, Mr. Brown. That
25 concludes our examination of Mr. Brown. We would move

1 the introduction of his Exhibits 6 through 10.

2 THE WITNESS: There's also the Atoka map.

3 Q. Exhibit 11 is an Atoka map. Would you
4 describe Exhibit 11 for us, Mr. Brown?

5 A. This is a structural map on top of the
6 Atoka. The color coding reflects red is a producing
7 map, producing zones in the Atoka; the blue is water
8 zones; and the gray is zones where the Atoka sand is
9 not developed, there's just no sand present at all.

10 As I mentioned before, the Atoka is
11 pinching out as it comes up through Sections 20 and 21
12 and so there's really, in my opinion, very little
13 chance that-- It would have to be a totally new
14 reservoir for it to get up into the north half of 16.
15 It would be a totally different sand

16 Q. The Atoka is more speculative than even the
17 Morrow?

18 A. Extremely speculative. We would not drill
19 a well to Atoka potential here.

20 MR. KELLAHIN: Mr. Examiner, we would now
21 move Mr. Brown's exhibits be introduced; they're
22 Exhibits 6 through 11.

23 EXAMINER CATANACH: Exhibits 6 through 11
24 will be admitted as evidence.

25

EXAMINATION

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

BY EXAMINER CATANACH:

Q. Mr. Brown, as I understand it, the primary objective is the Morrow, and did you say there was no Atoka potential?

A. I mapped no Atoka potential in there, although history has shown that occasionally one will encounter a zone when one doesn't expect it. I'm not anticipating it. We would like to include it in our pooling order just for the serendipity potential if something happened.

Q. On your Exhibit No. 6, are the Morrow wells in this area more or less mostly producing from the middle, or lower or a combination?

A. I personally feel that the middle sand is a better producer than the lower is, and I base that on the evidence that our Shugart-State Com. produces exclusively from middle Morrow sand interval and it is an exceptional well.

There are really only two exceptional wells in there, our well and the well in the southeast quarter of Section 20. All the others are marginally economic at best. Both of those wells have middle Morrow sand perforated and open in them. Further testimony from engineering will go into some of these

1 wells more specifically and the EUR's, estimated
2 ultimate recoveries, of some of these wells in further
3 detail.

4 Q. Did you state that the well in the south
5 half of 16 tested wet in the lower Morrow?

6 A. In the lower Morrow, yes, sir, it did. On
7 the cross-section it, in fact, will reflect that
8 perforation, swabbed no show. We have a cast-iron
9 bridge plug that is at approximately 1,750 feet in
10 that well that's sealed off those perforations below
11 that point because of water. Now, there is some
12 associated water production with our middle Morrow
13 production in there. We make about 60 barrels of
14 water a day along with our gas and whatever, but it's
15 from the middle Morrow.

16 Q. Is your proposed well structurally higher
17 than the well in the south half of Section 16?

18 A. I believe it will be. My interpretation is
19 that I think we will come in structurally high.
20 That's not based on any seismic confirmation of that.
21 It's based on the projection of the anticlinal nose
22 from the southwest up into there. It's very possible
23 that one could come in at a structural position
24 between those two wells, if that anticlinal nose did
25 not go through there. The net effect, what that would

1 do, it would remove us from lower Morrow sand
2 production, in my opinion.

3 Q. Let me see if I'm correct in understanding
4 your other testimony. Well, which one was it, the
5 well you said encountered a lot of sand but didn't
6 have a lot of cumulative production?

7 A. That's right. The well located in the
8 southwest quarter of Section 21, it's the Gulf Energy
9 Keohane "C" Federal. That well, you can see it on
10 your cross-section here, has an excellent development
11 of sand, over 20 feet of middle Morrow sand
12 development. Everyone would get excited looking at
13 the logs and run pipe, but unfortunately when they
14 perforated the well it came on and just fell right on
15 its face and accumulated 43,000,000 cubic feet and
16 it's now abandoned.

17 Basically what it's telling you, my maps
18 are reflecting the statistical development projection
19 of development of sand within these trends, but
20 obviously there's quite a bit more complexities there
21 than I can really present with the limited data we
22 have available. I would say this would probably be
23 some kind of meander cutoff situation, where you have
24 a little point bar and the sand, it's thick on the
25 logs, but about the size of this room.

1 EXAMINER CATANACH: I have no further
2 questions of the witness. He may be excused.

3 RANDALL STEWART CATE

4 the witness herein, after having been first duly sworn
5 upon his oath, was examined and testified as follows:

6 EXAMINATION

7 BY MR. KELLAHIN:

8 Q. Would you please state your name and
9 occupation.

10 A. My name is Randall Stewart Cate. I'm a
11 petroleum engineer for Texas Oil and Gas, or TXO
12 Production Corp. I have been working for them for
13 over eight and a half years in the Midland district.

14 Q. Mr. Cate, have you, on prior occasion,
15 testified as a petroleum engineer before this
16 Division?

17 A. Yes, I have.

18 Q. In pursuing your employment, have you made
19 a study of the engineering information available
20 within the specific area of Eddy County, New Mexico,
21 for the Shugart-State Com. "A" #1 well?

22 A. Yes, I have. I have reviewed production
23 information, scout ticket completions, and have drawn
24 some conclusions based on that research.

25 Q. In addition, you've also reviewed the AFE

1 that TXO proposes to utilize for the drilling of this
2 well?

3 A. Yes, I have.

4 MR. KELLAHIN: We tender Mr. Cate as an
5 expert petroleum engineer.

6 EXAMINER CATANACH: He is so qualified.

7 Q. As part of your duties, have you been able
8 to formulate an opinion as to what you, as a petroleum
9 engineer, recommend to the Examiner for a penalty
10 factor to be assessed against any nonconsenting
11 working interest owners?

12 A. Yes, I have.

13 Q. And what is that opinion?

14 A. That the maximum penalty of 200 percent be
15 assigned in this case.

16 Q. Have you also reviewed the AFE to determine
17 whether or not you could reach an opinion as to
18 whether that AFE was fair and reasonable?

19 A. Yes, I have.

20 Q. What is your opinion?

21 A. That it is fair and reasonable.

22 Q. I believe as of the date of the hearing we
23 do not have any of the working interest owners,
24 including ARCO, that have objected to the AFE?

25 A. That's correct.

1 Q. Let's go, then, to your opinion and
2 conclusion about the risk factor penalty. What have
3 you done in order to form a basis upon which to make
4 that opinion?

5 A. I have studied the wells in the exhibit
6 area which Exhibit No. 6, I guess, would be a good
7 one. It's the production study. And my Exhibit No.
8 12 lists those wells and some of the test data,
9 cumulative production, and the zones that it has been
10 produced from. And based on that data, I arrived at
11 my conclusion.

12 Q. Describe for us, and you don't have to go
13 through each of the entries on Exhibit 12, but
14 describe for us which of these comparisons or what
15 portion of the statistical analysis helps support your
16 conclusion?

17 A. Okay. Based on the exhibit area in which
18 these wells fall in this Morrow trend, there is 11
19 total wells that--and I will stay with the Morrow. We
20 don't believe the Atoka will be productive at this
21 location--but 11 Morrow penetrations and tests, two of
22 which made or will make more than one Bcf of gas, two
23 out of 11.

24 In my opinion, one and a half to two Bcf is
25 the minimum that we would want to have for this

1 prospect. So you can see the odds of achieving that
2 in this trend are very low. In addition, only five
3 out of the 11 will make more than half of a Bcf.

4 Q. What's the criteria by which you have
5 judged 1 Bcf to be the volume of gas needed in order
6 to have a well that, in your analysis, is commercial?

7 A. Based on \$1.50 average gas price, which is
8 pretty good average right now, less your transports
9 and all, the AFE of \$756,000, you divide that by your
10 net, add two years' worth of operating expenses of
11 \$2,000 a month, you get payout of roughly six- to
12 seven-tenths of a Bcf required. Nobody drills
13 strictly for payout, so you would like to see a fair
14 return two to three times that as a minimum, so that's
15 where I get one and a half to two Bcf.

16 Q. At one and a half Bcf, then, you'll get the
17 cost of the well back plus one more?

18 A. Yes, sir, approximately.

19 Q. As a method by which, then, to establish a
20 criteria for the successfulness of these gas wells,
21 that's what you've used?

22 A. Yes.

23 Q. Have you made a comparison as to whether or
24 not you reduce the risk by being in close proximity to
25 a well that is one of the better producers? For

1 example, can you locate yourself within close
2 proximity of one of the two wells that meet your
3 economic criteria for a successful well?

4 A. Yes, we can. Down in Section 20, the
5 Littlefield Fed. drilled by Chevron, the well has a
6 cum to date of 4 Bcf. I projected, based on decline
7 and P/Z that it should do roughly 6 Bcf.

8 Direct offset to the northwest of it, the
9 Chevron Eddy Fed. Com. attempted a completion, has
10 made approximately one-tenth of a Bcf out of the
11 Morrow.

12 Back up in Section 9, the ARCO Paton "B"
13 Fed. #1 is the well that we will be the closest to at
14 this location. I project, based on production decline
15 rate and pressure calculations versus production--and
16 there are exhibits that show the production decline on
17 this well--that it will make between 700- and
18 800,000,000 cubic feet, or less than a Bcf. It came
19 on very nicely, but it has dropped off dramatically.

20 Q. Your estimates of cumulative recovery for
21 the ARCO well is probably not more than .8 Bcf?

22 A. That is correct.

23 Q. Where is the other of the two good wells,
24 then, in the pool; "good," meaning those two wells of
25 the 11 that, in your opinion, would recovery a Bcf or

1 more of gas?

2 A. The other is in the south half of Section
3 16. It's called the TXO Production Corp.
4 Shugart-State Com. #1.

5 Q. Okay. When we look at attempted well
6 location in the north half of 16, then, you're caught
7 in the dilemma of being located between a poor well
8 and a good well and you expose yourself to the same
9 kind of risk that Chevron did in Section 20?

10 A. Yes. I believe the statistics definitely
11 bear that kind of a risk, yes.

12 Q. Let's look at the production plot from the
13 ARCO well in the south half of Section 9. I believe
14 that's marked as Section 13. Do you have that?

15 A. Yes, I come.

16 Q. At the same time, let's look at Exhibit No.
17 14 which is the production data plotted for the TXO
18 Shugart well in the south half of 16. Describe for us
19 what this shows you.

20 A. Okay. This is a plot of the oil and gas
21 production for the Shugart State and on the Paton B,
22 Exhibit 13. It also includes the water production.
23 For Exhibit 14, I would like to say that we did not
24 get our water plot on this. It has averaged around
25 100 barrels of water per day for its entire life. So

1 these plots show some curious differences in the
2 production performance between these wells.

3 The ARCO Paton well is not reporting
4 significant water, somewhere around 7 barrels of water
5 per day, and we have, like I say, produced an average
6 of 100 barrels of water per day since the beginning of
7 time.

8 Our gas production is in red and same on
9 Exhibit 13. The green is the oil production. The
10 production characteristics of our well since 1979 have
11 been roughly 1,000,000 cubic feet per day to one and a
12 half per day, very stable production, 10 to 15 percent
13 decline over that entire period, and we have produced,
14 I believe, 3.2 Bcf to date there.

15 In contrast, the ARCO Paton well has
16 produced 514,000,000 through December of 89. At its
17 projected decline, which is basically 80 to 90
18 percent, another two-tenths of a Bcf is what I would
19 project that it will do.

20 Q. In conclusion, then, based upon your study
21 of the engineering information, would you recommend to
22 the Examiner a penalty factor against ARCO in the
23 event they go nonconsent, of less than the maximum 200
24 percent?

25 A. No, I would recommend the maximum of 200

1 percent penalty.

2 MR. KELLAHIN: That concludes my
3 examination. We move the introduction of Mr. Cate's
4 Exhibits 12, 13 and 14, I believe is correct.

5 EXAMINER CATANACH: Exhibits 12 through 14
6 will be admitted as evidence. I have no questions of
7 the witness.

8 MR. STOVALL: I have a question to clarify
9 and make sure, as a nonengineer, to make sure I'm
10 reading this right.

11 EXAMINATION

12 BY MR. STOVALL:

13 Q. On your two production curves, one starts
14 your scale at the bottom? They're logarithmic curves,
15 is that right?

16 A. Yes, that's correct.

17 Q. One starts at 100 and one at 1,000 Mcf per
18 day? Am I reading those correctly?

19 A. No, this is on a per month.

20 Q. Per month. Excuse me.

21 A. Yes, that is correct. If you would like me
22 to expand, or not, I--

23 Q. No. I just wanted to make sure I was
24 reading the curves correctly.

25 A. Yes, that is correct.

1 EXAMINER CATANACH: That's all we have. Is
2 there anything further in this case?

3 MR. KELLAHIN: Mr. Examiner, we have
4 provided notification to ARCO, as evidenced by Mr.
5 Carr's presence here today. I don't have the green
6 return receipt card yet back from the postal service.
7 I would like another day or two to wait for the card,
8 and when it shows up I would like permission to insert
9 into the record the certificate of our notice to
10 ARCO.

11 We have sent them, with the filing of the
12 application, a copy of the application, a notice of
13 the hearing, and that was originally mailed on January
14 16, 1990, when we filed the application, which meets
15 the 20-day notice requirement.

16 MR. STOVALL: Mr. Examiner, just for the
17 record, there is sufficient authority that ARCO's
18 appearance in this case would waive any notice defects
19 anyway.

20 EXAMINER CATANACH: I'll wait till I hear
21 from you on that, Mr. Kellahin, and we'll enter it in
22 the record.

23 There being nothing further in this case,
24 Case 9861 will be taken under advisement.

25


1 CERTIFICATE OF REPORTER

2
3 STATE OF NEW MEXICO)
4 COUNTY OF SANTA FE) ss.

5
6 I, Carla Diane Rodriguez, Certified
7 Shorthand Reporter and Notary Public, HEREBY CERTIFY
8 that the foregoing transcript of proceedings before
9 the Oil Conservation Division was reported by me; that
10 I caused my notes to be transcribed under my personal
11 supervision; and that the foregoing is a true and
12 accurate record of the proceedings.


13 I FURTHER CERTIFY that I am not a relative
14 or employee of any of the parties or attorneys
15 involved in this matter and that I have no personal
16 interest in the final disposition of this matter.

17 WITNESS MY HAND AND SEAL February 24, 1990.

18 
19 CARLA DIANE RODRIGUEZ
20 CSR No. 91

21 My commission expires: May 25, 1991

22
23 I do hereby certify that the foregoing is
24 a complete record of the proceedings in
25 the Examiner hearing of Case No. 9861,
heard by me on February 7 1990.


David R. Colanich, Examiner
Oil Conservation Division

CUMBRE COURT REPORTING
(505) 984-2244