

NEW MEXICO OIL CONSERVATION COMMISSION

EXAMINER HEARINGSANTA FE, NEW MEXICOHearing Date MARCH 7, 1990 Time: 8:15 A.M.

NAME	REPRESENTING	LOCATION
<i>William F. Egan</i> STEVEN S. DUNA	<i>Campbell and Black H.</i> MERITON OIL & GAS CORP.	<i>Santa Fe</i> FARMINGTON
<i>Johnny Roberts</i>	"	"
<i>AT Shantz</i>	"	"
<i>J.A. Greenman</i>	TAHOE ENERGY, INC.	Midland, TX.
<i>E.R. Manning</i>	El Paso Natural Gas	El Paso, TX
<i>Bob Huber</i>	<i>Bryson</i>	<i>Santa Fe</i>
<i>Gene Gallegos</i>	<i>Gallegos Law Firm</i>	<i>Santa Fe</i>
<i>Harry J. Miller</i>	"	"
<i>Victor L. Lyon</i>	<i>pro se</i>	"
<i>Alan L. Bohling</i>	Chevron U.S.A.	Hobbs, NM
<i>Ernst L. Pasch</i>	<i>Pedell & Snyder</i>	<i>Santa Fe</i>
<i>Eddie Rodriguez</i>	State Oil & Gas Corp.	Roswell, NM
<i>Candace Anna Callahan</i>	Bird Creek Resources	<i>Santa Fe</i>
<i>Evan Dutton</i>	<i>Cons. Engr</i>	<i>Santa Fe</i>

NEW MEXICO OIL CONSERVATION COMMISSION

EXAMINER HEARINGSANTA FE, NEW MEXICOHearing Date MARCH 7, 1990 Time: 8:15 A.M.

NAME	REPRESENTING	LOCATION
<i>Bill W. Burch</i> <i>Joe D. Pamey</i> KEITH LOGAN GREG HAIR	Bird Creek Resources State Oil & Gas BTA OIL PRODUCERS "	Tulsa, OK Hobbs, NM MIDLAND "

STATE OF NEW MEXICO
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
OIL CONSERVATION DIVISION
CASE 9880

EXAMINER HEARING

IN THE MATTER OF:

Application of Merrion Oil & Gas
Corporation for a Waterflood Project,
McKinley County, New Mexico

TRANSCRIPT OF PROCEEDINGS

BEFORE: DAVID R. CATANACH, EXAMINER

STATE LAND OFFICE BUILDING

SANTA FE, NEW MEXICO

March 7, 1990

ORIGINAL

CUMBRE COURT REPORTING
(505) 984-2244

A P P E A R A N C E S

FOR THE DIVISION:

ROBERT G. STOVALL
Attorney at Law
Legal Counsel to the Divison
State Land Office Building
Santa Fe, New Mexico 87501

FOR THE APPLICANT:

B. TOMMY ROBERTS, ESQ.
Post Office Box 1020
Farmington, New Mexico 87499

I N D E X

Page Number

Appearances

2

GEORGE SHARPE

Examination by Mr. Roberts

5, 23

Examination by Mr. Stovall

20

Examination by Examiner Catanach

23

Certificate of Reporter

30

E X H I B I T S

APPLICANT'S EXHIBITS:

Exhibit 1

9

Exhibit 2

9

Exhibit 3

10

Exhibit 4

11

Exhibit 4A

12

Exhibit 5

13

Exhibit 6

14

Exhibit 7

15

Exhibit 8

16

Exhibit 9

17

Exhibit 10

18

Exhibit 11

20

Exhibit 12

22

1 EXAMINER CATANACH: Call Case 9880.

2 MR. STOVALL: Application of Merrion Oil
3 and Gas Corporation for a waterflood project, McKinley
4 County, New Mexico.

5 EXAMINER CATANACH: Appearances in this
6 case?

7 MR. ROBERTS: Mr. Examiner, my name is
8 Tommy Roberts. I'm an attorney in Farmington, New
9 Mexico. I'm appearing on behalf of the Applicant and
10 I have one witness to be sworn.

11 EXAMINER CATANACH: Any other appearances?
12 Would the witness please stand and be sworn in.

13 (Thereupon the witness was sworn.)

14 MR. ROBERTS: Mr. Examiner, if I might, I
15 would like to give a brief preliminary statement.
16 This is the third in a recent series of applications
17 filed by Merrion Oil & Gas with respect to its
18 operations in the Papers Wash-Entrada oil pool.

19 The first of those applications was an
20 application for horizontal directional drilling pilot
21 project in Case No. 9754, which was heard by the
22 Examiner on September 6, 1989, and it was approved by
23 Order No. R-9079 on December 14, 1989.

24 The second of the applications was an
25 application for cooperative unit agreement in Case No.

1 9840, and it was heard by the Examiner on December 13,
2 1989, and approved by Order No. R-9090 on December 21,
3 1989.

4 I would ask the Examiner to take
5 administrative notice of all matters of record in
6 these prior proceedings before the Oil Conservation
7 Division.

8 If you're ready, we can proceed with the
9 testimony of Mr. Sharpe.

10 EXAMINER CATANACH: You may proceed, Mr.
11 Roberts.

12 GEORGE SHARPE

13 the witness herein, after having been first duly sworn
14 upon his oath, was examined and testified as follows:

15 EXAMINATION

16 BY MR. ROBERTS:

17 Q. Mr. Sharpe, would you state for the record
18 your name and place of residence?

19 A. My name is George Sharpe; I live in
20 Farmington, New Mexico.

21 Q. Who are you employed by?

22 A. Merrion Oil & Gas Corporation.

23 Q. In what capacity are you employed?

24 A. I'm a reservoir production engineer for
25 Merrion Oil & Gas.

1 Q. How long have you been employed by Merrion?

2 A. For two months.

3 Q. What are your general job responsibilities?

4 A. As a reservoir engineer, to review the
5 performance of fields and to try to optimize the
6 ultimate recovery from those fields. And, as a
7 production engineer, to evaluate the performance of
8 individual wells and optimize the performance and
9 productivity of individual wells.

10 Q. Are you familiar with the operations of
11 Merrion Oil & Gas in the Papers Wash-Entrada oil pool?

12 A. I am.

13 Q. Are you familiar with the application in
14 this case?

15 A. I am.

16 Q. Have you testified before the Oil
17 Conservation Division on any prior occasion?

18 A. No, I haven't.

19 Q. Would you briefly describe your post-high
20 school educational background.

21 A. I received a B.S. in civil engineering from
22 Colorado School of Mines in 1980, and a master's in
23 petroleum engineering in 1982 from Colorado School of
24 Mines.

25 Q. Briefly describe your occupational

1 background.

2 A. In 1982 I went to work for Chevron USA,
3 Inc., in Denver, Colorado. I worked as a reservoir
4 and production engineer for four years there. Then
5 moved to Rangle, Colorado, and worked on the Rangle
6 waterflood CO-2 project for three years, and then
7 moved to Bakersfield, California, and worked for a
8 year as a reservoir engineer in Bakersfield,
9 California, before going to work for Merrion Oil.

10 Q. Could you describe in a little bit more
11 detail your past experience in waterflood projects?

12 A. As a gas and chemical engineer and
13 corrosion engineer at the Rangle unit, I was
14 responsible for monitoring corrosion, monitoring all
15 aspects of the waterflood from the standpoint of
16 mechanical integrity and the standpoint of the
17 treating and implementing the waterflood.

18 Q. What have been your responsibilities with
19 respect to the waterflood project which is proposed by
20 Merrion Oil & Gas for the Papers Wash-Entrada oil
21 pool?

22 A. As a reservoir engineer I justified the
23 technical feasibility of a waterflood and I have been
24 responsible for preparing the permit applications and
25 preparing the AFE justification for the project.

1 MR. ROBERTS: Mr. Examiner, we would tender
2 Mr. Sharpe as an expert in the field of petroleum
3 engineering.

4 EXAMINER CATANACH: He is so qualified.

5 Q. Mr. Sharpe, briefly describe the purpose of
6 this application.

7 A. The purpose of this application is to
8 institute a waterflood in the Papers Wash Cooperative
9 Agreement Unit Area, underlying portions of Sections
10 15 and 16, Township 19 North, Range 5 West, by
11 injecting water into the Navajo Allotted 15-3 well.

12 Q. Have you completed and submitted to the Oil
13 Conservation Division Form C-108 for this project?

14 A. I have.

15 Q. Now, you have before you a packet of
16 exhibits which you intend to introduce in this case.
17 What are the relationship of these exhibits to your
18 C-108 application?

19 A. The exhibits summarize the key points of
20 the C-108 application. In addition they go beyond
21 that to summarize the technical feasibility of the
22 waterflood.

23 Q. Do you have Environmental Protection Agency
24 approval for the conversion of the well to an
25 injection well?

1 A. No, we do not.

2 Q. When do you anticipate to have that
3 approval?

4 A. We have submitted as of last week the EPA
5 permit, and I am unfamiliar with their approval
6 process, how long that will take.

7 Q. I want to direct your attention to Exhibit
8 1 in your packet of exhibits. Would you identify that
9 exhibit and explain its relevance to this application?

10 A. Exhibit 1 is an index map showing the
11 location of the Papers Wash Field to be in the
12 northeast corner of McKinley County, approximately 20
13 miles west of Cuba, New Mexico.

14 Q. Now turn to what's been marked as Exhibit 2
15 and identify that exhibit.

16 A. This exhibit is a net pay map showing the
17 cooperative area that has been approved for the
18 secondary recovery projects in the field. The
19 cooperative area has been approved by the BLM, by the
20 State, and we anticipate approval by the BIA this
21 morning at 10:00 a.m. The project area for the
22 waterflood is defined in the C-108 as essentially the
23 cooperative area.

24 In addition, I would like to point out on
25 this exhibit that all wells but one well in the field

1 are currently shut in. The only producing well, the
2 Navajo Allotted 15-4, is currently producing at a
3 water/oil ratio of 120, which is marginally economic.
4 Therefore, without the horizontal drilling which we
5 have already drilled shown on this exhibit as 15-2H
6 well and in addition to the waterflood, without the
7 secondary recovery of the horizontal well in the
8 waterflood we would be very close to terminating
9 operations in the Papers Wash Field.

10 Q. Is the cooperative area co-extensive with
11 the project area for the waterflood project?

12 A. Essentially, yes, it is.

13 Q. On Exhibit 2, the cooperative area is
14 indicated by the bold black line, is that correct?

15 A. That is correct.

16 Q. Now, turn to what's been marked as Exhibit
17 No. 3 and identify that exhibit.

18 A. Exhibit No. 3 is a cross-section through
19 the field which illustrates what we feel the major
20 reservoir drive mechanisms are, which enabled us to
21 recover oil up to this point. The Entrada reservoir
22 has a very strong water aquifer and very dead oil.
23 Through the aquifer a bottom water drive rising
24 through the reservoir, pushing oil to the wellbore has
25 been the mechanism by which we've recovered

1 approximately 32 percent of the original oil in place
2 to date.

3 With our ultimate recovery being
4 approximately 32 percent, a great deal of the
5 reservoir will remain unswept by the bottom water
6 drive. Essentially what we are proposing is to
7 realign the natural waterflood that is going on at
8 this time and try to flood the reservoir in a
9 side-to-side manner and increase the sweep efficiency
10 and thus increase our recovery.

11 This has been done before in a high water
12 drive or, excuse me, a field with a very active water
13 aquifer in the Fosterton field in Oklahoma, and we
14 feel it has application in this reservoir.

15 Q. Refer to what's been marked as Exhibit 4
16 and identify that exhibit.

17 A. Exhibit No. 4 is a map of our predictions
18 of the remaining net pay after depletion from our
19 current wells, including the horizontal well, Federal
20 15-2H. As the exhibit shows, there's a relatively
21 thick column of oil, over 20-feet thick, in between
22 our current producers or, excuse me, the current wells
23 in the field, and we feel that by injecting into the
24 Navajo Allotted 15-3 and eventually a couple of years
25 down the road injecting into the Navajo Allotted 15-1,

1 that we can sweep through that portion of the
2 reservoir and increase the recovery from the field.

3 There are several things to point out.
4 First, the application before the Commission today is
5 to convert the Navajo Allotted 15-3 to injection. If
6 the project is successful and we are recovering
7 incremental oil, we would, a year or two years down
8 the road, like to convert the Federal 15-1 to
9 injection, also.

10 Again, if it works, there's the possibility
11 of coming over to the west side of the field and
12 injecting into the 16-2 and the 16-1 and sweeping
13 reserves from that side of the field, also.

14 Q. Exhibit No. 4A in your packet is a primary
15 and secondary reserves tabulation. Would you describe
16 the information relevant to this application that's
17 depicted in that tabulation?

18 A. The purpose of Exhibit 4A is to summarize
19 the benefit of the waterflood as compared to remaining
20 primary reserves. The exhibit shows the remaining
21 primary reserves are predicted to be approximately
22 92,000 barrels. The horizontal well is predicted to
23 recover an additional 170,000 barrels, and the
24 waterflood is predicted to recover 130,000 barrels.

25 The exhibit goes on to show the value of

1 that to the state and to the landowners and it should
2 be pointed out that this not only protects the
3 correlative rights but enhances those rights by
4 increasing the recovery and increasing the value to
5 the state and the landowners.

6 Q. How would you characterize the economics of
7 operations in this Papers Wash-Entrada oil pool
8 without the waterflood project approval?

9 A. Again, the only producer in the fields has
10 a water/oil ratio of 120. We can produce that well to
11 an economic limit of 160 water/oil ratio. Again, we
12 are very borderline economic, and it has very high
13 operating costs, and without the secondary recovery
14 processes we would be very near the terminal life of
15 this field.

16 Q. So, to restate your testimony, then, you're
17 indicating that the waterflood project would
18 potentially result in recovery of an additional
19 130,000 barrels of oil?

20 A. That's correct. It should be pointed out
21 that that is an unrisk prediction. We feel there's
22 substantial risk to recovering that and that is why
23 we're conservatively going about it, converting one
24 well at a time in evaluating the process.

25 Q. Now turn to Exhibit No. 5 and identify that

1 exhibit.

2 A. Exhibit 5 is a land map showing the leases
3 within one-half mile of the Navajo Allotted 15-3.
4 There is a circle on the exhibit, a one-half mile
5 radius. All wells within that one-half mile area of
6 review are within the cooperative agreement which is
7 shown in bold line on the exhibit.

8 It should be pointed out that all leases
9 that are within the area, the one-half mile area of
10 review, except for one, and that one being New Mexico
11 Lease 33382, which is held by Chase Oil Company, all
12 other leases are held by the owners of the cooperative
13 agreement, Merrion Oil & Gas and Pitco, except for the
14 two in the south which are open. Again, the only
15 outside operator which owns a lease within the area of
16 review is Chase Oil Corporation.

17 Q. Now turn to Exhibit No. 6 and identify that
18 exhibit.

19 A. Exhibit 6 is a statement whereby I notified
20 Frank Welker, the vice-president of Chase Oil Company
21 on March 2, 1990, and informed him of our plans to
22 institute a waterflood. He said that he considered
23 the telephone call adequate notice, and he had no
24 objections to the waterflood.

25 Q. To your knowledge, have all notice

1 requirements set forth in the rules and regulations of
2 this Division been satisfied?

3 A. Through this verbal notification to Chase
4 Oil Company, and through the applications to the EPA
5 and to the state, and copies of those applications
6 going to the BLM, we feel we have satisfied the
7 notification requirements of the C-108.

8 Q. Mr. Sharpe, who owns the surface of the
9 lands on which the proposed injection well is located?

10 A. The BLM owns most of the lands. Some are
11 Indian allotted which are under the jurisdiction of
12 the BIA.

13 Q. And specifically the proposed injection
14 well is located on Indian allotted lands?

15 A. That's correct.

16 Q. You've notified the BIA of this
17 application?

18 A. The BIA has received copies of the C-108 as
19 well as the EPA permit for this well.

20 Q. Let's turn to Exhibit No. 7. Identify that
21 exhibit.

22 A. Exhibit 7 is a summary table showing the
23 mechanical integrity of all wells within the area of
24 review. It should be noted for the record that in our
25 opinion all wells have mechanical integrity, and all

1 wells are cemented across the Entrada formation, the
2 formation we're planning to inject into. We do not
3 anticipate cross-flow from or through any of those
4 wells.

5 There is more detail in the C-108
6 application in the form of a wellbore schematic for
7 each well in Exhibit 7.

8 Q. Let's turn to Exhibit No. 8. Identify that
9 exhibit and explain its significance to the
10 application.

11 A. Exhibit 8 is a water analysis of the
12 Entrada-produced water. Our plan is to take produced
13 water from the Entrada formation and reinject it back
14 into the Entrada formation, into the Navajo Allotted
15 15-3. We are currently disposing that water into the
16 Gallup formation in the Navajo Allotted 15-6.

17 The total dissolved solids as shown on this
18 exhibit are 4210 parts per million, indicating this is
19 a fresh water reservoir. It should be pointed out
20 that samples from this field and other Entrada fields
21 which Merrion Oil & Gas operates shows that the total
22 dissolved solids within the Entrada formation varies
23 from 3,000 to 20,000 parts per million, and averages
24 from 8- to 10,000 parts per million.

25 It should also be pointed out that the

1 sample that was submitted in the C-108 application of
2 18,000 parts per million was a sample from the Media
3 field and it was mistakenly submitted. This is the
4 most recent analysis from the Papers Wash Field.

5 Q. What is the date of this analysis?

6 A. The date of this analysis is January 31,
7 1990.

8 Q. Mr. Sharpe, will all of the water to be
9 injected be from the Entrada formation?

10 A. Approximately 95 percent of the water to be
11 injected would be from the Entrada formation. We
12 would like permission from the State to inject
13 produced water from the Mesaverde formation, also.

14 Q. Let's turn to Exhibit No. 9 and identify
15 that exhibit.

16 A. Exhibit 9 is a water analysis from the
17 Little Blue Federal #1, a Mesaverde producer within
18 the cooperative area. The water analysis shows the
19 total dissolved solids to be 7,200 parts per million,
20 which is also less than the 10,000 parts per million
21 criteria for fresh water. It is also less than the 8-
22 to 10,000 parts per million average for the Entrada
23 fields, although it's slightly greater than the 4,200
24 parts per million shown in Exhibit 8.

25 We feel there are no compatibility problems

1 with these waters. Less than five percent of the
2 total volume will be Mesaverde water, and we would
3 like permission to commingle these waters and inject
4 them into the Entrada formation.

5 Q. What is the date of this analysis for the
6 Mesaverde water?

7 A. It is December 22, 1989.

8 Q. Okay. Now turn to Exhibit No. 10 and
9 identify that exhibit.

10 A. Exhibit No. 10 is a wellbore diagram of the
11 Navajo Allotted 15-3. It should be noted for the
12 record that there is cement from the Entrada formation
13 all the way to surface in this subject well, behind
14 the 7-inch production casing. Our plans are to
15 complete the well with a 7-inch Baker Lockset
16 Retrievable Packer at 5100 feet, and inject into the
17 Entrada perforations from 5142 to 5148.

18 We will have inhibited fluid in the annular
19 region behind the packer, and we will initially
20 pressure test the packer tubing and casing upon
21 initial completion and a minimum of every five years
22 as called for in the UIC requirements.

23 I would also like to point out that our
24 plans are to initially inject at 3,000 barrels per day
25 at an anticipated surface pressure of 500 psi. We

1 anticipate a maximum injection rate of 6,000 barrels
2 per day at a maximum surface pressure of 1,000 psi,
3 which is below the fracture pressure of the Entrada
4 formation. We do not anticipate initiating fractures
5 within that formation.

6 Q. In your opinion, is the injection well
7 adequately cased and cemented to prevent movement of
8 formation or injected fluids from injection zones into
9 any other zone or to the surface?

10 A. Yes, it is.

11 Q. How do you plan to assure the continued
12 mechanical integrity of the wellbore?

13 A. Again, our plan is to initially pressure
14 test the tubing, casing and packer. We will record
15 daily rates and pressures, and on a routine basis
16 minimum of once every five years we will re-pressure
17 test the tubing casing in the packer.

18 Q. Mr. Sharpe, in your opinion, will the
19 granting of this application be in the best interest
20 of conservation and result in the prevention of waste
21 and the protection of correlative rights?

22 A. Yes, it will.

23 Q. Were Exhibits 1 through 10 prepared by you
24 or at your direction and under your supervision?

25 A. Yes, they were.

1 MR. ROBERTS: Mr. Examiner, we move the
2 admission of Exhibits 1 through 10.

3 EXAMINER CATANACH: Exhibits 1 through 10
4 will be admitted as evidence.

5 MR. ROBERTS: I have no other questions on
6 direct.

7 MR. STOVALL: Mr. Sharpe, I'm looking at
8 what appears to be your C-108 packet. Mr. Roberts, I
9 am going to hand you that and ask you to mark that,
10 please and have the witness identify it. Here's the
11 stamp over here if you need it.

12 MR. ROBERTS: Okay. I'll call this Exhibit
13 11.

14 Q. (BY MR. ROBERTS) Mr. Sharpe, I'm handing
15 you what's been marked as Exhibit No. 11. Would you
16 take a look at that, please, and identify it?

17 A. This is identified as proof of notice. It
18 shows receipts for registered mail of sending our
19 permit application to the various regulatory agencies
20 as well as to Chase Oil Company.

21 EXAMINATION

22 BY MR. STOVALL:

23 Q. Let me ask. That is the receipt which, I
24 assume, was prepared in your office, is that correct?

25 A. Yes, sir.

1 Q. And what date does it show the notice was
2 given?

3 A. March 1, 1990.

4 Q. Are you familiar with the requirements for
5 notice of the Commission?

6 A. I am now.

7 MR. STOVALL: For the record, let's specify
8 that, that seven days probably doesn't qualify, and
9 there is no provision for oral notice to be given
10 under the rules or regulations. As far as I'm
11 concerned, Mr. Examiner, the only way that could be
12 overcome is for the parties entitled to notice to
13 actually enter their appearance and waive any
14 deficiency in the notice. So it appears to me that
15 this case will not be able to be taken under
16 advisement today, that we'll have to have the actual
17 notice 20 days prior to this case been taken under
18 advisement, so I'm going to recommend this case be
19 continued to allow for adequate notice time.

20 If those were mailed on the 1st, I believe
21 that means we could continue it until the 21st for
22 notice purposes, and Mr. Sharpe or Mr. Roberts also
23 need to provide the green return receipt cards when
24 you receive them back, if you would.

25 EXAMINER CATANACH: Okay. We'll go ahead

1 and continue the case until the 21st.

2 MR. STOVALL: The other item we need to
3 take care of, and Mr. Roberts again I'll defer to you
4 as to how you would like to do this, but as a matter
5 of practice there's a question as to whether the C-108
6 actually constitutes the application in this case and
7 becomes a matter of the record in that manner.

8 Normally, as a matter of practice, and I
9 think for convenience, it is most convenient to have
10 that C-108 admitted as a exhibit.

11 MR. ROBERTS: We'll mark that as Exhibit
12 No. 12.

13 MR. STOVALL: I'll give you that right now
14 and you can have the witness identify it.

15 Q. (BY MR. STOVALL) Mr. Sharpe, while Mr.
16 Roberts is doing that, do you know if that C-108 was
17 sent as part of the package to each of the recipients
18 on there?

19 A. Yes, sir, it was. Not in full. I kept out
20 some of the detail, but the summary sheets on the
21 wells in the area, as well as all the maps. I don't
22 believe I sent all the wellbore schematics to every
23 person, but I did send the application itself, as well
24 as the major exhibits within that application. Is
25 that adequate?

1 MR. STOVALL: In my opinion that would
2 sufficiently provide them with notice of the intent of
3 the application.

4 Mr. Roberts, would you like to get him to
5 identify the C-108?

6 MR. ROBERTS: Yes.

7 FURTHER EXAMINATION

8 BY MR. ROBERTS:

9 Q. Mr. Sharpe, identify what's been marked as
10 Exhibit No. 12.

11 A. Exhibit No. 12 is the C-108 that was
12 submitted to the State of New Mexico for permission to
13 inject water into the Navajo Allotted 15-3 in the
14 Entrada formation.

15 MR. ROBERTS: Mr. Examiner, we would move
16 the admission of Exhibits 11 and 12.

17 EXAMINER CATANACH: Exhibits 11 and 12 will
18 be admitted as evidence.

19 MR. ROBERTS: Mr. Examiner, do you have any
20 other questions of this witness?

21 EXAMINER CATANACH: Yes, I do, Mr.
22 Roberts.

23 EXAMINATION

24 BY EXAMINER CATANACH:

25 Q. Mr. Sharpe, for what reason does your

1 company seek to also inject Mesaverde water into the
2 field?

3 A. For the economic handling of that Mesaverde
4 water. It is again within the cooperative area. The
5 surface facilities are very close to the Entrada
6 reservoir and it is the most convenient, and we feel
7 not unsanitary way to handle the Mesaverde water to
8 commingle and inject it.

9 Q. What is the source of that Mesaverde water?
10 What wells does that come from?

11 A. It is from the Little Blue Federal #1.
12 It's the current only Mesaverde well. We are
13 currently testing that well. We're in the initial
14 completion stages. If that well proves economic,
15 there might be additional Mesaverde wells drilled
16 within the field.

17 Q. That's within the unit?

18 A. I can't answer that. I don't know.

19 Q. The Little Blue Federal, is that within the
20 unit?

21 A. Yes, sir. If you'll refer to Exhibit No.
22 2, it is shown on Exhibit No. 2 as LB #1 and it has
23 the gas well symbol there. It is included in the area
24 of review, and it is included in the application for
25 the C-108.

1 Q. So you've got about 150 barrels a day
2 coming out of that well?

3 A. 150 to 200, yes, sir.

4 Q. How long has that been producing?

5 A. We have tested it for 30 days and shut it
6 in. We have reapplied to the BLM to continue the test
7 on it.

8 Q. Do you have an opinion as to whether the
9 quality of that produced water will essentially stay
10 the same, or will it deteriorate?

11 A. I believe it will stay the same. When we
12 initially perforated several zones we swab tested the
13 individual zones separately and the quality of the
14 water was, in all cases, below 10,000 parts per
15 million. Whichever of those zones, we're now pump
16 testing different zones individually, and whichever
17 zones we eventually produce in should be a fresh water
18 zone.

19 Q. Will the quality of that water be tested at
20 some interval to make sure it's still below 10,000?

21 A. That's a super idea, and we will test it at
22 least once a year.

23 Q. Mr. Sharpe, the only well producing
24 currently is the 15-4, is that correct?

25 A. That is the only well that's currently

1 economically producing. The Navajo Allotted 16-1 is
2 on production and will be shut in tomorrow. It was
3 shown on this map as shut in because when the map was
4 prepared it was shut in. We had it on for a short
5 test to see if it would be economic, it is not, and
6 we're going to shut it in.

7 Q. Everything besides the 15-4 is uneconomic
8 at this time to produce?

9 A. That is correct. We are in the completion
10 stages of the Federal 15-2H horizontal well. We're
11 hoping that one will also be economic and we'll be
12 producing it.

13 Q. I see.

14 A. I think it should be pointed out that the
15 15-4 is currently making about 6,000 barrels of water
16 a day. The Federal 15-2H is also anticipated to make
17 5- to 6,000 barrels a day. Only a small portion of
18 the total produced water will be reinjected back into
19 the Entrada. The bulk of the water will still go to
20 the 15-6 Gallup disposal well.

21 Therefore, whatever water we mix in from
22 the Mesaverde will also be diluted. Only a very small
23 portion of it will go back into the Entrada
24 formation. We have approval to inject all produced
25 water from the field into the Gallup.

1 Q. I'm not clear on something, Mr. Sharpe.
2 Why do you feel the need to inject Mesaverde water
3 into the reservoir if you've got enough capacity from
4 produced Entrada water to inject?

5 A. It's a matter of the surface facilities.
6 The gathering system is not isolated. We do not
7 anticipate it to be isolated. They are common
8 gathering and water treating facilities for the
9 injection, and all we anticipate doing is taking a--we
10 have excess capacity on our injection pumps. All we
11 anticipate doing is taking a split off our injection
12 pumps and taking it to the Navajo Allotted 15-3 for
13 injection.

14 Q. Do you have a cross-section of the 2H well
15 in this packet, or a schematic? I'm sorry.

16 A. A schematic of the 2H well? Mr. Steve Dunn
17 of Merrion Oil & Gas who testified before the
18 Commission on the 15-2H horizontal well is prepared to
19 discuss that, if you would like to call him as a
20 witness.

21 Q. Well, in the requirements to provide that
22 information, I'm just curious as to whether it's--

23 A. Yes, sir, in the C-108 there is a schematic
24 of the horizontal well. Again, we are in the
25 completion stages. We're still cement squeezing part

1 of the liner on that well, and so it's a preliminary
2 wellbore sketch for the horizontal well.

3 MR. STOVALL: Mr. Examiner, if I may
4 interrupt for a second, Mr. Roberts, is that
5 horizontal well approval, that was one of the cases
6 you requested administrative approval for--I mean that
7 administrative notice be taken of it?

8 MR. ROBERTS: That's correct.

9 Q. (BY EXAMINER CATANACH) Mr. Sharpe, would
10 you be willing to provide us with a copy of that
11 schematic whenever that well is completed?

12 A. Yes, sir, we would. In addition, we'll
13 update the schematic on the Little Blue #1, which is
14 also still in completion stages.

15 Q. Mr. Sharpe, is there any fresh water in
16 this area?

17 A. As defined by the State as 10,000 parts per
18 million or less, yes, there is. The Entrada is fresh,
19 as well as the Morrison formation being fresh.

20 Q. The Morrison being where in relation to the
21 Entrada?

22 A. The Morrison is immediately above the
23 Entrada formation.

24 Q. In your opinion, is that adequately
25 protected from any migration from the Entrada?

1 A. Yes, sir, in my opinion it is. Again, all
2 the wells within the area of review are cemented
3 completely across the Entrada up through the Morrison,
4 as well as our injection well.

5 Q. Okay. You stated that your injection
6 pressure will go between 500 and 1,000, but that was
7 still below fracture pressure. Do you know what the
8 fracture pressure is in the Entrada?

9 A. I estimate it to be 1,300 pounds at the
10 surface, 1,300 psi. We plan on initial completion of
11 the injection well to do a step rate test to determine
12 exactly what that fracture pressure is, and certainly
13 plan on staying below the fracture pressure.

14 EXAMINER CATANACH: I believe that's all
15 the questions we have at this time.

16 MR. ROBERTS: I have no other questions.

17 EXAMINER CATANACH: There being nothing
18 further in this case, Case 9880 will be continued to
19 the March 21st hearing.
20
21
22
23
24
25


1 CERTIFICATE OF REPORTER

2
3 STATE OF NEW MEXICO)
4) ss.
5 COUNTY OF SANTA FE)

6 I, Carla Diane Rodriguez, Certified
7 Shorthand Reporter and Notary Public, HEREBY CERTIFY
8 that the foregoing transcript of proceedings before
9 the Oil Conservation Division was reported by me; that
10 I caused my notes to be transcribed under my personal
11 supervision; and that the foregoing is a true and
12 accurate record of the proceedings.

13 I FURTHER CERTIFY that I am not a relative
14 or employee of any of the parties or attorneys
15 involved in this matter and that I have no personal
16 interest in the final disposition of this matter.

17 WITNESS MY HAND AND SEAL March 15, 1990.

18 
19 CARLA DIANE RODRIGUEZ
20 CSR No. 91

21 My commission expires: May 25, 1991

22 I do hereby certify that the foregoing is
23 a complete record of the proceedings in
24 the Examining hearing of Case No. 9880,
25 heard by me on March 7, 1990.


David R. Caballero, Examiner
Oil Conservation Division

STATE OF NEW MEXICO
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
OIL CONSERVATION DIVISION
CASE 9880

EXAMINER HEARING

IN THE MATTER OF:

Application of Merrion Oil & Gas Corporation
for a Waterflood Project, McKinley County,
New Mexico.

TRANSCRIPT OF PROCEEDINGS

BEFORE: MICHAEL E. STOGNER, EXAMINER

STATE LAND OFFICE BUILDING

SANTA FE, NEW MEXICO

March 21, 1990

ORIGINAL

CUMBRE COURT REPORTING
(505) 984-2244

A P P E A R A N C E S

FOR THE DIVISION:

ROBERT G. STOVALL
Attorney at Law
Legal Counsel to the Divison
State Land Office Building
Santa Fe, New Mexico

1 EXAMINER STOGNER: I'll next call Case No.
2 9880.

3 MR. STOVALL: Application of Merrion Oil &
4 Gas Corporation for a waterflood project, McKinley
5 County, New Mexico.

6 EXAMINER STOGNER: This case was heard on
7 March 7, 1990, before David R. Catanach, and it had to
8 be continued for today's hearing.

9 At this time I'll call for any additional
10 appearances or testimony.

11 MR. STOVALL: Mr. Roberts, you were the
12 attorney in that case, is that correct?

13 MR. ROBERTS: Yes.

14 MR. STOVALL: Do you happen to have the
15 notice or receipt cards?

16 MR. ROBERTS: It's my understanding those
17 were submitted.

18 MR. STOVALL: Okay.

19 EXAMINER STOGNER: Do you know when those
20 were submitted, Mr. Roberts?

21 MR. ROBERTS: I talked to Mr. Sharpe, who
22 was the witness in that case, and he indicated they
23 were sent last week. I talked to him on Monday of
24 this week, and he indicated that all the requirements
25 had been satisfied regarding notice.

1 MR. STOVALL: They appear to be here.

2 EXAMINER STOGNER: If there's nothing
3 further in Case No. 9880, this case will be taken
4 under advisement.

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25


1 CERTIFICATE OF REPORTER

2
3 STATE OF NEW MEXICO)
4) ss.
5 COUNTY OF SANTA FE)

6 I, Carla Diane Rodriguez, Certified
7 Shorthand Reporter and Notary Public, HEREBY CERTIFY
8 that the foregoing transcript of proceedings before
9 the Oil Conservation Division was reported by me; that
10 I caused my notes to be transcribed under my personal
11 supervision; and that the foregoing is a true and
12 accurate record of the proceedings.

13 I FURTHER CERTIFY that I am not a relative
14 or employee of any of the parties or attorneys
15 involved in this matter and that I have no personal
16 interest in the final disposition of this matter.

17 WITNESS MY HAND AND SEAL March 21, 1990.

18 
19 CARLA DIANE RODRIGUEZ
20 CSR No. 91

21 My commission expires: May 25, 1991

22 I do hereby certify that the foregoing is
23 a complete record of the proceedings in
24 the Examining hearing of Case No. 9880
25 heard by me on 21 March 1990.


Examiner
Oil Conservation Division