

1 STATE OF NEW MEXICO
2 ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
3 OIL CONSERVATION DIVISION
4 CASE 9883
5
6
7

8 EXAMINER HEARING
9

10 IN THE MATTER OF:
11

12 Application of BTA Oil Producers for
13 an Unorthodox Oil Well Location,
14 Eddy County, New Mexico
15
16

17 TRANSCRIPT OF PROCEEDINGS
18

19 BEFORE: DAVID R. CATANACH, EXAMINER
20

21 STATE LAND OFFICE BUILDING
22 SANTA FE, NEW MEXICO
23 March 7, 1990
24

25 **ORIGINAL**

CUMBRE COURT REPORTING
(505) 984-2244

A P P E A R A N C E S

FOR THE DIVISION:

ROBERT G. STOVALL
Attorney at Law
Legal Counsel to the Divison
State Land Office Building
Santa Fe, New Mexico

FOR THE APPLICANT:

WILLIAM F. CARR, ESQ.
Campbell & Black, P.A.
Post Office Box 2208
Santa Fe, New Mexico 87504

FOR BIRD CREEK
RESOURCES:

CANDACE CALLAHAN, ESQ.
Kellahin, Kellahin & Aubrey
Post Office Box 2265
Santa Fe, New Mexico 87504

I N D E X

	Page Number
Appearances	2
GREGORY L. HAIR	
Examination by Mr. Carr	6
Examination by Ms. Callahan	13
KEITH E. LOGAN	
Examination by Mr. Carr	15, 35
Examination by Ms. Callahan	26, 37
Examination by Mr. Stovall	36
Examination by Examiner Catanach	37
BILL M. BURKS	
Examination by Ms. Callahan	41, 64
Examination by Mr. Carr	57
Examination by Mr. Catanach	67, 69, 71
Examination by Mr. Stovall	68, 70, 72
KEITH E. LOGAN (RECALLED)	
Examination by Examiner Catanach	74
Examination by Mr. Stovall	75
CLOSING STATEMENTS	
By Ms. Callahan	76
By Mr. Carr	77
Certificate of Reporter	82

1 E X H I B I T S

2 APPLICANT'S EXHIBITS:

3	Exhibit 1	8
	Exhibit 2	9
4	Exhibit 3	9
	Exhibit 4	10
5	Exhibit 5	11
	Exhibit 6	11
6	Exhibit 7	16
	Exhibit 9	31

7

BIRD CREEK EXHIBITS:

8	Exhibit 2	45
9	Exhibit 3	49
	Exhibit 4	50
10	Exhibit 5	54
	Exhibit 6	54

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1 EXAMINER CATANACH: Call the hearing back
2 to order. At this time we'll call Case 9883.

3 MR. STOVALL: Application of BTA Oil
4 Producers for an unorthodox oil well location, Eddy
5 County, New Mexico.

6 EXAMINER CATANACH: Appearances in this
7 case?

8 MR. CARR: May it please the Examiner, my
9 name is William F. Carr with the law firm Campbell &
10 Black, P.A., of Santa Fe. I represent BTA Oil
11 Producers and I have two witnesses.

12 EXAMINER CATANACH: Any other appearances?

13 MS. CALLAHAN: My name is Candace Callahan
14 with Kellahin, Kellahin and Aubrey. I'm here
15 representing Bird Creek Resources in opposition to
16 BTA's application.

17 EXAMINER CATANACH: Can I get the witnesses
18 to stand up and be sworn in.

19 (Thereupon, the witnesses were sworn.)

20 EXAMINER CATANACH: You may proceed, Mr.
21 Carr.

22 GREGORY L. HAIR
23 the witness herein, after having been first duly sworn
24 upon his oath, was examined and testified as follows:

25 EXAMINATION

1 BY MR. CARR:

2 Q. Will you state your full name for the
3 record, please.

4 A. Gregory L. Hair.

5 Q. Will you spell your last name.

6 A. H A I R.

7 Q. Mr. Hair, by whom are you employed and in
8 what capacity?

9 A. BTA Oil Producers, Midland Texas, as a
10 geologist.

11 Q. Have you previously testified before the
12 Oil Conservation Division and had your credentials as
13 a geologist accepted and made a matter of record?

14 A. Yes, I have.

15 Q. Are you familiar with the application filed
16 in this case?

17 A. Yes, I am.

18 Q. Have you made a study of the subject area?

19 A. Yes.

20 Q. Are you familiar with the proposed well?

21 A. Yes.

22 MR. CARR: Are the witness's qualifications
23 acceptable?

24 EXAMINER CATANACH: They are.

25 Q. Mr. Hair, would you briefly state what you

1 seek with this application?

2 A. We seek to drill a Delaware oil well in
3 Section 11 of Township 23 South, Range 28 East, at a
4 nonstandard location.

5 Q. Are you familiar with the rules that govern
6 development of oil wells in this area?

7 A. Yes, I am.

8 Q. Are there any special spacing requirements?

9 A. I don't believe there are any special
10 spacing requirements.

11 Q. What are the standard requirements for
12 development of this particular oil pool, in terms of
13 spacing and well location?

14 A. 40-acre spacing.

15 Q. What is the standard setback on the 40-acre
16 tract?

17 A. 330 feet.

18 Q. What is the primary pool that we're going
19 to be discussing in this proceeding, or primary
20 formation?

21 A. Delaware.

22 Q. Have you prepared certain exhibits for
23 presentation in this case?

24 A. Yes, I have.

25 Q. Would you refer to what has been marked as

1 BTA Exhibit 1, identify this for Mr. Catanach and
2 review the information contained thereon?

3 A. Yes. This is basically a land plat or a
4 plat showing offset operators, BTA acreage, and all
5 wells that are currently drilling or have been drilled
6 and are producing. Just to set you straight, the red
7 outline is BTA-controlled acreage. It's a 320-acre
8 tract. On the yellow outline, these are proposed
9 proration units for 40-acre Delaware wells. The two
10 wells that are shown there, one is a TD C-2, which is
11 in the southwest of the southwest, and B-1, which is
12 in the northeast of the southwest.

13 Q. What is the status of the B-1, do you know?

14 A. The B-1 has been perf'd and tested and
15 currently is still testing.

16 Q. What about the C-1?

17 A. The C-1 is at TD and awaiting completion.

18 Q. The C-2?

19 A. The C-2, I'm sorry. The C-1 is our
20 proposed location. I'm sorry.

21 Q. South of this is a tract that is operated
22 by Bird Creek Resources. Are those all existing
23 Delaware producing wells?

24 A. The wells highlighted in green are existing
25 Delaware producers.

1 Q. Do you know approximately when those wells
2 were drilled?

3 A. In 1989 and 90.

4 Q. Would you now refer to BTA Exhibit 2 and
5 identify that?

6 A. This is a porosity isopach in the
7 Delaware. It is the main main pay in the area and
8 it's based on porosities greater than 10 percent.
9 What this exhibit is intended to show is that the sand
10 exists over the entire acreage block. There is no
11 lack of sand anywhere. Everyone has this reservoir.
12 There is no stratigraphic trap that we're aware of
13 that separates the reservoir from anyone else.

14 MR. STOVALL: Mr. Carr, are we on Exhibit 2
15 or 3?

16 MR. CARR: We're on Exhibit 2.

17 A. I'm sorry. I got mine out of order. I'm
18 on the wrong one. I had mine out of order. Can we go
19 to 3? Is that okay?

20 Q. We'll go on to 3 and we'll come back to 2.

21 A. I'm sorry. All right. In any event, the
22 other thing this is supposed to show is that the C-1
23 location, as we have proposed it, really gives us
24 really no advantage in terms of pay thickness over
25 what a standard location would be, which is just

1 slightly to the northeast of where the red circle is.
2 We will have basically the same sand thickness based
3 upon our studies.

4 Q. Let's go back now to Exhibit 2, the
5 structure map, and I would ask you just to identify
6 this now and review what this particular exhibit
7 shows.

8 A. This is a structure map on top of the
9 Delaware pay. The contour interval here is 10 feet.
10 Again, the essence of this exhibit is to show that we
11 obtain no real structural advantage by drilling this
12 location. We're moving pretty much along strike as
13 near as we can tell, and there is no advantage to be
14 gained by this location.

15 Q. From a structural point of view?

16 A. From a structural point of view, yes.

17 Q. Would you now go to Exhibit No. 4 and
18 identify and review that, please?

19 A. Exhibit No. 4 is a cross-section, generally
20 north/south. It runs through three of the wells in
21 Section 14, and one of the BTA B #1 and also a BTA
22 Atoka producer, that you see there marked with a gas
23 symbol, and that's the Pardue #1.

24 What this shows is the stratigraphic
25 interval that we're exploring for here. The green

1 marks on these density neutron logs are the porosities
2 where these wells are perforated in, and really shows
3 how flat the structure is out here also.

4 Q. Could you describe the basic nature of the
5 Delaware formation in this area?

6 A. The Delaware in this area is a fine grain
7 sandstone that is very tight and is more or less a
8 blanket deposit.

9 Q. Basically the conclusion you've reached
10 from your geologic study is that in terms of structure
11 or thickness of the formation by moving to the
12 proposed location, you've gained no advantage?

13 A. That's correct.

14 Q. Has notice of this application been
15 provided to offsetting owners as required by the rules
16 of the Oil Conservation Division?

17 A. Yes, it has.

18 Q. Would you identify for the Examiner what
19 has been marked as Exhibit No. 5 and then Exhibit No.
20 6?

21 A. Exhibit No. 5 is notification of the
22 unorthodox location and requests for administrative
23 approval of that location. Also, copies of the green
24 cards that were sent out showing that the people
25 received those notifications.

1 Q. Will BTA also call an engineering witness
2 to testify concerning the risk involved in drilling
3 this well?

4 A. Yes, they will.

5 Q. Do you have anything further to add to your
6 testimony?

7 A. I've got one more.

8 Q. I'm sorry. If you would, review Exhibit
9 No. 6, please.

10 A. Number 6 is the hearing notice and all the
11 green cards showing that the people were notified.

12 Q. Do you have anything further to add to your
13 testimony?

14 A. No, I do not.

15 Q. Were Exhibits 1 through 6 either prepared
16 by you or compiled under your direction and
17 supervision?

18 A. Yes, they were.

19 MR. CARR: At this time we move the
20 admission of BTA Exhibits 1 through 6.

21 MR. STOVALL: Just a minute, Mr. Carr.
22 (Discussion off the record.)

23 EXAMINER CATANACH: Exhibits 1 through 6
24 will be admitted as evidence in this case.

25 MR. CARR: That concludes my direct

1 examination of Mr. Hair.

2 EXAMINER CATANACH: Ms. Callahan.

3 EXAMINATION

4 BY MS. CALLAHAN:

5 Q. Mr. Hair, help me out, if you would. Can
6 you tell me, if you gain no structural advantage and
7 no advantage in terms of thickness, why are you trying
8 to locate here rather than somewhere else?

9 A. If I can, I would rather defer that. Our
10 engineering witness is going to cover why the
11 nonstandard location is being drilled where it is. It
12 has nothing to do with geology, is what we're saying.

13 Q. Okay. It has to do with engineering?

14 A. It has to do with topography.

15 Q. Topography?

16 A. Yes.

17 Q. And that's the sole--

18 A. That's the sole purpose.

19 Q. Will your engineer also be able to tell me
20 whether or not you considered directional drilling?

21 A. Yes, he'll discuss all that.

22 Q. I would like to ask you, if you don't mind,
23 about the B-1 well. Can you tell me, do you know now
24 what the producing rate of this well is?

25 A. I do not recall it. I think the next

1 witness will know, but I don't recall, to be honest
2 with you. I believe it's somewhere in the
3 neighborhood of 200 barrels, but that is not accurate.

4 Q. It is producing out of the same formation
5 as the Teledyne?

6 A. Yes.

7 Q. And what you propose for the Pardue?

8 A. Yes.

9 Q. Do you have a potential on the B-1?

10 A. No, I don't believe it's been potentialized.

11 Q. Do you know what the net pay feet is?

12 A. Yes, 73.

13 Q. This is drilled at a standard location?

14 A. Yes, it was.

15 Q. Do you propose drilling this other 40
16 acres?

17 A. We're evaluating that right now. The Atoka
18 producer that is there is marginal, and it's possible
19 that that well will be recompleted into the Delaware.

20 MS. CALLAHAN: Could I have a minute,
21 please? (Pause) I have no further questions.

22 MR. STOVALL: Ms. Callahan, let's get one
23 thing clear on the record. When your last question
24 referred to the 40 acres, is that the--

25 MS. CALLAHAN: I'm sorry. I was referring

1 to the northwest/northwest of this 160, which would
2 be--let's see--

3 THE WITNESS: Northwest of the southwest.
4 It's where the Atoka procedure is marked and where the
5 gas well symbol is. That's the well we were talking
6 about we could possibly recomplete.

7 EXAMINER CATANACH: No further questions?

8 MR. CARR: No further questions.

9 EXAMINER CATANACH: The witness may be
10 excused.

11 MR. CARR: At this time we would call Keith
12 Logan.

13 KEITH E. LOGAN

14 the witness herein, after having been first duly sworn
15 upon his oath, was examined and testified as follows:

16 EXAMINATION

17 BY MR. CARR:

18 Q. Would you state your name and place of
19 residence.

20 A. Keith E. Logan. I live in Midland, Texas.

21 Q. Mr. Logan, by whom are you employed?

22 A. I'm employed with BTA Oil Producers as a
23 reservoir engineer.

24 Q. Have you previously testified before the
25 Oil Conservation Division?

1 A. Yes, I have.

2 Q. At the time of that testimony, were you
3 credentials as a petroleum engineer accepted and made
4 a matter of record?

5 A. Yes, they were.

6 Q. Are you familiar with the application that
7 has been filed in this case on behalf of BTA?

8 A. Yes, I am.

9 Q. Have you studied the area?

10 A. Yes, I have.

11 Q. Are you familiar with the proposed well?

12 A. Yes, I am.

13 MR. CARR: Are the witness's qualifications
14 acceptable?

15 EXAMINER CATANACH: They are.

16 Q. Mr. Logan, I would like to direct your
17 attention to Exhibit No. 7, and if you would, I would
18 like you to first identify this for the Examiner, and
19 then using this exhibit, explain how it was that you
20 selected the particular proposed location.

21 A. Okay. Well, to start out, I realize that
22 this may be a little confusing, but what it is, it's
23 an expanded copy of a topographic map. To give you a
24 basis, if you look up towards the top, oh, where the
25 number 11 is, that is the center of Section 11. The

1 large red outline is all of Section 11. And what I've
2 outlined in a smaller red area is the proration unit
3 for the Pardue "C" No. 1.

4 Now, as you can see, there are significant
5 topographical problems out here. In fact, our
6 original location I've shown as a triangle No. 1. We
7 attempted to stake that location, but it was in a
8 canal coming off the Pecos River.

9 Q. Is that a standard location?

10 A. That is a standard location.

11 Q. What is indicated by the triangle with a
12 "2" beside it?

13 A. We attempted to move east, but all of this
14 area shaded in green is in a flood plain area. In
15 fact, this off to the west that you see in green, I
16 have enhanced it to show the flood plain area.

17 Q. We also have an area shaded in green to the
18 west. Is that an additional flood plain?

19 A. Yes, it is. And there are several other
20 topographic problems. You've got a railroad that runs
21 through here; you, of course have the Pecos River.

22 Q. Where is the Pecos River?

23 A. Okay. Well, up to the north, this, running
24 down here by the number 11--

25 Q. The hashed area?

1 A. --is the Pecos River. This is a dam right
2 here and then the main course of the river comes down
3 through here.

4 Q. So right below the "11" there's a dark
5 line, and that's the location of the dam?

6 A. That's right.

7 Q. And coming down across the 40 acres in
8 question is the river bed?

9 A. Right.

10 Q. The railroad is indicated how on this
11 exhibit?

12 A. It's the line that's got the perpendicular
13 hash marks going across it.

14 Q. Going east/west across the upper part?

15 A. Going east/west, right.

16 Q. Would you also identify the location of
17 pipelines across this 40 acres?

18 A. The pipeline is the dashed line, and I did
19 add some additional pipeline in here going from the
20 south up through the little square below the proposed
21 location, which is a dehydrator station for this
22 pipeline. It continues on and ties into this pipeline
23 up to the north.

24 Q. So it goes across the western portion of
25 the spacing or proration unit, and then there's a

1 pipeline that cuts across just the very northeast
2 corner of the 40 acres? It ties into that line?

3 A. Right.

4 Q. Why couldn't you have moved the proposed
5 location indicated by the red circle due north?

6 A. If you go due north, you really--you're
7 falling off into this flood plain. It's a very severe
8 drop off right here. We didn't have room to put the
9 equipment in there to drill the well.

10 Q. Based on all of these topographical
11 conditions, pipelines, railroads, the Pecos River,
12 flood plains, bluffs, was there any other location
13 other than the proposed location from which you could
14 drill a well on this 40-acre tract?

15 A. No, there was not.

16 Q. Did you consider directionally drilling
17 from this location?

18 A. Yes, we did consider directionally drilling
19 and moving to the northeast to a standard location.
20 The problems that we see is increased drilling costs,
21 we also see, yes, initially these wells will flow, but
22 eventually they will need to be artificially pumped.
23 In doing that, you increase your operating costs due
24 to excessive rod wear, potential tubing leaks, which
25 lead to premature abandonment and loss of reserves.

1 Q. What additional costs do you estimate would
2 be incurred in directionally drilling from this
3 surface location to a standard bottom hole location?

4 A. I've been told by our drilling people that
5 it would cost around \$70,000.

6 Q. What is the initial cost of drilling a
7 well?

8 A. \$450,000.

9 Q. Other than directional drilling, was there
10 any other option available to BTA that would enable
11 you to develop the reserves under this 40-acre tract
12 from a location thereon?

13 A. No, there wasn't.

14 Q. You've drilled two other Delaware wells
15 immediately offsetting this well, as shown on the
16 exhibits presented by Mr. Hair, is that correct?

17 A. Correct.

18 Q. Based on the performance of these and other
19 Delaware wells you're familiar with in the area, could
20 you describe how these wells typically perform?

21 A. The Delaware typically, in this area of
22 Eddy County, some have come on pretty strong but
23 ultimate recoveries have not been that great on an
24 average. We are seeing high rates in this area
25 initially.

1 Q. What is the well that you're currently
2 testing? What is it able to produce at this time?

3 A. The last rate I've got on that is 235
4 barrels a day.

5 Q. Does an initial performance on the Delaware
6 well, in your opinion, give you a real indication of
7 what that well could ultimately produce?

8 A. No, it does not.

9 Q. How would you characterize the well that
10 you are now testing and the wells that Bird Creek
11 operates south of you? How would you characterize
12 these in relationship to other Delaware wells?

13 A. Oh, they're definitely better than average.

14 Q. What kind of long-term performance data do
15 you have on any of the wells in this pool?

16 A. Well, all I've done is, I've looked at
17 fields in the area. I found one that had reserves of
18 a significant amount, but an average Delaware well is
19 marginal, at best.

20 Q. How much production history do you have on
21 any of these wells in this immediate area?

22 A. Very little.

23 Q. When you're drilling and completing a
24 Delaware well in this area, can you produce the well
25 prior to stimulation?

1 A. Not in commercial quantities.

2 Q. What do you have to do to make a commercial
3 well?

4 A. It requires a fracture stimulation.

5 Q. Why is that?

6 A. It's a very tight, low permeability
7 reservoir.

8 Q. Based on your understanding of the
9 Delaware, do you have an opinion as to how large an
10 area one well in this pool is likely to drain?

11 A. I've got very limited data here, but the
12 fact that they do have to be fracture stimulated to
13 become commercial indicates that permeability is so
14 low that the drainage area should be low, also.

15 Q. If you're drilling your third well, why is
16 it that you have limited data?

17 A. Well, because of the marginal
18 characteristic of the prospects themselves, because if
19 you base it on an average Delaware well, BTA would not
20 drill them.

21 Q. If you had an average Delaware well without
22 a penalty, based on your understanding of the
23 Delaware, would you expect that to be an economic
24 venture for BTA?

25 A. No, I would not.

1 Q. In your opinion should a penalty be imposed
2 on this well due to its unorthodox location?

3 A. No, it should not.

4 Q. You indicated that a well would cost
5 approximately 450,000. What sort of producing rates
6 are you obtaining or do you anticipate from these
7 wells?

8 A. Well, all you're allowed to produce is the
9 depth bracket allowable of 142 barrels a day.

10 Q. When you're looking at one of these wells,
11 how do you go about evaluating the economic risk
12 that's involved in making a successful well or
13 deciding to drill a well in the area?

14 A. Well, here the only way I could, with the
15 limited production history determine reserves, was
16 volumetrically. And volumetrically I did assign
17 150,000 barrels. If you look at any Delaware field,
18 your average well is going to be well below that
19 point.

20 We feel like, yes, the risk is low that we
21 will find some Delaware production, but with lack of
22 production history we just don't know what kind of
23 reserves we will find.

24 Q. There's really no risk that you're going to
25 hit the Delaware?

1 A. Right, there's just risk, risk in the
2 reserves you're going to find.

3 Q. You used 150,000 barrels. Is that what BTA
4 needs to meet its economic limits?

5 A. Yes.

6 Q. What would be the effect of imposing a
7 production penalty on this well?

8 A. Well, it could keep us from drilling the
9 prospect.

10 Q. When you drill a prospect in a pool like
11 this and are attempting to recover your costs, what
12 sort of a production pattern are you looking for to
13 best recover your costs? Are you trying to get your
14 production, most of it up front, or--

15 A. Well, certainly.

16 Q. What is the effect of a penalty on
17 recovering your costs?

18 A. It will lengthen your payout and ultimately
19 reduce your return on investment.

20 Q. Is there any doubt in your mind at all that
21 there are Delaware reserves under your tract?

22 A. No.

23 Q. If a substantial penalty is placed on this
24 well, could BTA produce those reserves?

25 A. No, they could not.

1 Q. In your opinion, would those reserves
2 ultimately be left in the ground?

3 A. Yes.

4 Q. And would that result in waste?

5 A. Yes, it would.

6 Q. What would be the impact on BTA's
7 correlative rights of imposing a substantial penalty
8 on this well?

9 A. Well, it denies us the opportunity to share
10 in the reserves.

11 Q. What do you think the impact would be on
12 the offsetting operator of permitting you to drill at
13 this location without a penalty?

14 A. I don't believe they'll be impacted.

15 Q. Why is that?

16 A. I just think with the low permeability, I
17 don't feel that we're going to drain them.

18 Q. In your opinion, will granting your
19 application for this proposed unorthodox well location
20 without penalty be in the best interest of
21 conservation, the prevention of waste and the
22 protection of correlative rights?

23 A. Yes, I do.

24 Q. Will it results in the recovery of oil that
25 would otherwise would not be recovered?

1 A. No.

2 Q. Would granting the application result in
3 the recovery of oil that otherwise would not be
4 recovered?

5 A. Yes, it will.

6 Q. Was Exhibit No. 7 prepared by you?

7 A. Yes, it was.

8 MR. CARR: At this time I would move the
9 admission of Exhibit No. 7.

10 EXAMINER CATANACH: Exhibit 7 will be
11 admitted as evidence.

12 MR. CARR: That concludes my direct.

13 EXAMINATION

14 BY MS. CALLAHAN:

15 Q. Mr. Logan, did you say that you considered
16 ultimate recovery on these wells to be 150 barrels of
17 oil?

18 A. 150,000.

19 Q. 150,000, I'm sorry. Did I also hear you
20 say that you consider that a marginal--

21 A. No. What I said was, with the lack of
22 production history here, if we were to find an average
23 Delaware field, it would be a marginal deal, you
24 know. And we feel like we're taking quite a bit of
25 risk, yes, I assigned 150,000 barrels, but we feel

1 there's a lot of risk in that number.

2 Q. This 150,000 barrels was assigned to your
3 more recent well? Is that this one, the B-1?

4 A. Right. And we feel like there is quite a
5 bit of risk in that due to the lack of production
6 history and what I've seen in Delaware fields out in
7 here. I don't know exactly what the average would be,
8 but if I had to guess, it would be 50,000 barrels and
9 we would not even consider doing it for that.

10 Q. Did you run calculations on estimated
11 recovery for these other wells that are producing out
12 of the same formation?

13 A. Well, they just haven't been on very long.

14 Q. Even the Section 23 well?

15 A. Well, we couldn't have more than four, five
16 months of production. I just think the data is
17 limited.

18 Q. What do you estimate payout to be on your
19 B-1?

20 A. On our B-1?

21 Q. Yes.

22 A. I think it's too early to determine at this
23 time. I mean, we have just recently completed that
24 well. We haven't actually potentialized it yet. It's
25 shut in now waiting to build a tank battery. We've

1 got probably three days of production, still have some
2 load from a frac to recover.

3 Q. But you say it has a current producing rate
4 of 235 barrels of oil per day?

5 A. Right.

6 Q. If you projected out the maximum you're
7 able to produce, I believe it's 142 barrels of oil per
8 day?

9 A. Right.

10 Q. If you used those figures, what would you
11 estimate your payout to be? Can you do that?

12 A. Oh, I could do it. I'm thinking in the
13 neighborhood of seven months, eight months.

14 Q. To pay out for the B-1?

15 A. Right.

16 Q. Would you consider that a good well, then,
17 if it pays out in seven to eight months?

18 A. That's not the only economic criteria we
19 use. We also like to get a certain return on
20 investment. And, yes, they come out here and have a
21 short payout but don't last for a length of time, all
22 I've got to base it on is Delaware fields in the
23 area. I can think of some which made very good in
24 reserves and yes, of course, that's what we're hoping
25 for. But, with the limited data I can't say any more

1 beyond that.

2 Q. Do you have experience with other Delaware
3 wells in other areas?

4 A. I have studied them, yes.

5 Q. How long do they normally produce?

6 A. Oh, they can produce a long time and those
7 are the ones, of course, that will have great
8 reserves. But I see you'll have fields that may make
9 300,000 barrels in one well but the average--there
10 will be so many wells that make 20 to 30, that you
11 can't justify the risk.

12 Q. Can you tell me how many acres you think
13 one of these wells will drain?

14 A. Well, there again, I have limited
15 information. I would say I don't think it will drain
16 more than 20 itself, but I have nothing to base that
17 on.

18 Q. What would be your basis for estimating 20
19 acres?

20 A. There is no basis for it.

21 Q. Can you give me the choke size for the B-1
22 in your flowing tubing pressure?

23 A. Flowing tubing pressure, I think, is a
24 thousand. The last rate I had was 230 barrels a day,
25 53 barrels of load water, 12/64-inch choke. Tubing

1 pressure was a thousand.

2 Q. Can you tell me how wide this railroad
3 right-of-way is?

4 A. Right in the areas we thought we could go
5 you need to be 200 feet away from it.

6 Q. Is that because that's what the railroad
7 allows or what do you base that on?

8 A. I'm basing that on their requirements.

9 Q. On the railroad's requirements?

10 A. Right.

11 Q. Under 200 feet, is that right?

12 A. Right.

13 MS. CALLAHAN: May I have a minute?

14 Q. Is the 200 feet that you said you needed
15 for the railroad right-of-way, is that 200 either side
16 of the railroad or is that--

17 A. Let me get that out. Now, if you see here,
18 across the majority of this proration unit they are
19 crossing the Pecos River. This is the proration
20 unit. And, as you can see from the center, you go 200
21 feet here and 200 feet here and all you've got left is
22 right here and you're on a bluff and in a flood plain
23 right here. It's this whole area that they're
24 crossing the river, there's 200 feet out here just for
25 the railroad in either direction.

1 MR. STOVALL: Mr. Logan, I might point out
2 that the Examiner is part of this hearing process and
3 he would like to see what's going on, too.

4 MS. CALLAHAN: May we have this as an
5 exhibit?

6 MR. CARR: You bet. Mr. Examiner, what we
7 have is a plat that shows the spacing unit, and in the
8 green hash lines a right-of-way for the railroad is
9 indicated on this, crossing the Pecos River. There's
10 a small portion to the northwest that is narrower,
11 hashed in pink, a narrower right-of-way marked in
12 pink, and I'll mark this as Exhibit No. 9, and I will
13 move its admission.

14 MS. CALLAHAN: Thank you.

15 EXAMINER CATANACH: Exhibit No. 9 will be
16 admitted as evidence:

17 MS. CALLAHAN: Would you like to look at it
18 before I look at it?

19 EXAMINER CATANACH: Go ahead.

20 Q. (BY MS. CALLAHAN) Let me ask you another
21 question. Can you tell me why you didn't propose
22 drilling somewhere in here?

23 A. Well, for one thing, if you look at the
24 scale of--

25 Q. Excuse me. I'm referring to the

1 northeast/northeast corner--

2 MR. STOVALL: I didn't hear the question.

3 MR. CARR: The northwest/northwest of the
4 spacing unit.

5 MR. STOVALL: Would you repeat the question
6 so we could hear it, please.

7 MS. CALLAHAN: I asked him why he hadn't
8 attempted to locate the well in this part of the
9 spacing unit--

10 MR. STOVALL: From the northwest of the
11 northwest?

12 MS. CALLAHAN: Northwest, just north of the
13 railroad right-of-way.

14 A. Well, for one thing, you've gone down and
15 you've come back up right here at the edge of the
16 proration--

17 MR. CARR: What are you referring to, Mr.
18 Logan?

19 THE WITNESS: The railroad.

20 MR. CARR: What exhibit are you referring
21 to?

22 THE WITNESS: I'm referring to the topo
23 map, Exhibit 7.

24 MR. CARR: You're in the northwest of the
25 northwest corner?

1 THE WITNESS: Right. And in here we've got
2 a problem not only with the railroad, but we've got a
3 problem with the pipeline. We attempted to move this
4 a little bit farther north, but we couldn't get what
5 we needed in here to drill the well. And, as you can
6 see, that isn't much greater of an area than we had
7 here.

8 MR. CARR: The Examiner can't follow what
9 you're saying. When you say "here" and "this," the
10 Examiner can't follow that.

11 THE WITNESS: What I'm talking about is
12 down--well, up in the northwest of the northwest,
13 you're from the flood plain, the green on the western
14 edge of the proration unit. Then you come up to the
15 railroad and you're going back down, and you've got
16 the pipeline here. I went out and looked at all these
17 potential locations, I must say that, and we felt like
18 this was the only one we could get everything in there
19 we needed to drill, and get all of our equipment in
20 there.

21 Q. (BY MS. CALLAHAN) How much acreage do you
22 need for a location?

23 A. Approximately 150 by 150.

24 Q. I don't know what--

25 A. I mean, to get everything in there. But

1 again, over in here, you've got problems with the
2 pipeline. They didn't like us getting close to them
3 down here, either, because we were trying to move,
4 from the proposed location, move northwest.

5 Q. Can you guesstimate for me what acreage is
6 needed in terms of--I don't know how to work the scale
7 on this map. Can you give me an idea of how much
8 surface acreage is needed for the well?

9 A. One inch is equal to 500 feet, and we're
10 talking about an area something like that.

11 MR. CARR: Mr. Logan, you'll have to speak
12 up for the reporter and also for the Examiner. You've
13 drawn a square in the northwest corner of the unit,
14 and that's indicative of the amount of surface acreage
15 you think you would need to put all equipment in place
16 to drill a well?

17 THE WITNESS: Right.

18 MR. STOVALL: Approximately how big is that
19 square, Mr. Logan? What are your dimensions on that,
20 would you estimate?

21 THE WITNESS: It would be about
22 three-eighths of an inch, I guess.

23 MR. STOVALL: No, I mean, go ahead and put
24 it in footage.

25 THE WITNESS: 150 by 150.

1 Q. (BY MS. CALLAHAN) If you're going to drain
2 20 acres by one of these wells and you estimate
3 150,000 barrels of oil as your reserves, what's your
4 recovery factor?

5 A. I used a 20-percent recovery factor.

6 Q. Do you consider a 20-percent recovery
7 factor normal for a tight sand?

8 A. No. I would say it's probably somewhat
9 optimistic.

10 MS. CALLAHAN: I have no further
11 questions.

12 EXAMINER CATANACH: Anything else?

13 MR. CARR: One question.

14 FURTHER EXAMINATION

15 BY MR. CARR:

16 Q. Mr. Logan, do you believe there's a
17 satisfactory surface location in the northwest corner
18 of this proration unit from which you could drill a
19 well?

20 A. No, I do not.

21 MR. CARR: That's all I have.

22 MR. STOVALL: I have a question, Mr.
23 Examiner, just on this Exhibit 7.

24

25

EXAMINATION

BY MR. STOVALL:

Q. The orange lines that seem to be wandering all over the map, I assume they're contour lines?

A. Yes, that's correct.

Q. What is the contour interval?

A. In here I believe it's 10 feet. There are some pretty severe changes going on out here, I must mention that. There are a lot of low places and then bluffs where locations were impossible.

Q. The reason I'm asking, I simply don't see the footage, the elevation markings on the contour lines in this area, and when you go from that smaller flood plain on the west side of the proration unit towards the railroad track, sort of paralleling the river and then up towards the pipeline, what is the direction of slope? What is the contour of the surface in that area? Is it up? down? both?

A. You'll be going up there.

Q. Consistently up as you're going north?

A. Yes, that's correct.

MS. CALLAHAN: May I ask one more question in relation to the contour line?

EXAMINER CATANACH: Sure.

FURTHER EXAMINATION

BY MS. CALLAHAN:

Q. If these are 10-foot intervals, does that mean this flood plain is 20 feet lower than your proposed location?

A. That would be correct, yes.

Q. Then does this flood plain also extend all through this area?

A. That's the way it appears.

Q. Excuse me. Let me show the Examiner. I am asking him if the flood plain then extends all the way here. I didn't have a way of describing it other than just following the railroad to the southwest, and I think he answered in the affirmative, is that right?

A. Right. I did not follow it out that far, and I did enhance this so I could show you what I was talking about.

MS. CALLAHAN: All right. I have no further questions.

EXAMINATION

BY EXAMINER CATANACH:

Q. Mr. Logan, is this federal land or fee land or state?

A. This is all fee land.

Q. What are the requirements for not drilling

1 anywhere in the flood plain? Is that just--

2 A. Well, the location we attempted to stake at
3 #2, we were contacted by the Corps of Engineers and
4 they said we would not be able to get that location
5 permitted.

6 Q. Did they, in fact, tell you you could not
7 permit a well anywhere in the flood plain?

8 A. We had him come out there and look around.
9 We had several authority people come out there and
10 look at the area, trying to get a satisfactory
11 location out in this area.

12 Q. And with all these folks out there, this is
13 the only location in this quarter-quarter section that
14 is feasible?

15 A. Yes, it is.

16 Q. Is this a new field?

17 A. It's relatively new, yes. There have been
18 some wells drilled even south of Bird Creek's wells,
19 their wells in 14. There were some East Loving
20 Delaware wells down in Section 23, also.

21 Q. There at the north end of the field?

22 A. Right.

23 Q. And which well did you say you have about
24 four or five month's production history on?

25 A. I would say the RGA #1. They completed the

1 Carrasco #1 first, but it was completed as a shut-in
2 gas well.

3 Q. Where are those wells located?

4 A. They're down to the south of our proposed
5 location. To tell you the order they were drilled in,
6 the Carrasco well was drilled first but completed as a
7 shut-in gas well. They came south and drilled the RGA
8 #1, the RGA #2 and then recently the Teledyne well in
9 the north part of the section.

10 Q. Now, you testified that it's hard to tell
11 whether a Delaware well is going to be good or bad
12 from the initial production?

13 A. Right.

14 Q. What dictates whether a Delaware well is
15 going to be good or bad? What factors come into this?

16 A. Well, I'm looking at it historically only,
17 because that's all I've got is history in the area. I
18 would say, you know, if it's a blanket sand it's got
19 some extent to it, but a typical Delaware well, BTA
20 would not drilled. We feel like what we've seen,
21 we've got some wells to the south that are potential
22 for over 200 barrels a day which says, well, this may
23 be better than average, but limited production history
24 keeps us from saying exactly what they'll make.

25 Q. Within this field, what you're saying is

1 you're probably looking at some pretty good Delaware
2 wells as a whole?

3 A. We're hoping to.

4 Q. You have no real evidence to support the
5 statement that these wells will probably drain 20
6 acres?

7 A. No, I don't. We don't have any pressure
8 information due to what we feel, them being
9 potentially marginal. We have not run any additional
10 tests, so I don't have a real number for permeability;
11 which, without that, I can't calculate that.

12 Q. Has your company ruled out directional
13 drilling at this point?

14 A. Yes, we have.

15 Q. As uneconomical?

16 A. Uneconomical.

17 Q. Without knowing what the reserves might be?

18 A. Well, you've got the increased costs of
19 drilling, you've got potentially severe production
20 problems in the future, high operating costs. It has
21 been considered.

22 Q. Have you had personal experience with a
23 well that's been directionally drilled and the type of
24 problems that you're talking about?

25 A. I have not.

1 EXAMINER CATANACH: I believe that's all I
2 have of the witness at this time.

3 MR. CARR: That concludes our direct case.

4 EXAMINER CATANACH: The witness may be
5 excused.

6 BILL M. BURKS

7 the witness herein, after having been first duly sworn
8 upon his oath, was examined and testified as follows:

9 EXAMINATION

10 BY MS. CALLAHAN:

11 Q. Would you please state your name and
12 occupation for the record.

13 A. It's Bill M. Burks, and I'm co-owner of an
14 Oklahoma partnership doing business as PK Energy.

15 Q. And your educational Background?

16 A. I received a BS degree in petroleum
17 engineering from the University of Oklahoma in 1961.

18 Q. Would you summarize briefly your employment
19 experience?

20 A. Yes. I worked for Amoco for three years
21 right after graduation in 61. Then I went to Reading
22 & Bates. I was made president of Reading & Bates
23 Petroleum Company in 1982 and served in that position
24 until retiring in May of last year.

25 Q. Would you tell us your relationship with

1 Bird Creek Resources?

2 A. I'm representing Bird Creek as a consultant
3 in this matter.

4 Q. Why are you appearing here today?

5 A. I'm appearing to oppose the proposed
6 location in Section 11.

7 Q. Have you made a study, engineering and
8 geological study that, in your opinion, applies to
9 this hearing?

10 A. Yes, I have.

11 Q. Have you previously testified before the
12 Oil Conservation Division?

13 A. No, I have not.

14 MS. CALLAHAN: Mr. Examiner, I tender Mr.
15 Burks as an expert petroleum engineer.

16 EXAMINER CATANACH: He is so qualified.

17 Q. Based upon your studies, Mr. Burks, can you
18 tell me what conclusions you drew?

19 A. Yes, I can. We feel that the BTA well
20 drilled in the proposed location will certainly drain
21 40 acres. We also feel that it will affect drainage
22 underneath Section 14. Let me, then, go to--

23 Q. Why don't you just go through your
24 conclusions.

25 A. That would be fine. Oh, before I refer to

1 the exhibits?

2 Q. Yes.

3 A. Mr. Examiner, we think that well will drain
4 oil from underneath Section 14, which Bird Creek has
5 leased. We think that the drainage will amount to and
6 we certainly agree with the 150,000 barrel estimate of
7 oil reserves that the engineer has presented here, but
8 we think if that well is drilled in that location,
9 about 32,800 of those barrels will come from
10 underneath Section 14.

11 I feel that for these tight sands, for a
12 sandstone with a gas solution drive to have any more
13 than 20 percent is very, very unusual. They normally
14 range from 9 to 21 percent, and we have considerable
15 published literature which I think bears that out.

16 I feel that for these wells, 15 percent
17 recovery factor is about the maximum that you can look
18 for. If I take those kinds of reserves and a 15
19 percent recovery factor, it certainly spreads them out
20 over a 40-acre tract.

21 Q. Did you have any other conclusions?

22 A. You mean relative to location of the well?

23 Q. Yes.

24 A. Yes, I do. I still cannot understand why
25 the well cannot be located in the northwest-northwest

1 or somewhere along the west half of the
2 southeast-southwest of Section 11. If I may, let me
3 refer to this exhibit which is No. 7, BTA's Exhibit
4 No. 7.

5 I have no problem in recognizing this area
6 right here as a flood plain. That's down in the river
7 bottom. I have considerable difficulty understanding
8 that that is a flood plain. That contour, as you can
9 see, extends all the way over across the highway into
10 the next section, and I know of no flood plain--I've
11 been on the ground there enough to say that there is
12 not a flood plain coming through that area and across
13 that highway. I've been there when it's rained, which
14 is not that often, but I've just never seen water in
15 those low areas.

16 Consequently, I feel that the well could be
17 located somewhere in the west half of the northwest of
18 the southeast of the southwest. And at a location in
19 there the only leases other than this 40-acre tract,
20 which is the southeast-southwest, that would be
21 affected by drainage would be BTA leases and not Bird
22 Creek leases.

23 I further feel that one of these wells to
24 this Delaware pay--first let me say that this Delaware
25 is not performing as other Delaware fields have in

1 southeastern New Mexico. I think we have an
2 exceptional field here relative to all of those
3 others. There are a very few wells that I can find,
4 at least in Eddy and Lea County, that produce from
5 this basal Delaware sand. Most are shallower, higher
6 up in the Delaware formation.

7 Q. Could I interrupt you so we can establish a
8 better basis for what we're going to say. Do you feel
9 more comfortable referring to their exhibit?

10 A. Sure, it's a larger scale, so I have no
11 problem in using that. Do you want to go back to it?

12 Q. Then we will not enter our Exhibit 1.

13 A. They have a larger scale there and it's
14 easier to read.

15 Q. Okay.

16 A. I assume this is USGS topo map. It appears
17 to be the same as the one we have.

18 Q. Mr. Burks, you said that you believe, based
19 on your studies, that there was a better standard
20 location for this well. Can you tell me upon what you
21 base this conclusion? And I would offer Exhibit 2 and
22 ask you to identify it and tell me what it is and how
23 it was prepared?

24 A. Okay. My Exhibit 2 varies somewhat from
25 the isopach map, and what I have here is an isopach

1 that I prepared. I have used net pay from these
2 wells, not just total porosity above 10 percent.
3 Consequently, any time that water saturation exceeds
4 60 percent, I do not count that as pay. If I don't
5 have sufficient separation on the lateral log, I do
6 not use that on pay.

7 So I think the difference to be shown is,
8 in the Teledyne #1, I feel we have 62 feet of pay, and
9 if my memory doesn't fail me the other map showed 80
10 feet. So all I'm saying is those are the reasons for
11 this isopach being somewhat lower in numbers than the
12 one that was previously presented.

13 I will say that in referring to my isopach
14 map, the lower most well there that shows 56 feet in
15 Section 14 is our Carrasco 14-1. You'll note it has
16 56 feet, and you come to the north and our Teledyne #1
17 has 62 feet. That's six feet difference. If I come
18 on up to the proposed location which is the
19 southwestern most of the three locations in the
20 southeast-southwest of Section 11, if I come to that
21 point and using my map, somewhere around 58 feet of
22 pay. So, I don't think that a well drilled in that
23 location will perform from a productivity standpoint
24 any differently than the Teledyne--okay?--because I
25 think it will have slightly more net pay than our

1 Carrasco down there to the south.

2 Now may be a good time to tell you about
3 that Carrasco. That Carrasco has produced for a
4 little over six months and has made 25,000 barrels of
5 oil. It is still flowing 150 barrels on 10/64 with
6 1,000 pounds tubing pressure. I have very little
7 difficulty in extrapolating that out to 150,000
8 barrels reserves. And while we're on that subject,
9 can I go on south?

10 Q. Yes.

11 A. I don't show it on an exhibit, but it's
12 been referred to earlier in testimony. There is
13 a--no, it's not on anything, but there is a well in
14 Section 23. It's in the northeast of the southwest of
15 Section 23. Now, that well is the oldest well in this
16 field that we have. It has been on production for two
17 years as of this past month, or March 1st. It came on
18 March 1, 1988, so almost two years.

19 It has produced 60,000 barrels of oil, has
20 established a very good decline rate. If we
21 extrapolate those out, we come up with 130,000 barrels
22 for that well. If we do a volumetric calculation on
23 that and back into a recovery factor, it's a 15
24 percent. So, taking it from there, then, up to this
25 area, because as far as log quality these wells don't

1 look that much different than that SCB 1-23 down in
2 Section 23.

3 Those are the only two wells that have
4 sufficient production history, although the RGA #1--by
5 the way, the Carrasco 14-1 of ours shown on that
6 isopach map was not a shut-in gas well. It was a twin
7 to an old Morrow well. It was shut in waiting on a
8 gas/pipeline connection, just to clear that point up.
9 Then the well that's not shown on my isopach that's
10 just to the south of that Carrasco 14-1 that's showing
11 56 feet there, the well just south of there is the
12 RGA #1 and it looks very much like the Carrasco. It
13 has now produced a little over 18,000 barrels of oil
14 and it came on about a month after the Carrasco did.

15 Q. Are you satisfied that you have adequate
16 well control to prepare this map?

17 A. Absolutely. In addition to the well down
18 in 23, RB Operating has drilled another well which is
19 the offset to the SCB 1-23. Then, the west offset to
20 that is an Amoco well, so we now have those three
21 wells down there, we have our four wells here, and
22 then, of course, the BTA well on farther north in
23 Section 11. So I think we have very good control, and
24 we have numerous wells in the area. It's a great area
25 to work in. We have numerous wells that are producing

1 from zones deeper than the Delaware, so you have good
2 log control, good well log control in the area.

3 Q. Did you prepare anything else that was the
4 basis of your conclusion?

5 A. Oh, I've prepared a structure map which is
6 Exhibit 3.

7 Q. Would you tell me what that is and how it
8 was prepared?

9 A. It's a structure map on the top of that
10 Delaware pay that produces in the Teledyne #1, and as
11 I've learned today produces in the BTA well that was
12 just completed in Section 11.

13 I think the thing that this shows is that
14 structure doesn't really matter in this case. I agree
15 with earlier testimony. We've got wells in here, if
16 you'll look back again down there in Section 14, at
17 that Carrasco 14-1, showing 3,065 subsea elevation,
18 it's lower than the Teledyne by what, 10 feet? 9 feet?
19 something like that. And there's no difference in
20 those two wells. They produce, maybe, two barrels of
21 water a day. Even the Carrasco, the lowest well on
22 this map, is still only producing about two barrels a
23 day after having produced 25,000 barrels.

24 Q. Mr. Burks, you concluded from your studies
25 that BTA will gain an unfair advantage by drilling

1 their well in the proposed unorthodox location. Do
2 you have something that you can show us supporting
3 this conclusion?

4 A. Yes, I do, and it's Exhibit No. 4.

5 Q. Would you tell us what this is and how it
6 was prepared?

7 A. It's just a simple circle map. Each of
8 those circles that you see there represents a 40-acre
9 area, radius of 745 feet.

10 With that well drilled in the proposed
11 location, you can see the overlap there between the
12 Teledyne #1 and the proposed well. I think that the
13 drainage represents, as I said earlier, 32,800 barrels
14 of oil or about 22 percent of their total reserves of
15 150,000 barrels, and I think that will come from
16 underneath the Bird Creek leases in Section 14.

17 Q. Let's go over what you've defined as the
18 drainage area by the BTA proposed well. Would you
19 clarify for us the fact that this extends over into
20 another proration unit, the 40 acres?

21 A. Well, yes, it does, but they're still Bird
22 Creek leases.

23 Q. Okay. I wanted to clarify that. Would
24 you, based on BTA's proposed location here, do
25 something differently in terms of how you would locate

1 a well in this section or in this proration unit that
2 you wouldn't do otherwise?

3 A. You're talking about the
4 northwest-northwest of Section 14?

5 Q. Yes, I am.

6 A. There are several options available. One,
7 we could move that from the center of that 40-acre
8 tract and could move to the northeast to offset some
9 of that drainage that we think we will experience as a
10 result of the proposed BTA well. But at that point,
11 then, we are also going to--we won't be preventing
12 waste, we will also leave some oil down in the
13 southwest corner and over on the west side of the
14 northwest-northwest.

15 That goes on and on forever, as you move
16 west. We're very hesitant to do that. We've
17 attempted in every case to get these wells in the
18 center of the 40-acre tract because we believe that
19 they are going to drain each 40-acre tract.

20 Q. Mr. Burks, do you have a recommendation for
21 a penalty?

22 A. Yes, but aren't we going to talk about
23 directional drilling before we do that?

24 Q. Yes, we'll do that.

25 A. Okay. You want me to talk about a

1 penalty. It's my understanding, and not having
2 appeared before this Commission before, it's my
3 understanding that a common penalty is based on
4 distance of the well from the 330 location and applies
5 only while the well is producing its allowable.

6 What we feel here is that if that well only
7 makes its allowable for, say, six months, if the
8 proposed well only made its allowable for six months,
9 the penalty would apply during that period. We would
10 not have offset the 32,800 barrel drainage down in
11 Section 14. I think that that well would have to
12 produce--have to be capable of producing allowable for
13 16 months for that to occur to be balanced out.

14 Consequently, it would be my proposal that
15 that well not only would be penalized during the
16 allowable, during the period that it was capable of
17 making allowable, it should be penalized afterwards
18 based on its capacity to produce, until such time as
19 that penalty equaled 32,800 barrels.

20 Q. Did you have a percentage in mind for the
21 penalty?

22 A. It's my understanding that the percentage
23 penalty, based on just distance, would be 46 percent.
24 And I have no problem in applying a 46-percent penalty
25 to the capacity of that well to produce after it no

1 longer will make its allowable.

2 Q. And that would tie into the producing rate
3 as well as the allowable?

4 A. I haven't calculated what period of time
5 that would take. I'm just saying that penalty would
6 only be in effect until the cumulative penalty equaled
7 the 32,800 barrels of drainage from Section 14.

8 Q. Did you have in mind a way that something
9 like that could be policed?

10 A. I realize any time we talk about something
11 like this, the mechanics of doing it are not always as
12 easy as we think. I would feel that anyone in the
13 situation BTA would be in, assuming that penalty was
14 assessed in that manner, that they could limit the
15 well themselves. I do think there should be some
16 checks and balances, perhaps every six months a well
17 test witnessed by the offset operator, to determine
18 that, yes, they were abiding by that penalty
19 throughout. And that's not meant to offend anyone, I
20 just know how those records get lost in a well file
21 over a period of time.

22 Q. Mr. Burks, you stated that you had come to
23 the conclusion, based on your study, that a standard
24 location could be achieved by means other than as
25 proposed by BTA or, I guess, by other means than BTA

1 says they cannot achieve it. Can you tell us how that
2 is? And I offer Exhibit 5, and ask you to tell us
3 what that is?

4 A. Well, there are AFES to go with this. Did
5 we get the AFES?

6 Q. Yes, Exhibit 6. Why don't you go ahead and
7 identify those and tell us how they were prepared.

8 A. All right. My estimate to directionally
9 drill from the proposed location of this well back to
10 the center of the southeast-southwest, the incremental
11 cost of doing that is \$30,000. You have two AFES that
12 are part of Exhibit 6.

13 If I could refer you to the first one,
14 where it says "well" it just says Delaware well. We
15 differ quite a bit in our drilling and completion
16 costs down here. I don't know why we drilled and
17 completed four of these wells. The maximum cost we've
18 had on any one was \$354,000, and that was due to some
19 problems in cementing the pipe. We're knocking out
20 our wells now for about \$330,000 each, that's drilled
21 and completed.

22 So if I look at just drilling a vertical
23 well and this is simply one of our AFES that we're
24 using, getting ready to drill another well, I have a
25 total drilled and completed cost of \$330,000. If you

1 look at the next page, I have another AFE there which
2 assumes the directional drilling of this well from the
3 proposed location to the center of that 40-acre
4 tract. Quite frankly, the only difference in here is
5 that the directional drilling service itself is about
6 a 17--and it's listed down here as directional
7 drilling service, it's about two-thirds of the way
8 down the page--it's a \$17,200 item. However, we have
9 to go on day rate with a drilling contractor, which
10 will run \$6,000 a day rather than a footage rate, so
11 that drives our drilling costs up from about \$80,000
12 \$90,000.

13 Consequently, the incremental cost of
14 directionally drilling that well, we feel, is the
15 difference between \$360,000 and \$330,000. With the
16 wells I've just told you about, the Carrasco 14-1 paid
17 out in about four months. It was our most expensive
18 well.

19 Moving to Section 5, here's how we feel the
20 economics look, Exhibit 5. Here's what we think the
21 economics look like for a vertical well versus a
22 directional well. And, as you can see, there's very
23 negligible effect. You increase payout of the well by
24 about two weeks. These numbers are, by the way, based
25 on 150,000 barrels for a well, drilling cost of

1 \$330,000 for the vertical and \$360,000 for the
2 directional. As you run down the line, you cut the
3 directional versus the vertical, you're cutting that
4 cash flow over the life of the well from 1.86 to
5 1.83. Your 10 percent present value of cash flow
6 drops from 1.42 to 1.39 million. Payout went from
7 five to five and a half months for the directional
8 well. Internal rate of return in both cases is over
9 100 percent. Finding cost, \$2.54 in the vertical case
10 and \$2.77. Those are very acceptable finding costs,
11 particularly in this date and time.

12 Q. Do you have any other comments on these
13 exhibits?

14 A. I don't think so.

15 Q. Did you have a comment about BTA's Exhibit
16 No. 4?

17 A. Is that the cross-section?

18 Q. Yes.

19 A. Oh, just a clarification. This Carrasco
20 1-14 is an old Morrow well that was drilled and
21 completed in 79. Our well is a twin to this well, so
22 this was not a recompletion. We only ran a case hole
23 log, and I guess I can't visit with this fellow. We
24 ran a case hole log only on our well, and I can
25 understand why that was done. That was just as a

1 matter of clarification.

2 Q. May I clarify something to be sure we have
3 it on the record regarding the topography? Is it my
4 understanding that your conclusion from this and
5 on-site inspection, is that your experience with this
6 area leads you to believe that there is another
7 surface location that could be drilled within this
8 proration unit?

9 A. That is correct.

10 MS. CALLAHAN: All right. Thank you. I
11 pass the witness.

12 EXAMINER CATANACH: Mr. Carr.

13 EXAMINATION

14 BY MR. CARR:

15 Q. Mr. Burks, if I understand your testimony,
16 you're drilling some Delaware wells that are
17 performing substantially better than what we could
18 call normal Delaware wells in New Mexico, is that
19 fair?

20 A. That is fair.

21 Q. As you review their production performance,
22 especially the one well south of, I think, our
23 exhibits that's been on for some period of time. Are
24 you encountering a fairly predictable performance
25 pattern, i.e., a regular decline, or is it an erratic

1 pattern?

2 A. No, it's not erratic. I have that and we
3 can introduce it as an exhibit, if you want.

4 Q. I really don't think we need to do that.
5 But you are experiencing a regular predictable decline
6 in these wells?

7 A. Absolutely. It's just like so.

8 Q. When we look at the geology in your initial
9 exhibits, the structure map and the isopach, basically
10 by BTA moving to the proposed location from the
11 standard location, they're not gaining a structural
12 position or a thickness, they're just moving towards
13 your tract? Isn't that your concern?

14 A. Yes.

15 Q. So you don't disagree with Mr. Hair that
16 geology really isn't a major factor?

17 A. I do not.

18 Q. I guess we also have other things we don't
19 disagree on. There isn't much risk in finding the
20 Delaware out here? You'll find it? There's Delaware
21 production under virtually all of the tracts that
22 we've been talking about here?

23 A. Yes, I think so.

24 Q. You have been producing these wells, and I
25 realize some of them have been on production a

1 relatively short period of time, are you seeing any
2 evidence of communication between the wells?

3 A. No, we have not. No, we have not. All
4 four wells have sat there and produced their
5 allowable. They all have a thousand pounds flowing
6 tubing pressure on 10/64 chokes. We've not seen any
7 weak decline in flowing tubing pressure from about
8 1,100 down to 1,000 pounds on those.

9 Q. You mean the four wells on 14?

10 A. On each of the four wells, that is correct.

11 Q. Now, the well that has produced for about
12 two years, what was that location? Is that in 14?

13 A. That's down in 23, just south of 14.

14 Q. Just south of 14. Is it at an immediate
15 offsetting location or is it farther south?

16 A. No, it's farther south. It would be in the
17 northeast of the southwest.

18 Q. Is it offset on a 40-acre pattern by other
19 Delaware wells?

20 A. It has been to the west.

21 Q. Is there any evidence of pressure
22 communication between these wells?

23 A. I do not know. That well to the west has
24 only been on a couple of months.

25 Q. I would like to ask you about your penalty

1 exhibit, Exhibit No. 4.

2 A. Yes.

3 Q. If I try and understand this, what we have,
4 we've put a circle around the Teledyne #1 that
5 includes a 40-acre drainage area?

6 A. That's correct.

7 Q. We have moved and placed a 40-acre drainage
8 circle with the center of that circle, the proposed
9 unorthodox well location?

10 A. That's correct.

11 Q. And then we have a figure, and I just
12 didn't understand where you get the 32,800 barrel of
13 oil figure. Explain it to the Examiner, because he
14 likes to be involved, I guess.

15 A. Do you mind my marking your exhibit here?

16 Q. No. Go to it.

17 A. Okay. That entire circle represents
18 150,000 barrels. The little pie shape that's not
19 heavily outlined, represents 32,800 barrels. That's
20 22 percent of that circle, is what that amounts to.

21 Q. Let me ask you about that. Why have you
22 excluded the acreage within the circle below the line
23 that runs sort of northeast-southwest and below that
24 line you've written "19,200." Why did you exclude
25 that?

1 A. Where those two curves intersect, I feel
2 that these wells producing at the same rates, which
3 they should--

4 Q. Have a no-flow barrier?

5 A. Have a no-flow barrier, right there where
6 the two intersect.

7 Q. So the amount of reserves off of the Bird
8 Creek operated tract that the well at the proposed
9 location could recover, would be 32,800 barrels? It's
10 the pie-shaped piece, it is south of the section line,
11 north of the line that has 9220 above it, and within
12 the circle?

13 A. That's correct.

14 Q. All right. Now, if we moved the BTA well
15 back to a standard location 330 from the boundary--

16 A. Yes.

17 Q. --that would tend to, I assume, move the
18 no-flow boundary to the north?

19 A. Yes, it would.

20 Q. And, consequently, it would move the entire
21 circle that's around the BTA well also to the north?

22 A. Yes, sir.

23 Q. The problem I'm having with this, isn't it
24 true that a well at a standard location would also be
25 draining reserves from this pie-shaped area?

1 A. Certainly.

2 Q. So you're asking for a penalty equal to all
3 the reserves on your tract, correct? that would be
4 drained by the well at the unorthodox location?

5 A. That's correct.

6 Q. When at a standard location, with no
7 penalty being appropriate, you agree with me there,
8 don't you?

9 A. Sure.

10 Q. From a standard location a substantial
11 portion of these reserves would also be drained,
12 wouldn't they?

13 A. Let me clarify that. I don't know how hard
14 and fast the rule is for 330 acres from the lease
15 line, but in the case of these wells and this
16 particular Delaware formation, that should be farther.

17 Q. Assume there is a hard and fast rule, and
18 if that is the rule, a well 330 from that lease line
19 would drain a substantial portion of those 32,800
20 barrels?

21 A. It would still drain, I think the number
22 is, about 20,000 barrels.

23 Q. So 20,000 barrels of that 32,000--

24 A. Versus 32,000.

25 Q. --would be drained even from a standard

1 location?

2 A. That's correct.

3 Q. You're using 40 acres. Why did you do
4 that?

5 A. For what?

6 Q. You're using 40-acre drainage areas?

7 A. Because I think that's what these wells
8 will drain. I tried to back into that using the well
9 to the south.

10 Q. With your volumetric well?

11 A. Uh-huh. The well in Section 23 that had
12 already produced 60,000 barrels and had established a
13 good define/decline curve, from that you can back into
14 a--using 40 acres, you can back into a 15 percent, and
15 I think 15 percent is a reasonable recovery--

16 Q. Reasonable recovery factor, so that would
17 tend to support your call on 40 acres being drained?

18 A. Yes. And not only that, the well in 23
19 will produce, we think right now from decline,
20 130,000. From production pressure history on our
21 Carrasco 14-1, I feel that it will certainly make
22 160,000 or 170,000, and I made those points to show
23 that I didn't think 150,000 was out of line for that
24 proposed well.

25 Q. Within this 40-acre circle, what were the

1 total reserves, total barrels? 150,000?

2 A. 150,000.

3 Q. Who prepared these AFES?

4 A. I did.

5 Q. These are based on your experience in the
6 area?

7 A. Yes.

8 Q. And your cost comparison was also prepared
9 by you?

10 A. Yes.

11 Q. And these figures show the impact of
12 directional drilling, correct?

13 A. Yes.

14 Q. They don't show the impact of directional
15 drilling plus a penalty?

16 A. No, they do not.

17 MR. CARR: That's all I have.

18 THE WITNESS: I have another point I need
19 to make.

20 FURTHER EXAMINATION

21 BY MS. CALLAHAN:

22 Q. I'll ask you about Exhibit 4, if you have
23 something further to add.

24 A. I have a particular point I would like to
25 make, if that's permissible.

1 EXAMINER CATANACH: Yes, sir, go ahead.

2 A. Regardless of the 330 rule and the
3 difference in the drainage down here, it certainly
4 seems to me that a well drilled in the center, and I
5 think the BTA isopach and structure maps and my
6 isopach and structure map bear this out, that a well
7 in the center of that 40-acre tract of the
8 southeast-southwest, that a well in the center of that
9 would result in maximizing income to BTA, the royalty
10 interest owners, and to the State of New Mexico
11 because there will not be any interference down here
12 and there would be, as with the well where it is or
13 even in the 330. There's going to be oil left up
14 here, because you certainly can't come in from the
15 east because of that river and get there unless you're
16 going to directionally drill one. That's all I have.

17 Q. I would like to clarify something on
18 Exhibit 4. In your discussion with Mr. Carr, did you
19 attempt to set a specific figure on the volume, that
20 if BTA drilled a well here, it would be drained from
21 Bird Creek property that--I'm having trouble
22 describing this.

23 If you were to draw the circle here, as Mr.
24 Carr suggested, and I'm indicating at an orthodox
25 location but not the middle of the proration unit, did

1 you attempt to give Mr. Carr a specific estimate of
2 what would be comparable to your pie shape amount
3 here?

4 A. Yes. I don't have an exhibit to that
5 effect, but I've calculated it and I would say within
6 five percent, plus or minus the 20,000 barrels, that
7 would be a good number.

8 Q. 20,000 that would be drained?

9 A. That would be drained, versus that 32,800.
10 Does that clarify that?

11 Q. Yes, thank you. And, further, that
12 locating the well at their proposed unorthodox
13 location, they're going to leave all the oil outside
14 of this circle but within their proration unit, is
15 that correct?

16 A. Well, it would be outside that next circle,
17 okay? The circle would be moved up just a little but
18 they would leave oil in here.

19 Q. I'm asking at the unorthodox location.

20 A. At the proposed location?

21 Q. At the proposed location, they're going to
22 be leaving what looks to me to be almost half of the
23 oil underneath their proration unit?

24 A. Almost half, just judging from the area
25 right in there. It's getting pretty close to half.

1 Q. So you would conclude that an approval of
2 BTA's application for this unorthodox location is
3 going to promote waste while encroaching on the
4 correlative rights of Bird Creek Resources?

5 A. That is correct. Absolutely.

6 MS. CALLAHAN: I have nothing further.

7 EXAMINATION

8 BY EXAMINER CATANACH:

9 Q. Mr. Burks, have you, in fact, been out to
10 the proposed location or made a visual inspection of
11 the area?

12 A. I have been to the proposed location. I
13 have made an inspection of the--just a moment, let me
14 find an exhibit--of the south half, south half of the
15 southeast-southwest, and that's that area right along
16 the highway. I have not investigated the northwest
17 quarter.

18 For my statements, I relied solely on the
19 topo map, but I certainly agree they have a problem
20 down in the south corner. I saw where the first stake
21 fell and it fell in the river bottom. My only point
22 was, I don't think they have a problem to the north of
23 the proposed location.

24 Q. That's based on your examination of the
25 site? That's your opinion based on an examination of

1 the site?

2 A. Based on the topo map to the north, because
3 I have not been on that area up there that he's
4 showing as another flood plain, but I have difficulty
5 believing that's a flood plain if it's only 20 feet
6 lower than where the proposed location is situated. I
7 really think if that's a flood plain, the Town of
8 Loving is a flood plain, because I think that contour
9 carries through to the Town of Loving which is about
10 another two miles away. I'm just basing that on the
11 topo map.

12 EXAMINATION

13 BY MR. STOVALL:

14 Q. Have you reviewed any Corps of Engineer
15 information on that, whether that's a flood plain or
16 not?

17 A. No, I have not.

18 Q. Would you come to a different conclusion if
19 you reviewed Corps of Engineer data and it did in fact
20 show this to be a flood plain?

21 A. Showed that as a flood plain? Certainly.
22 Like I say, they'll have to prove to me that the Town
23 of Loving is in a flood plain.

24 Q. That may very well be. We have a few of
25 those in this state, too, I think.

1 A. All I'm questioning is the 20 feet
2 difference in elevation. I can build pad to make up
3 some of that.

4 FURTHER EXAMINATION

5 BY EXAMINER CATANACH:

6 Q. Mr. Burks, I want you to clarify this. On
7 my Exhibit No. 4, to make sure I have everything
8 correct in what you've drawn out--sometimes it's hard
9 reviewing these things after the case--you're saying
10 that this wedge shape represents 32,800 barrels?

11 A. May I draw?

12 Q. Yes, sir.

13 MR. STOVALL: You've drawn that in blue, is
14 that correct?

15 THE WITNESS: Yes, I have, I've noted that
16 in blue on Exhibit 4.

17 Q. That's assuming 150,000 barrels distributed
18 evenly over that 40-acre circle?

19 A. That's correct.

20 Q. Okay.

21 A. May I say one more thing about the topo
22 map?

23 Q. Yes, sir.

24 A. There still seems to be, if you will look
25 at the topo map, there is a teardrop up here in the

1 very northwest corner. Can you see the one I'm
2 looking at?

3 Q. Yes.

4 A. There appears to be, from this topo map,
5 sufficient space there to build a pad 150 by 150.
6 There, again, that area right there is at the same
7 elevation as this flood plain shown over here. If
8 that is a flood plain, I don't know why that's not a
9 flood plain.

10 FURTHER EXAMINATION

11 BY MR. STOVALL:

12 Q. Mr. Burks, have you been involved in your
13 experience in the oil and gas exploration and
14 development industry in picking locations over your
15 years of experience?

16 A. Certainly.

17 Q. You pick them based upon topographical
18 maps?

19 A. Absolutely not.

20 Q. You're doing it based upon field inspection
21 of the area?

22 A. Field inspection, that is correct.

23 MR. STOVALL: I have no further questions.

24 THE WITNESS: The only other thing I can
25 add here is that flood plain is 40 feet, according to

1 that topo map, it's 40 feet above that river bed down
2 there.

3 FURTHER EXAMINATION

4 BY EXAMINER CATANACH:

5 Q. Mr. Burks, have you had any experience in
6 producing wells that are directionally drilled?

7 A. No, I have not.

8 Q. You've got two years of production history
9 on the well in Section 23, is that right?

10 A. That's correct.

11 Q. Have you done a decline curve on that well
12 compared to volumetric analysis to make a
13 determination of what these wells might be draining?

14 A. Yes, I have.

15 Q. What is your opinion on that, sir?

16 A. Volumetric reserves on that SCB 1-23 in
17 Section 23 are 836,000 barrels of oil. Now, that's if
18 I use 40-acre spacing. I have to back into one or the
19 other, which I'm sure you recognize, I have to back
20 either into the recovery factor or into the 40 acres.
21 When I do that and use 40 acres, I get 836,000
22 barrels, the well should make 128,000 barrels of oil
23 from decline curve extrapolation. And if you divide
24 128 by the 836, you've got 15.3, I think it is.

25 I could do the same thing and assign it a

1 15-percent recovery factor and back in the acreage,
2 and I would have 40 acres. I don't know where you're
3 going on that, but there's something that I didn't
4 bring out in the testimony.

5 On the Carrasco 14-1 of ours, to further
6 substantiate the reserves for these wells, the initial
7 bottom-hole pressure on that well was taken before we
8 produced anything. We took another one the first day
9 of March, and we've had a 358 pound decline in
10 bottom-hole pressure with a production of 25,000
11 barrels. With all of that, I have very little problem
12 imagining that these wells are going to drain the 40
13 acres.

14 FURTHER EXAMINATION

15 BY MR. STOVALL:

16 Q. One more question, I think. Would your AFE
17 for directionally drilling to a 330/330 legal location
18 be different? I assume your AFE you propose was going
19 to the center at 660/660, is that correct?

20 A. That is correct.

21 Q. How much different would it affect the cost
22 if you went to 330/330, do you have any idea?

23 A. Yes, I do. The directional cost drops from
24 about \$17,000 to \$13,000. I can't imagine knocking
25 any more than maybe a day or two off the drilling

1 costs, so you're still going to have an additional
2 15. I would think \$20,000, without putting pencil to
3 it, but I think that would be very close. And to me,
4 the additional \$10,000 to get it to the center to
5 recover more reserves is a far better deal.

6 Q. What about the affect on--again, you've
7 testified that you've not dealt with producing
8 directionally drilled wells?

9 A. I know what it costs to equip one. I'll
10 say this, over the life of these wells and our
11 estimates, the total operating expense amounts to
12 about two percent of the income from the well. I
13 can't imagine that the additional cost would be
14 prohibitive and would seriously effect the economics
15 of the well.

16 MR. STOVALL: I have nothing further of
17 this witness.

18 EXAMINER CATANACH: That's all I have of
19 the witness. He may be excused. If we may get Mr.
20 Logan back up?

21 KEITH E. LOGAN
22 the witness herein, having been previously duly sworn,
23 testified further as follows:
24
25

EXAMINATION

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

BY EXAMINER CATANACH:

Q. Mr. Logan, there seems to be quite a bit of question on whether or not that western portion of that proration unit is, in fact, a flood plain. Have you assured yourself or talked to the Corps of Engineers and have they assured you that in fact it is?

A. I have not talked to the Corps of Engineers on that, but I went out with the surveyor who attempted the staking of the locations out there. It is definitely a low area, and then you've got the pipeline running right through the middle of it. As far as his question concerning this little teardrop area up in there--

MR. CARR: Up in the northwest?

A. Up in the northwest quarter of that 40-acre tract, that railroad, if you refer to the exhibit that has been put in there, there's 200 feet on either side that has to be left there for crossing that river. As you see from that, it extends, I believe, out into that tic mark. I don't have that exhibit in front of me.

MR. STOVALL: Let's make sure we get that, too, before you leave.

1 MR. CARR: I will.

2 EXAMINATION

3 BY MR. STOVALL:

4 Q. Let's move back down to the southwest of
5 your proration unit. I think we're satisfied,
6 apparently, that the east side is not available.
7 Nobody seems to argue that. On that what appears to
8 be kind of a bluff or high area surrounded by the
9 heavy contour line, is that what that is?

10 A. Yes, it is.

11 Q. Is it possible to reorient your pen and go
12 to perhaps what I might call a nonconventional placing
13 of drilling equipment and pits, et cetera, to move
14 your location a little further north and get a little
15 less unorthodox and stay on that high area?

16 A. We did attempt to go northwest with that.
17 The problem was getting into that pipeline.

18 Q. I'm talking about going straight north.
19 You're still going to be unorthodox, but less so.

20 A. We attempted a location farther north and
21 we had both our drilling superintendent and drilling
22 foreman go out there and visualize that, and this was
23 the farthest north that we could get the location.

24 EXAMINER CATANACH: Why is that?

25 THE WITNESS: They felt like there was no

1 room to get the equipment in they needed.

2 EXAMINER CATANACH: That's all we have of
3 the witness.

4 Ms. Callahan, you may proceed with a
5 closing statement if you want at this time.

6 MS. CALLAHAN: All right. Thank you. Mr.
7 Examiner, I may be new at this and I may not know a
8 whole lot about geology and engineering, but I do know
9 about the Continental Oil case, and my reading of that
10 case tells me that to allow BTA to take 32,800 barrels
11 of oil from beneath the lands of my client is not
12 fair. My engineer tells me that that's exactly what
13 will happen if BTA is granted this application.

14 I know that you agree with me because in a
15 recent case, Santa Fe Energy, Case No. 9796, Order No.
16 R-9121, you denied Santa Fe's application for an
17 unorthodox location under the very same circumstances
18 as exist here. Santa Fe Energy, just like BTA, had
19 alternatives. Here BTA has the alternative of other
20 surface locations, and they also have the alternative
21 of directionally drilling, both of which will enable
22 them to produce more oil from underneath their lands
23 while protecting correlative rights of Santa Fe
24 energy.

25 The best solution to this case is the

1 simplest, and that is to simply deny the application.
2 However, if you don't see things the way I do, we ask
3 that you extract a penalty from BTA that's meaningful,
4 and we see that as a penalty that will be tied not
5 only to the top allowable but also to the producing
6 rate for the well. In any event, surface constraints
7 should never be used to justify an inappropriate
8 bottom hole location. That concludes my statement.

9 EXAMINER CATANACH: Thank you Ms. Callahan,
10 Mr. Carr.

11 MR. CARR: May it please the Examiner, BTA
12 is before you today seeking authority to drill a well
13 at what we submit is the only viable location on a
14 40-acre Delaware tract. We can sit here today and try
15 and pick a location from the topographic map, but I
16 think if you take a look at the topographic map you're
17 going to see that in 40 acres we have low areas, we
18 have water, we have flood plains, we have two
19 pipelines, we have a number of bluffs, we have rivers,
20 we have canals, we have railroads, we have 200-foot
21 wide railroad right-of-ways, and instead of second
22 guessing it here, we have come in and although
23 everyone is speculating where we might put the well,
24 we've come in, having been on the side, having taking
25 the drilling contractor and drilling foreman out, and

1 we're standing before you with the one viable option
2 to produce the reserves that are under this tract.

3 There is no dispute that there are reserves
4 under this tract. If this location is denied, they're
5 not going to be produced by the party who owns them,
6 BTA, and when that happens, your denial will deny us
7 our correlative rights. This isn't like the Santa Fe
8 Energy denial. That case involved an unorthodox
9 location that was purportedly necessary to bottom the
10 well in a particular stringer, and it wasn't supported
11 by the geology, when you took a close look at it. It
12 isn't like that and denial is not an appropriate
13 remedy. We have reserves. We're here attempting to
14 produce them.

15 We've come before you seeking no penalty.
16 We seek no penalty because we submit the reservoir is
17 so tight that there will be little or no impact on the
18 offsetting tracts. Mr. Burk's testimony was that none
19 of the wells in the area had experienced any kind of
20 pressure communication, not even the wells south of
21 the wells depicted on our plats. It is the only well
22 that has some substantial production history. There's
23 no communication, and we submit to you that no penalty
24 is appropriate.

25 If, however, you're going to penalize

1 production from this well, you unfortunately have a
2 problem confronting you which may be a gift from the
3 attorneys in this room, and that is, you're supposed
4 to base a penalty in your decision on the record made
5 in this case. As I look at the record in this case,
6 we get back, as we do with most penalty questions, to
7 a fundamental problem, and that is we're putting
8 rounds pegs in square holes, rounds drainage areas
9 under leases that are basically square in shape.

10 And so as we look at that, I think it's
11 important to recognize that even standard locations,
12 one operator is authorized and permitted, under the
13 rule, to drain reserves from the offsetting tract, and
14 it's assumed that the offset will locate his wells so
15 that he can offset that drainage. We have a record
16 before you where basically there are only two ways to
17 go. One, somehow penalize us equal to 32,800 barrels,
18 that's what they would like you to do, or come up with
19 some sort of a penalty factor.

20 I'll tell you what's wrong with 32,800
21 barrels. Mr. Burks admitted that at a standard
22 location we could produce 20,000 of those. We
23 shouldn't be penalized an additional 20, 20 that we
24 can recover and would recover from a standard
25 bottom-hole location offsetting this lease. Either

1 you're going to have to come in and pop us for 32,800
2 barrels, or you're going to have to take this record
3 and devise a theory, and I'll tell you how I think you
4 should do it.

5 Mr. Burks says that they're anticipating
6 150,000 barrels of oil to be recovered in this circle,
7 and the pie-shaped piece he outlined on Exhibit No. 4
8 contained 32,800, and he admitted that we would
9 produce 20,000 of those for the well at a standard
10 location. I suggest on this record you should take
11 the 32,800 barrels, subtract the 20,000 that we can
12 get from a standard location, recognize that we are
13 gaining an advantage of 12,800 barrels, divide that
14 into 150,000 barrels, what Mr. Burks says is available
15 under the tract, and you'll come up with a penalty of
16 8.5 percent and go ahead apply that towards our depth
17 bracket allowable and you'll be penalizing this well
18 and you will be penalizing it based on the additional
19 recovery that it can gain off the offsetting tract
20 because of the unorthodox location.

21 I submit to you that based on this record
22 that is the only thing that you can do. If you're
23 going to permit us to develop our reserves, denial
24 will not do that. If you're not going to enter an
25 order that will leave reserves in the ground, denial

1 or a 32,000 penalty will do that.

2 If you're going to follow the Continental
3 decision which reminds you, I suggest, that you have
4 two bases for your jurisdiction, waste as well as
5 correlative rights, if you're going to follow
6 Continental and protect our correlative rights, you're
7 going to come up with a meaningful penalty. And when
8 you do that based on this record, you're going to come
9 up with a 8.5 percent penalty applied to a depth
10 bracket allowable. And I believe on this record,
11 unfortunately, that's about all you can do if you're
12 also going to meet your statutory challenge and
13 prevent waste and protect correlative rights.

14 EXAMINER CATANACH: Thank you Mr. Carr.
15 Anything further in this case? If not, Case 9883 will
16 be taken under advisement.

17
18
19
20
21
22
23
24
25


1 CERTIFICATE OF REPORTER

2
3 STATE OF NEW MEXICO)
4) ss.
5 COUNTY OF SANTA FE)

6 I, Carla Diane Rodriguez, Certified
7 Shorthand Reporter and Notary Public, HEREBY CERTIFY
8 that the foregoing transcript of proceedings before
9 the Oil Conservation Division was reported by me; that
10 I caused my notes to be transcribed under my personal
11 supervision; and that the foregoing is a true and
12 accurate record of the proceedings.


13 I FURTHER CERTIFY that I am not a relative
14 or employee of any of the parties or attorneys
15 involved in this matter and that I have no personal
16 interest in the final disposition of this matter.

17 WITNESS MY HAND AND SEAL March 18, 1990.

18 
19 CARLA DIANE RODRIGUEZ
20 CSR No. 91

21 My commission expires: May 25, 1991
22

23 I do hereby certify that the foregoing is
24 a complete record of the proceedings in
25 the Ex parte hearing of Case No. 9843,
heard by me on March 7 1990.


David R. Catamb, Examiner
Oil Conservation Division

CUMBRE COURT REPORTING
(505) 984-2244