

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

STATE OF NEW MEXICO  
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT  
OIL CONSERVATION DIVISION  
CASE 9915

EXAMINER HEARING

IN THE MATTER OF:

Application of Marathon Oil Company for an  
Unorthodox Gas Well Location, Eddy County,  
New Mexico

TRANSCRIPT OF PROCEEDINGS

BEFORE: MICHAEL E. STOGNER, EXAMINER

STATE LAND OFFICE BUILDING

SANTA FE, NEW MEXICO

April 18, 1990

**ORIGINAL**

A P P E A R A N C E S

FOR THE APPLICANT:

KELLAHIN, KELLAHIN & AUBREY  
Attorneys at Law  
By: W. THOMAS KELLAHIN  
117 N. Guadalupe  
P.O. Box 2265  
Santa Fe, New Mexico  
87504-2265

\* \* \*

I N D E X

	Page Number
Appearances	2
Exhibits	3
CRAIG KENT	
Examination by Mr. Kellahin	4
Examination by Examiner Stogner	12
ERIC D. CARLSON	
Examination by Mr. Kellahin	16
Examination by Examiner Stogner	21
CURTIS SMITH	
Examination by Mr. Kellahin	23
Examination by Examiner Stogner	28
CRAIG KENT (Recalled)	
Examination by Examiner Stogner	29
Certificate of Reporter	35

\* \* \*

E X H I B I T S

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

APPLICANT'S EXHIBITS:

Exhibit 1	5
Exhibit 2	5
Exhibit 3	9
Exhibit 4	10
Exhibit 5	16
Exhibit 6	20
Exhibit 7	24
Exhibit 8	25
Exhibit 9	26
Exhibit 10-A	26
Exhibit 10-B	27
Exhibit 11	27

\* \* \*

1           WHEREUPON, the following proceedings were had  
2 at 11:22 a.m.:

3           EXAMINER STOGNER: Call the next case, Number  
4 9915, which is the Application of Marathon Oil Company  
5 for an unorthodox gas well location, Eddy County, New  
6 Mexico.

7           I'll call for appearances.

8           MR. KELLAHIN: Mr. Examiner, I'm Tom Kellahin  
9 of the Santa Fe law firm of Kellahin, Kellahin and  
10 Aubrey. I'm appearing in an association with Mr. Larry  
11 Garcia who is an attorney for Marathon and a member of  
12 the Texas and New Mexico Bars. We're appearing on  
13 behalf of the Applicant, Marathon Oil Company.

14           EXAMINER STOGNER: Are there any other  
15 appearances?

16           Will the witnesses please stand to be sworn?

17           (Thereupon, the witnesses were sworn.)

18           EXAMINER STOGNER: You may be seated.

19           Mr. Kellahin?

20                         CRAIG KENT,

21 the witness herein, after having been first duly sworn  
22 upon his oath, was examined and testified as follows:

23                                 EXAMINATION

24 BY MR. KELLAHIN:

25           Q. Mr. Kent, for the record would you please

1 state your name and occupation?

2 A. My name is Craig Kent. I'm a petroleum  
3 engineer with Marathon Oil Company.

4 Q. Mr. Kent, on prior occasions have you  
5 testified before this Division as a petroleum engineer?

6 A. Yes, I have.

7 Q. And pursuant to your employment by your  
8 company, have you made a study of this Application?

9 A. Yes, I have.

10 MR. KELLAHIN: We tender Mr. Kent as an  
11 expert petroleum engineer.

12 EXAMINER STOGNER: Mr. Kent is so qualified.

13 Q. (By Mr. Kellahin) Mr. Kent, I have shared  
14 with the Examiner what is marked as Exhibits 1 and  
15 Exhibit 2 to this Application. You might unfold those  
16 before so that we can begin to talk about them.

17 Let's start with Exhibit Number 1, and would  
18 you identify and describe that display for us?

19 Exhibit Number 1 is a USGS 7-1/2 Minute  
20 Series Topographic Map of the Martha Creek Quadrangle,  
21 Eddy County, New Mexico.

22 EXAMINER STOGNER: I'm sorry, the what  
23 quadrangle?

24 THE WITNESS: Martha Creek.

25 EXAMINER STOGNER: Martha Creek, okay.

1           THE WITNESS: And what you see here is  
2 basically the central portion of what is called the  
3 Indian Basin Field.

4           In particular to this case is Section 23 of  
5 Township 21 South, 23 East, which is located in the  
6 upper center of the map.

7           In Section 23 there is a red dot which --  
8 Next to it are the words, "proposed location," which is  
9 the proposed location for our Indian Basin Gas Com  
10 Number 2, which we propose at a location of 732 feet  
11 from the south line, 1173 feet from the west line.

12           Also in that section is a red box which is  
13 the window of legal well locations in that section.

14           On the western half of the section there is a  
15 symbol marked "Gas Well," which is the location of the  
16 Indian Basin Gas Com Well Number 1, which we're seeking  
17 to replace.

18           Q. (By Mr. Kellahin) Let's turn now to Exhibit  
19 Number 2. Will you identify and describe that display?

20           A. Exhibit Number 2 is a blown-up portion of the  
21 Martha Creek Quadrangle, and in specific it is only of  
22 Section 23.

23           On this map you can again see our proposed  
24 location, which is shown with an orange dot. Again you  
25 can see the window of legal locations which is shown by

1 the dotted line, and the gas well symbol in the west  
2 part -- portion of the section -- is the original  
3 Indian Basin Gas Com Well Number 1.

4 The blue-shaded area on the map is the Rocky  
5 Arroyo floodplain.

6 Q. Describe for us what Marathon was seeking to  
7 accomplish when it first filed this request for this  
8 well administratively.

9 A. What we were hoping to do was to get  
10 administrative approval for a well location due to the  
11 topography in the southwest quarter of this section.

12 As you can see, a legal location of 1650 from  
13 the south and west falls within the floodplain of the  
14 Rocky Arroyo.

15 When we staked this location, we had a BLM  
16 representative present, and at that time he said that  
17 the proposed legal location was not acceptable. And so  
18 we moved our location to a location that was acceptable  
19 to the BLM.

20 Q. And that's the requested location today  
21 before this Examiner?

22 A. That's correct.

23 Q. Let's talk about how to appropriately develop  
24 the hydrocarbon reserves in this section for the Indian  
25 Basin Pool.

1           A.    The Indian Basin Upper Penn Pool is a  
2 moderate gas drive mechanism gas pool.

3                    And so to best develop these reserves, your  
4 best bet is to move upstructure from existing wells or  
5 upstructure from the gas-water contact.

6           Q.    Describe what has happened with the first  
7 well in Section 23, the well that's shown in the  
8 southwest of the northwest quarter of the section, that  
9 you now need to have another well.

10           A.    As that well has aged -- It was first  
11 produced in 1966 -- the water has encroached from the  
12 north and from the east to a point where we no longer  
13 have enough net pay to sustain an economic rate from  
14 that well.

15           Q.    What's happened to that first well in the  
16 section to tell you as an engineer that it's being  
17 watered out as opposed to simply being depleted by  
18 natural production of the hydrocarbons?

19           A.    We still see shut-in pressures of around 13-  
20 -- surface shut-in pressures of around 1300 pounds.  
21 And when we compare that to offsetting sections,  
22 bottom-hole shut-in pressures, we're within 100 to 200  
23 pounds of reservoir pressure from productive wells.

24           Q.    In examining possible locations so that you  
25 have a second -- or replacement well, if you will, in

1 Section 23, somewhere out of the southwest quarter --

2 A. Yes, sir.

3 Q. -- have you studied to determine whether or  
4 not, Mr. Kent, you can use an approvable surface  
5 location that satisfies the BLM's concerns about this  
6 floodplain and directionally drill that well so that  
7 you then encounter the reservoir at a standard bottom-  
8 hole location?

9 A. Yes, I have.

10 Q. What have you concluded?

11 A. I've concluded that directionally drilling  
12 would increase our dry-hole costs by approximately 50  
13 percent.

14 Q. Let me show you what is marked as Exhibit  
15 Number 3. Identify for us what Exhibit Number 3 is.

16 A. Exhibit Number 3 is an AFE cost detail of the  
17 dry-hole costs we estimate for drilling the Indian  
18 Basin Gas Com Number 2 at the proposed location as a  
19 straight hole.

20 Q. When you compare that as a straight hole to  
21 directionally drilling a well and have concluded it  
22 would be significantly more expensive to directionally  
23 drill, can you give us any point of reference in terms  
24 of actual expenditures for a directionally drilled well  
25 in this area?

1           A.    Yes, I can, and that is seen on Exhibit  
2           Number 4.

3           Q.    Where is the well for which the information  
4           on Exhibit Number 4 is prepared?

5           A.    It's from Section 20 of Township 21 South, 24  
6           East, which is approximately three miles to the east of  
7           our proposed location, the Indian Hills Unit Number 6.

8           Q.    Is the Quadrangle map, Exhibit Number 1,  
9           large enough to include that section?

10          A.    No -- Yes, it is.

11          Q.    Are the section lines shown on that Exhibit  
12          Number 1?

13          A.    Yes, they are.

14          Q.    And we're in what section, now?

15          A.    We're in Section 20 of Township 21 South,  
16          Range 24 East.  It's in the furthest to the right --  
17          Next to the furthest to the right row of sections.

18          Q.    Okay, and what was the resulting actual cost  
19          for the directional drilling of that well to penetrate  
20          this same reservoir?

21          A.    The dry-hole costs were \$744,000, although  
22          these included some costs for coring and mud-logging  
23          that are not included in our estimate for a straight-  
24          hole wellbore.

25          Q.    Based upon your portion of the study of the

1 technical information for this Application, do you have  
2 an opinion as an engineer as to whether or not the  
3 Division should approve this unorthodox location  
4 without a penalty?

5 A. Yes, I do.

6 Q. And what is that?

7 A. I feel that the Division should grant our  
8 location without penalty.

9 Q. And why? What are the bases for saying that?

10 A. Basically, it is that we feel there should be  
11 very little impairment of correlative rights due to the  
12 water encroachment, which may push gas from Section 23  
13 to the sections to the south and west.

14 Q. Those sections to the south and the west are  
15 a part of the same unit that Marathon Oil Company  
16 operates?

17 A. Yes, they are.

18 Q. And this is described as the Indian Basin  
19 Unit, is it not?

20 A. Yes, it is.

21 Q. Are you satisfied that there are reserves  
22 left remaining in Section 23 that can be produced by a  
23 well at the proposed unorthodox location?

24 A. Yes, I am.

25 Q. And will it benefit the working-interest

1 owners of the unit to be allowed to produce those  
2 reserves at this location without the additional  
3 expense of directionally drilling this well to a  
4 standard bottom-hole location?

5 A. Yes, it will.

6 MR. KELLAHIN: That concludes my examination  
7 of Mr. Kent, Mr. Stogner.

8 We would move the introduction of Exhibits 1  
9 through 4.

10 EXAMINER STOGNER: Exhibits 1 through 4 will  
11 be admitted into evidence.

12 Okay, let's go off the record.

13 (Off the record)

14 EXAMINER STOGNER: Okay, let's go back on the  
15 record and do this case.

16 EXAMINATION

17 BY MR. STOGNER:

18 Q. Mr. Kent, let's refer back to the Indian  
19 Basin Well Number -- Is that the Well Number 1, I  
20 believe it is?

21 A. Yes, sir.

22 Q. That's 1980 from the north, 660 from the  
23 west?

24 A. Yes, sir.

25 Q. Do you know about that well? Could you give

1 me a little brief history on that particular well?

2 A. That well was drilled by Ralph Lowe in 1962  
3 and was the discovery well for what was called at that  
4 time the Indian Basin Upper Penn and Morrow Pools.

5 It has produced approximately 9.1 BCF of gas  
6 to date.

7 Q. And is it presently producing?

8 A. It produces maybe two to three days a month.  
9 But after being shut in for a week or two weeks, we'll  
10 get production for a day of maybe 100 to 200 MCF, and  
11 then it drops off rapidly after that.

12 Q. Okay. And what zone is that production today  
13 coming from?

14 A. That's coming from the Upper Penn Zone only.

15 Q. Okay. How about the Morrow, history of the  
16 Morrow production?

17 A. The Morrow was abandoned in 1971. And as far  
18 as cumulative production, I believe it was in the  
19 neighborhood of 200 million cubic feet.

20 Q. So when you talk about watering problems,  
21 you're referring to the Upper Penn production; is that  
22 correct?

23 A. Upper Penn only, that's correct.

24 Q. Upper Penn only. And the Morrow in the  
25 Number 1 Well, it's just essentially depleted?

1           A.    That's correct, it became uneconomic to  
2 produce it.

3           Q.    So this particular well -- I mean if you're  
4 going to go down to the Upper Penn, you might as well  
5 drill to the Morrow; is that correct?

6           A.    That's correct, that's our current  
7 philosophy.

8           Q.    And that's probably shared with everybody  
9 else in the area?

10          A.    That's correct.

11          Q.    But as far as the geology, today we're only  
12 going to talk about the water encroachment just for the  
13 Upper Penn?

14          A.    That's correct.

15               MR. KELLAHIN: I have a geologist, Mr.  
16 Examiner, who will show his maps on both --

17               EXAMINER STOGNER: Okay.

18               MR. KELLAHIN: -- so that he can have both  
19 the Morrow and the Upper Penn subject to your review as  
20 to the location, because we would be unorthodox in the  
21 unlikely event there's more production, and he wants to  
22 make that presentation too.

23          Q.    (By Examiner Stogner) Okay, just for the  
24 record, I'm going to refer to Exhibit Number 2. You  
25 wanted to initially drill this well 1650 from the south

1 and west line; is that correct?

2 A. Yes, sir.

3 Q. And this being on federal acreage, it was  
4 subject to the surface conditions and recommendations  
5 of the BLM; is that correct?

6 A. Yes, sir.

7 Q. All right. And the most optimal positioning  
8 -- repositioning of this well -- would be to go to the  
9 south and east, geologically, but that wasn't to say  
10 that there was other locations available within the  
11 orthodox window: You just didn't want to drill there  
12 or do the geology; is that correct?

13 A. That's correct, and I believe that's why we  
14 didn't -- weren't able to get administrative approval  
15 for this.

16 EXAMINER STOGNER: Okay. I'll tell you what,  
17 I have no further questions at this time of Mr. Kent,  
18 but I'm sure he'll still be in the room.

19 Mr. Kellahin?

20 MR. KELLAHIN: I'd like to call Eric Carlson  
21 now. He's Marathon's geologist, Mr. Examiner.

22 (Off the record)

23 ERIC D. CARLSON,

24 the witness herein, after having been first duly sworn  
25 upon his oath, was examined and testified as follows:

## EXAMINATION

1  
2 BY MR. KELLAHIN:

3 Q. Mr. Carlson, for the record would you please  
4 state your name and occupation?

5 A. My name is Eric D. Carlson, and I am a  
6 petroleum geologist.

7 Q. Mr. Carlson, on prior occasions you have  
8 testified on behalf of your company as a petroleum  
9 geologist?

10 A. Yes, sir.

11 Q. And pursuant to your employment, have you  
12 made a study of the geology surrounding this particular  
13 Application?

14 A. Yes, sir.

15 MR. KELLAHIN: We tender Mr. Carlson as an  
16 expert petroleum geologist, Mr. Examiner.

17 EXAMINER STOGNER: Mr. Carlson is so  
18 qualified.

19 Q. (By Mr. Kellahin) Mr. Carlson, let me refer  
20 you, sir, to what is marked as Exhibit Number 5 and  
21 have you identify and describe that display for us.

22 A. Exhibit Number 5 is a structure map on the  
23 top of the Upper Penn. You see that it includes the  
24 nine-section area which is Section 23, Township 21  
25 South, Range 23 East, and the eight adjacent sections.

1           As you can see, there's a contour interval of  
2   100 feet on this structure map, and the scale is as  
3   given: One mile is approximately 4-1/2, 5 inches.

4           And also we will show you the legend. We  
5   have a proposed location which is indicated in Section  
6   23 with the orange dot, and we have shown penetrations  
7   through the Upper Penn on this map. The current status  
8   of each of those penetrations within the Upper Penn  
9   Reservoir is shown as keyed: The gas well, the  
10  abandoned gas well, the dry hole in the Upper Penn and  
11  the shut-in gas well.

12          Q. Describe for us what you have done to satisfy  
13  yourself about the original gas-water contact located  
14  on this map.

15          A. I would like to direct you to Section 13 in  
16  the northeast corner of this map, which shows the  
17  original gas-water contact. And the current gas-water  
18  contact is shown in Section 15, trending north-south.  
19  It crosses across Section 23 and exits the map  
20  approximately Section 25.

21               Now, we have seen some production data to  
22  indicate this contact has moved. And fortunately for  
23  us last year, to help us in understanding this  
24  reservoir further, a well was drilled in Section 14 by  
25  Bill Penn in the northwest quarter.

1           This well, drilled to the Upper Penn last  
2 year, was completed in the Upper Penn and was  
3 potentialled for 229,000 cubic feet a day, which is a  
4 subeconomic well. It also made over 100 barrels of  
5 water per day on potential.

6           So we feel that the well in Section 14  
7 drilled last year has established that water  
8 encroachment is occurring in this reservoir.

9           Q.    What do you have that causes you to conclude  
10 the location of the current gas/water contact is as you  
11 projected it through this section?

12           A.    We have in addition to the Section 14 well  
13 drilled last year as evidence, evidence in several  
14 other sections, particularly Section 23 where we start  
15 to see water encroachment in our well that is now  
16 drilled. Also to the north, off the map, there are  
17 also wells. And in Section 36 to the south of this  
18 map, Section 36, Township 21 South, Range 23 East, we  
19 have another subeconomic test drilled below that  
20 current gas-water contact.

21           I would like to state for the record that  
22 updip is to the southwest on this map. So in fact, the  
23 original gas-water contact has moved updip from  
24 approximately 3550 feet to its present location  
25 approximately 3540 feet subsea, so --

1 Q. Help me understand. When I look at the dark-  
2 shaded contour --

3 A. Yes, sir.

4 Q. -- just to the south in Section 26 it's  
5 identified at minus 3500 feet?

6 A. Yes, sir.

7 Q. When I move to the southwest corner of  
8 Section 26 and see the next contour line, what is that?

9 A. That is a negative 3400 feet, or 3400 feet  
10 subsea. Updip is to the southwest.

11 Q. So you're using hundred-foot contour lines on  
12 your display?

13 A. Yes, sir.

14 Q. Okay. What, in your geological opinion, Mr.  
15 Carlson, is the optimum location to drill this  
16 replacement well in Section 23 to penetrate and hope to  
17 recover the remaining gas reserves from the Upper Penn?

18 A. It is important to drill the well in Section  
19 23 updip of the current producer which is watering out.  
20 And so, the thing to do is to drill in the southwest  
21 corner of Section 23, the southwest quarter.

22 Q. There are existing producing wells in the  
23 Marathon Indian Basin Unit in Both Sections 26 and 27?

24 A. Yes, sir.

25 Q. And geologically, are both those wells at

1 favorable positions concerning the well -- relationship  
2 of those two wells to the well in 23?

3 A. Yes, sir.

4 Q. Now, when we go down further and look at the  
5 Morrow -- and refer to Exhibit Number 6 -- what does  
6 that tell us?

7 A. Exhibit 6 is a structure map of the Morrow,  
8 and it's actually on top of what's often called the  
9 Morrow Pay or the Morrow -- Middle Morrow, Morrow B  
10 Interval. And once again, it shows us the same area as  
11 Exhibit 5, the nine-section area including Section 23.  
12 And the penetration shown on this map, the symbols are  
13 indicative of performance of these wells in the Morrow,  
14 current status of these wells in the Morrow.

15 So we can take a look at the structure map  
16 again and see that updip is to the southwest, that the  
17 contour interval is 100 feet.

18 Q. Are there any currently producing gas wells  
19 shown on your display that produce gas from the Morrow?

20 A. No, sir, there are not. And I would like to  
21 speak a bit of production in the Morrow. All of the  
22 producing wells that you see are now abandoned on this  
23 map, and in Section -- Excuse me, in Township 21 South  
24 by 23 East, all the Morrow producers are from  
25 individual Morrow zones. There are not two wells in

1 that township that produce from the same zone. They're  
2 all from separate zones.

3 Q. In summary, then, Mr. Carlson, is approval of  
4 the proposed Application to penetrate both the Morrow  
5 and the Upper Penn Reservoir at this location one, in  
6 your opinion, that satisfies the conditions of the  
7 Commission to prevent waste and protect correlative  
8 rights?

9 A. Yes, sir, absolutely. Particularly in the  
10 Upper Penn horizon.

11 MR. KELLAHIN: That concludes my examination  
12 of Mr. Carlson.

13 We move the introduction of his Exhibits 5  
14 and 6.

15 EXAMINER STOGNER: Exhibits 5 and 6 will be  
16 admitted into evidence at this time.

17 EXAMINATION

18 BY EXAMINER STOGNER:

19 Q. Have you calculated what the rate of this  
20 encroachment of the gas/water-contact line is?

21 A. Marathon has calculated that it has moved  
22 approximately two miles in approximately 25 years. So  
23 that would give you a rate of about one mile every  
24 twelve years.

25 However, perhaps a better way to look at that

1 might be structurally. It's moved 200 feet higher, or  
2 shallower, in 25 years. So that would be a rate of  
3 approximately 100 feet every 12 or so years.

4 Q. At that kind of rate, what do you give the  
5 Number 1 Well before it is completely watered-out? Of  
6 course, you're reaching economic water-out about this  
7 time, aren't you?

8 A. That is correct.

9 Q. Maybe I'll need to ask the engineer. I'll go  
10 ahead and ask you, and if you can't answer it I'll ask  
11 the engineer.

12 How much more productive life do you  
13 visualize for the Number 1?

14 A. I would give that to Mr. Kent to answer.

15 EXAMINER STOGNER: Okay. I have some other  
16 questions of Mr. Kent, so I'll ask him to hold that  
17 question.

18 Okay, as far as any further questions of this  
19 witness, I do not have any.

20 Are there any other questions of Mr. Carlson?

21 MR. KELLAHIN: No, sir.

22 EXAMINER STOGNER: You may be excused.

23 Mr. Kellahin?

24 MR. KELLAHIN: Mr. Examiner, I'd like to call  
25 Curtis Smith. Mr. Smith is a petroleum landman with

1 Marathon Oil Company.

2 CURTIS SMITH,

3 the witness herein, after having been first duly sworn  
4 upon his oath, was examined and testified as follows:

5 EXAMINATION

6 BY MR. KELLAHIN:

7 Q. Mr. Smith, for the record would you please  
8 state your name and occupation?

9 A. My name is Curtis Smith. I'm a landman for  
10 Marathon Oil Company.

11 Q. Have you on prior occasions testified before  
12 the Oil Conservation Division as a petroleum landman?

13 A. Yes, sir.

14 Q. And have you made yourself knowledgeable  
15 about the ownership and land matters with regards to  
16 this section and the Indian Basin Unit operated by  
17 Marathon Oil Company?

18 A. Yes, I have.

19 MR. KELLAHIN: We tender Mr. Smith as an  
20 expert petroleum landman.

21 EXAMINER STOGNER: Mr. Smith is so qualified.

22 Q. (By Mr. Kellahin) Mr. Smith, I have handed  
23 you a package of exhibits, and let me have you go  
24 through them with me.

25 A. Okay.

1 Q. When we look first at Exhibit Number 7 to  
2 this case, what are we seeing?

3 A. Okay, this is the ownership plat of our  
4 Indian Basin Unit. The Indian Basin Unit is the  
5 hachured outline, and that is a working-interest unit  
6 by virtue of a joint operating agreement dated May  
7 15th, 1962, in which Marathon is the operator.

8 It also shows the offset operators,  
9 offsetting Section 23, and I have -- and the copy that  
10 I submitted as an exhibit and to the Commission with my  
11 Application, I highlighted the names of the operators  
12 in these sections.

13 Q. When we look at Section 23 and we find the  
14 black dot, does that represent an approximation of the  
15 proposed location for this well?

16 A. Yes, it does.

17 Q. And we look to the adjoining sections towards  
18 which this well is moving, Sections 22, 27 and 26, and  
19 all those sections in their entirety are part of this  
20 Marathon-operated Indian Basin Unit?

21 A. That is correct.

22 Q. Okay. Have you notified those various  
23 interest owners of this Application?

24 A. Yes, sir, I have. I've notified -- The  
25 working-interest partners in the Indian Basin Unit are

1 Amoco and Kerr-McGee, and they have signed waivers  
2 being offset operators, or offset working-interest  
3 partners, in Sections 22, 27 and 26. There are also  
4 working-interest partners in Section 23 with us.

5 Q. When I look at Exhibit Number 8, there's a  
6 list of operators shown. Did you prepare this list?

7 A. Yes, I did.

8 Q. What are we looking at here?

9 A. This is a list of the offset operators to the  
10 Indian Basin Gas Com Well Number 2.

11 Hondo Oil and Gas Company is the operator, or  
12 the record title owner, for the north half of Section  
13 24. Bill Fenn, Incorporated, is the operator or record  
14 title holder of all of Sections 13, 14 and 25, Township  
15 21 South, 23 East. Marathon Oil Company is the  
16 operator of Sections 26, 27, 22 and 15 of 21 South, 23  
17 East.

18 Q. You were simply notifying all operators all  
19 the way around the section?

20 A. That is correct.

21 Q. Now, this case was originally filed  
22 administratively for approval, and when that  
23 Application was denied and returned to you did you  
24 subsequently then send appropriate notices to the  
25 offsetting operators of this case?

1           A.    Yes, I did.

2           Q.    How did you accomplish that?

3           A.    I did it with Exhibit Number 9, letters dated  
4    March 27th, 1990, notifying offset operators.  There  
5    are copies of my green cards that are signed showing  
6    the certified receipt.  And also along with that  
7    exhibit is a March 27th, 1990, letter dated -- or, I  
8    mean, sorry, to the State of New Mexico OCD, applying  
9    for a hearing on the unorthodox location.

10                   I also have a list of the offset operators in  
11    which I inadvertently did not include Marathon, which  
12    is -- Marathon is included in Exhibit Number 8.  I have  
13    an ownership plat attached to this also, showing the  
14    location of the well.  There is an orange dot on the  
15    copy I sent to Mr. Stogner, once again, with the offset  
16    operators highlighted.  There is a C-102 attached and  
17    an application for a permit to drill.

18           Q.    Thereafter marked as Exhibit 10-A, have you  
19    received any waivers of objection?

20           A.    Yes.  Kerr-McGee has signed a letter dated  
21    March 29th, 1990, Exhibit 10-A, as an offset working-  
22    interest partner, stating that they have no objection  
23    to the unorthodox location and recommend the location  
24    be approved without penalty.

25           Q.    Now, where would their property interest

1 arise from?

2 A. Well, they have a working interest, of  
3 course, in the Indian Basin Unit. They have a working  
4 interest in Sections 15, 22, 27 and 26.

5 Q. Okay. When I look at the three sections  
6 towards whom the well is moving, are those all sections  
7 in the unit that are leased to Amoco?

8 A. Yes, Amoco, and then it was -- Marathon has  
9 the contractual rights by virtue of the operating  
10 agreement.

11 Q. But the lessee, if you will, for those  
12 sections is Amoco?

13 A. I believe so, I believe --

14 Q. And did you --

15 A. -- that is correct.

16 Q. Did you obtain approval from and a waiver  
17 from Amoco?

18 A. Yes, we did. A letter dated April 16th,  
19 1990, Exhibit 10-B. Amoco also waives any objection to  
20 the unorthodox location and recommends the location be  
21 approved without penalty.

22 Q. And then finally what is Exhibit Number 11?

23 A. Exhibit 11 is a letter from the BLM, Carlsbad  
24 Resource Area Headquarters Office, signed by Richard  
25 Manus, Area Manager. He states that Mr. Barry Hunt of

1 the BLM, along with John West, surveyor, Jim Sciscenti,  
2 archeologist, and Marathon representatives did an on-  
3 site inspection of the standard location 1650 from the  
4 north and west lines.

5 After the on-site inspection they discovered  
6 that the standard location is falling in the floodplain  
7 of a major drainage, the Rocky Arroyo, and they  
8 recommended that we move the location, and --

9 Q. All right, when -- They have rejected the  
10 first location that was standard. Have they thereby in  
11 this letter also given you approval of the proposed  
12 unorthodox location that's before this Examiner?

13 A. Yes.

14 MR. KELLAHIN: Okay, that concludes my  
15 examination of Mr. Smith. We move the introduction of  
16 Exhibits 7 through 11.

17 EXAMINER STOGNER: Exhibits 7 through 11 will  
18 be admitted into evidence.

19 EXAMINATION

20 BY EXAMINER STOGNER:

21 Q. I want to ask you this question. There  
22 again, we may have to go back to Mr. Kent. And I'm  
23 referring to Exhibit Number 11 and Exhibit Number 2.

24 The floodplain that is shown on Exhibit  
25 Number 2, did that come from the BLM or information

1 from the BLM, or is this an accurate description of  
2 that floodplain by the BLM?

3 A. As far as I know. I'm not familiar with  
4 Exhibit Number 2.

5 EXAMINER STOGNER: I'll tell you what, let me  
6 -- I'm going to refer that question to Mr. Kent when I  
7 get him back up here.

8 As far as that goes, Mr. Smith, I have no  
9 questions --

10 THE WITNESS: Okay.

11 EXAMINER STOGNER: -- of you. You may be  
12 excused.

13 Let's recall Mr. Kent.

14 CRAIG KENT,

15 the witness herein, having been previously duly sworn  
16 upon his oath, was examined and testified as follows:

17 EXAMINATION

18 BY EXAMINER STOGNER:

19 Q. Mr. Kent, how did the Rocky Arroyo floodplain  
20 -- This is the blue-shaded area in Exhibit Number 2 --  
21 How was that prepared?

22 A. Basically, what we did -- It's prepared from  
23 two sources. First of all, it's prepared from the  
24 topographic map, and what I did was place the edge of  
25 the drainage at the breakback points on the contour

1 lines.

2 As you can see, the plus 3820 where it breaks  
3 back to the west, the plus 3800 where it breaks back to  
4 the west, I've placed the contour lines.

5 I was also on site when the inspection was  
6 done with the BLM, and this is -- as far as my  
7 recollection goes, is very close to what is actually  
8 out there.

9 Q. Now, when I look at your proposed location,  
10 there's a square box around it. Is that the well pad?

11 A. Yes, sir, that's the 400-by-400-foot well  
12 pad.

13 Q. Has this particular site been also surveyed  
14 in, and that letter in Exhibit Number 11, does that  
15 give approval from the BLM for that location?

16 A. Yes, sir, it does. And again, the BLM was on  
17 site when we staked this location.

18 Q. In your testimony previously, you mentioned  
19 something, and you gave some testimony about  
20 directional drilling. When you were speaking of that  
21 testimony, were you referring to drilling a surface  
22 location here and directional drill back to the  
23 1650?

24 A. What I was referring to was actual costs  
25 incurred with the Indian Hills Unit Number 6, and as

1 far as the actual departure, it is fairly similar to  
2 what we would probably see with our proposed location.

3 Up at the top of Exhibit 4 I give a location  
4 for the Indian Hills 6 of 560 feet from the south line,  
5 1550 feet from the west line. So it's fairly similar.  
6 We may have to drill a little farther from our proposed  
7 location than what we had on the Indian Hills 6.

8 Q. Now, this Indian Hills 6, that was a new  
9 well, was it?

10 A. That was a new well, yes, sir.

11 Q. Okay, how much more productive life do you  
12 give the Number 1 Well?

13 A. Economically, it has very little productive  
14 life, as far as being a useful well in this field. We  
15 would -- I would say it would have possibly one to two  
16 years before it would completely cease to produce at  
17 all, at which point we would lose our lease.

18 Q. Did you study, or could you utilize this  
19 particular wellbore and directionally drill off of it  
20 into a standard 1650-1650, or do you know?

21 A. Using the existing wellbore?

22 Q. Yes.

23 A. I assume you're meaning to sidetrack the  
24 existing wellbore?

25 Q. Come back uphole and sidetrack, yes.

1           A.    Offhand, I don't remember what the casing  
2 size is on that well, and -- I could tell you what the  
3 casing size would be.  If it was seven-inch, it would  
4 be possible.  Again, you're looking at a fairly long  
5 distance to get to the proposed location -- or, not  
6 proposed location, but a 1650-1650.

7           Q.    Any way you go about it, it would be an  
8 expensive process?

9           A.    Very expensive, sir.

10          Q.    Okay.  That is, assuming if you could even do  
11 it.

12                    And the Number 1 well was drilled when?

13          A.    It was drilled in 1962, late 1962.

14          Q.    Were the completion techniques different then  
15 than they are now?

16          A.    Not substantially.  Generally, when a well is  
17 completed in this field, you set casing through the  
18 upper Penn or, in this case they drilled through to the  
19 Devonian.  So casing was present, it was perforated and  
20 acidized.

21                    Due to the water encroachment problems,  
22 generally we do not fracture-stimulate these wells, and  
23 we generally do not do a very aggressive acid job due  
24 to the fact that we don't want to create any fractures  
25 that would increase the conductivity of the water to

1 the wellbore.

2 Q. The Upper Penn Pool is a prorated gas pool;  
3 is that correct?

4 A. Yes, sir, it is.

5 Q. And it's -- Foreseeably and probably, both  
6 wells will be producing if this well is approved. At  
7 the same time the allowable will be assigned a  
8 proration unit; is that correct?

9 A. Yes, sir, but what we would envision would be  
10 as soon as the new well is hooked up to the gas plant  
11 out there in the field, the original well would be shut  
12 in.

13 Q. Why?

14 A. It's possible we could utilize that wellbore  
15 for saltwater disposal.

16 EXAMINER STOGNER: Okay. I have no other  
17 questions of Mr. Kent at this time. Are there any  
18 other questions of this witness?

19 MR. KELLAHIN: No, sir.

20 EXAMINER STOGNER: If not, he may be excused.  
21 Mr. Kellahin, do you have anything further?

22 MR. KELLAHIN: No, sir.

23 EXAMINER STOGNER: And does anybody else have  
24 anything further in Case Number 9915?

25 If not, this case will be taken under

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

advisement.

(Thereupon, these proceedings were concluded  
at 12:00 noon.)

I do hereby certify that the foregoing is  
a complete record of the proceedings in  
the Examiner hearing of Case No. 9915,  
heard by me on 18 April 1990.  
Markus E. Slagter, Examiner  
Oil Conservation Division

