

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

STATE OF NEW MEXICO
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
OIL CONSERVATION DIVISION

CASE 9929

EXAMINER HEARING

IN THE MATTER OF:

Application of Socorro Petroleum Company for a
Waterflood Expansion and to Amend Division Order
R-2268 and Administrative Orders WFX-585 and WFX-
587, Eddy County, New Mexico

TRANSCRIPT OF PROCEEDINGS

BEFORE: DAVID R. CATANACH, EXAMINER

STATE LAND OFFICE BUILDING

SANTA FE, NEW MEXICO

May 2, 1990

ORIGINAL

A P P E A R A N C E S

FOR THE APPLICANT:

KELLAHIN, KELLAHIN & AUBREY

Attorneys at Law

By: W. THOMAS KELLAHIN

117 N. Guadalupe

P.O. Box 2265

Santa Fe, New Mexico 87504-2265

* * *

I N D E X

	Page Number
Appearances	2
Exhibits	3
ROY WILLIAMSON	
Examination by Mr. Kellahin	4
Examination by Examiner Catanach	33
Certificate of Reporter	51

* * *

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

E X H I B I T S

APPLICANT'S EXHIBITS:

Exhibit 1	5
Exhibit 2	10
Exhibit 2-A	14
Exhibit 3	18
Exhibit 4	19
Exhibit 5	19
Exhibit 6	21
Exhibit 6-A	25
Exhibit 7	22
Exhibit 8	21
Exhibit 9	25
Exhibit 10	50

* * *

1 WHEREUPON, the following proceedings were had
2 at 10:47 a.m.:

3 EXAMINER CATANACH: At this time we'll call
4 Case 9929, Application of Socorro Petroleum Company for
5 a waterflood expansion and to amend Division Order
6 Number R-2268 and Administrative Orders WFX-585 and
7 WFX-587, Eddy County, New Mexico.

8 Are there appearances in this case?

9 MR. KELLAHIN: Mr. Examiner, I'm Tom Kellahin
10 of the Santa Fe law firm of Kellahin, Kellahin and
11 Aubrey. I'm appearing on behalf of the Applicant, and
12 I have one witness to be sworn.

13 EXAMINER CATANACH: Are there any other
14 appearances?

15 Will the witness please raise your right hand
16 and be sworn?

17 (Thereupon, the witness was sworn.)

18 ROY WILLIAMSON,
19 the witness herein, after having been first duly sworn
20 upon his oath, was examined and testified as follows:

21 EXAMINATION

22 BY MR. KELLAHIN:

23 Q. Would you please state your name and
24 occupation?

25 A. Roy Williamson. I'm a consulting petroleum

1 engineer.

2 Q. Mr. Williamson, on prior occasions have you
3 testified before this Division?

4 A. Yes, sir, I have.

5 Q. Have you been retained as a consulting
6 engineer for Socorro Petroleum Company?

7 A. Yes, I have.

8 Q. What was the purpose of having you retained
9 as a consultant?

10 A. The purpose was to study the effect of the
11 .2-p.s.i.-per-foot pressure limitation in a waterflood
12 project termed the Keel-West Flood in 16 South -- 17
13 South, 31 West in Eddy County, New Mexico.

14 Q. Let me have you turn, sir, to what is marked
15 as Exhibit Number 1. You described this Keel project?

16 A. Yes, sir.

17 Q. Is that shown on Exhibit Number 1?

18 A. Yes, sir, it is. In 1731 we have a sort of a
19 trapezoidal figure outlined in yellow, encompassing
20 Sections 3, 4, 8, 9 and 10, and the area within that
21 yellow border is the matter of this hearing.

22 Q. In addition to studying the engineering
23 details necessary to reach conclusions about pressure
24 limitations for this particular waterflood, have you
25 studied any other waterfloods in this vicinity that

1 have applied for and received from the Division
2 approvals for increased pressure limitations above the
3 .2 p.s.i. or above the step-rate tests?

4 A. Yes, sir, I have. If you'll look on this
5 same Exhibit 1, in the center of the exhibit, in
6 Township 1730 there is a yellow outline there of a
7 Devon project that received relief from the .2-per-
8 p.s.i. limitation, and in the lower left-hand corner of
9 the exhibit is the Anadarko project, the Ballard Unit,
10 in which they received relief from the .2-p.s.i.-per-
11 foot pressure limitation.

12 Q. Is this your first involvement on behalf of
13 Socorro Petroleum in regard to this project?

14 A. No, sir, we are familiar with this project.
15 We worked for Mr. R.O. Anderson when he acquired this
16 among other properties from Arco. Then we worked with
17 Socorro when they acquired the interest from Mr.
18 Anderson and his company, which is called Hondo.

19 Q. What was the basis for your involvement?

20 A. The involvement early on was to evaluate the
21 reserves and the value that would be applied to these
22 particular properties.

23 Q. Have you applied that information to
24 analyzing the impact of increasing the pressure
25 limitation for this particular waterflood?

1 A. Yes, sir, I have.

2 Q. Based upon your study, have you reached
3 certain engineering conclusions?

4 A. Yes, sir, I have.

5 MR. KELLAHIN: At this point, Mr. Examiner,
6 we tender Mr. Williamson as an expert petroleum
7 engineer.

8 EXAMINER CATANACH: He is so qualified.

9 Q. (By Mr. Kellahin) Describe for us what you
10 were attempting to determine with your study, Mr.
11 Williamson.

12 A. Well, the project that we were calling the
13 Keel-West here had a pressure limitation of .2 p.s.i.
14 per foot for a surface injection pressure, and the
15 operator has found that with those limitations they
16 cannot get water in the ground in sufficient amounts to
17 recover the secondary oil that our studies show can be
18 recovered from this area.

19 Our studies show that if we can get water in
20 the ground, that we can recovery approximately 1.48
21 million barrels of secondary oil from this outlined
22 area.

23 Q. What conclusions did you reach, based upon
24 your study?

25 A. We concluded that by increasing the surface

1 pressure limitation to what I -- I will describe how we
2 got there, but basically we're asking for 450 pounds
3 above the formation parting pressure, and we found that
4 at those pressures we could put water in the ground, we
5 could recover the additional oil, that we would not
6 create any sort of a fracture that would propagate
7 outside of the Grayburg-San Andres section, which is
8 the producing interval that we are dealing with here.

9 Q. Describe for us in a general way what has
10 been the history of development of the waterflood
11 project in general terms, from primary production
12 through the initial efforts for secondary recovery by
13 waterflood to the current situation.

14 A. Well, this project was originally developed
15 by Sinclair Oil and Gas, and they put in a waterflood
16 project of sorts in this area. It was then, of course,
17 taken over by Arco.

18 What we found is that many of the zones in
19 the wells had not been ever perforated from a primary
20 standpoint, and I presume that was just the producer
21 option.

22 The waterfloods had not been consistent over
23 the entire area in that the zones open in the injection
24 wells were not open in the producing wells, and
25 therefore the recoveries that had been seen up to date

1 were not totally as efficient as they should have been.

2 We based our studies -- and it's -- I don't
3 have it outlined on the exhibit, but right to the left
4 of the slanted part of the trapezoid, so to speak,
5 there are a number of five-spot locations there that do
6 totally enclose the center producer, and most of the
7 producing zones have been opened and exposed to
8 injection and production over the years.

9 So when we began to study this property, we
10 were trying to find something that would give us a very
11 good idea of what type of recovery that we should get,
12 you know, from the water-injection project.

13 So by analyzing those particular five spots,
14 we concluded that we will get at least .3 barrels of
15 secondary oil per barrel of primary oil.

16 My experience tells me that that's probably a
17 pretty low number. But going back and trying to break
18 out production by five-spot and by well was a little
19 laborious, and so I think even though it's a safe
20 number, I think it is conservative.

21 And we took that information that we
22 recovered from not only those particular five-spots but
23 the rest of the project, studied the expected remaining
24 primary that we would expect to achieve there from the
25 project area, and determined what that primary should

1 have been, took into account the primary and secondary
2 production that had already been taken from this
3 property and have come up with the remaining secondary
4 oil of 1.48 million barrels.

5 Q. Within the current, existing limitations for
6 injection pressures for this waterflood, can the
7 operator, in your opinion, continue to recover any
8 significant amounts of additional oil that might
9 otherwise be recovered?

10 A. No, sir, without the relief from the pressure
11 restriction, I would say that none of that secondary
12 oil is going to be recovered.

13 Q. Let's turn now, sir, to Exhibit Number 2.
14 Identify Exhibit Number 2, please.

15 A. Okay, Exhibit Number 2 is a plat that
16 includes eight sections that are operated and owned by
17 Socorro. The area that we're studying today is that,
18 again, trapezoidal area on the right-hand side of that
19 exhibit, and we have shown on there three different
20 color combinations of injection wells.

21 The blue represents those wells that were
22 originally approved for Sinclair back in 1962 for
23 injection into the Seven Rivers, Queen, Grayburg, San
24 Andres Interval, and at the time of that approval there
25 was no pressure limitation put on the wells.

1 The yellow dots are new injectors that
2 Socorro is proposing to inject into, and the red are
3 additional injection wells that will be added to this
4 project.

5 Q. When we look at the wells identified with the
6 yellow dots, were those wells that were allowed to
7 inject water without a pressure-limitation restriction,
8 or were they subject to a limitation?

9 A. The yellow dots were subject to the .2-
10 p.s.i.-per-foot pressure limitation.

11 Q. And the red dots represent those additional
12 new injector wells to be converted for injection?

13 A. That is correct.

14 MR. KELLAHIN: Okay. To aid you in your
15 analysis, Mr. Examiner, we have made copies of the
16 administrative orders and the Sinclair orders that
17 apply to the waterflood, and I have not marked them as
18 exhibits. I'll simply give you a set of those orders
19 for your information.

20 Q. (By Mr. Kellahin) Is there any doubt in your
21 mind, Mr. Williamson, as a reservoir engineer, that
22 there are substantial -- to the extent of 1.4 million
23 barrels of oil that can be recovered from this project
24 if we increase the pressure limitation by which that
25 water is injected into the formation?

1 A. There is no doubt.

2 Q. No doubt at all?

3 A. No, sir. I might point out that all of these
4 wells that have their approximately seven zones that
5 can be produced here, and even though there were not
6 many wells that had all of them open, some of the wells
7 -- or all of the wells had some of them open. So we
8 were able to determine the productivity from the zones
9 in one wellbore or another.

10 But of course Socorro's plan is to come back
11 and orderly complete and inject into and produce from
12 all of the zones containing oil.

13 Q. Describe for us the plan of orderly
14 development by which you anticipate the project would
15 continue.

16 For example, the configuration of injectors
17 to producers, the method of flood, do you find all that
18 acceptable in the way this is to be operated?

19 A. Yes, sir. The plan is to be a -- just a
20 rather standard five-spot flood. Obviously, as we
21 study this field there is probably potential in the
22 future for downspacing, there's also potential for CO₂
23 recovery in the future, but that is something that will
24 be down the road.

25 Q. In analyzing and studying this area, what is

1 your recommendation for the next best thing this
2 operator can do to recover the additional oil?

3 A. That would be to be allowed to inject water
4 at approximately 450 pounds above the step-rate test
5 pressures that we have taken at this point in time.

6 I'd like to point out, though, that the step-
7 rate tests that we have taken today are based upon the
8 pressures that exist in the reservoir. As we pressure
9 up this reservoir by injection, we would expect those
10 step-rate pressures or the parting pressures to
11 increase.

12 So I think it's important that we discuss the
13 fact that as we move forward in time, that we would
14 like to be able to inject at 450 pounds above the most
15 recent parting-pressure survey that we have made.

16 In other words, if we limit ourselves now to
17 a certain pressure limit and we pressure the reservoir
18 up, we may not be able to get water into the ground
19 after we've gotten an additional pressure response in
20 the reservoir.

21 Q. Do you see any other viable alternate steps
22 the operator could take, short of increasing the
23 pressure limitation in the reservoir, by which to
24 extract this additional oil that could otherwise be
25 recovered?

1 A. No, sir, I don't, other than prudent
2 operations of opening zones and completing new, and
3 those things are being done.

4 Q. The obvious next task is whether this can be
5 done safely insofar as keeping the injection fluids
6 confined to the formation that is unitized and subject
7 to flood?

8 A. Yes, sir.

9 Q. In your opinion, can that be done?

10 A. Yes, sir, it can be.

11 Q. Describe for us what information you have
12 compiled concerning the injection history for the
13 various wells in the flood.

14 A. Well, of course when I began this study I
15 wanted to see what had happened to the old injection
16 wells in this particular area that had no pressure
17 limitation. And if you'll refer to Exhibit 2-A, I have
18 some injection history, both pressures and rates, for
19 the blue-dot wells that are on your Exhibit Number 2.

20 And if you'll look through there, you'll find
21 that injection pressures have been, oh, as high as 2500
22 pounds. I believe that's the highest I see. And
23 injected rates have ranged from 50 or 60 barrels up to
24 as high as 490 barrels a day.

25 For this project, we would like to be able to

1 inject at least 250 barrels of water per day.

2 Q. 250 barrels of water a day --

3 A. Per day, per well.

4 Q. -- per well, gives us an approximate surface
5 pressure of what? What are we going to use?

6 A. Well, what -- Again, I'll refer to the letter
7 that was sent to the OCD back on April 3rd, 1990. It
8 was Socorro's Application, original Application, to
9 increase the injection pressure. There is an exhibit
10 attached to that letter that tells what the step-rate
11 tests show in the way of parting pressure, plus the 450
12 pounds.

13 Now, we have specific pressures on those
14 wells that were measured, but if you average the
15 surface injection pressure of 450 pounds above step-
16 rate for these particular nine wells, that averages
17 about 2203 p.s.i.g. that we would look for in the way
18 of a surface injection pressure.

19 Q. That information that you've referred to is
20 the same information that's attached to the
21 Application?

22 A. Yes, sir.

23 MR. KELLAHIN: Mr. Examiner, here's an extra
24 copy of the Application. It shows the information that
25 Mr. Williamson was just referring to.

1 THE WITNESS: And looking back at Exhibit
2 2-A, we can see that our surface injection pressures
3 are going to be very close to what we are requesting
4 for the new injection wells in this area. In fact, the
5 average is very close, approximately 2200 pounds for
6 both sets of wells.

7 And since there have been no problems that
8 have been noted with injecting, we had no pressure
9 limitation in the old wells, we have shown we can get
10 the water in the ground, then we think that's a very
11 good simile for asking for the approval for the new
12 wells.

13 Q. For shorthand purposes, so that I don't have
14 to specifically identify the pressure limit for each
15 injection well, perhaps we can use 2300 pounds or
16 something like that, just so we can talk in shorthand?

17 A. Right.

18 Q. When you look at that range of pressure at
19 the surface for injection, tell me again how that
20 compares to the historical injection rates used by the
21 old injectors, shown with the blue dots, when the
22 injection pressures were unrestricted for the flood?

23 A. It conforms very favorably. In fact, if you
24 take the average surface injection pressure for the old
25 wells and the average pressure that we're asking for

1 for the new wells, they're within 50 or 60 pounds of
2 one another. So we're asking for something that's
3 already been occurring on this very property.

4 Q. When the operator produced or injected into
5 the old injectors at rates that were comparable to or
6 in excess of what we're asking now, have you examined
7 the offsetting wells to see if you saw any water break
8 through, any kind of surface discharge of water or any
9 other kind of problem with operating this flood at
10 those pressures?

11 A. Yes, sir, I have looked and I've conferred
12 with the operator, and there are no known problems
13 today regarding those matters.

14 Q. Was there any indication at all that the
15 injection water into those wells was moving outside of
16 the vertical limits of the Seven Rivers-Queen-Grayburg-
17 San Andres Formation?

18 A. No, sir, there's no evidence.

19 Q. Has your subsequent engineering study
20 confirmed reasons why that's true?

21 A. Yes, sir, it certainly has.

22 Q. Let's look at the next level of history, and
23 Exhibit 2-A documents the history on --

24 A. -- the old injection wells.

25 Q. -- the old injection wells.

1 A. With blue dots, yes, sir.

2 Q. Blue dots, okay.

3 Mr. Williamson, let's turn to the subject of
4 the step-rate tests.

5 A. Okay.

6 Q. Describe for us what information you have
7 received concerning step-rate tests on the wells and
8 what you've done with that information.

9 A. Okay. Your Exhibit Number 3 lists the step-
10 rate tests that we have run. I believe there are nine
11 of those.

12 And referring back to the earlier
13 Application, the April 3rd letter to the OCD, looking
14 at that exhibit gives the requested limit for those
15 nine wells that we have run.

16 And then for the wells that had no step-rate
17 tests, we averaged these nine, and that number is 2203.

18 So by looking at that exhibit, anything
19 that's got 2203 on it says that's an average, no new
20 step-rate tests run. Any other number that's got a
21 specific number is based upon the step-rate tests shown
22 in Exhibit 3, parting pressure plus 450 pounds, to give
23 us a requested surface injection pressure.

24 Q. In your opinion, is it necessary that the
25 operator run the step-rate test on the other wells for

1 which you don't have tests?

2 A. No, sir, I don't think that is necessary.
3 We'll look at some cross-sections in a moment to show
4 that the formations are generally correlable across
5 this area.

6 We do have a good coverage within the project
7 area of these step-rate tests, and so I do believe that
8 these step-rate tests will adequately represent the
9 entire reservoir in the requested area.

10 Q. Let's go to those cross-sections, Mr.
11 Williamson, and have you describe the information
12 contained on those displays.

13 We have for your use put copies of each of
14 those on the wall next to the Hearing Examiner, and let
15 me have you go through the analysis that you have made
16 using those cross-sections.

17 A. Well, basically those are stratigraphic
18 cross-sections, and they run -- I guess the best way to
19 look would be to refer back to Exhibit 2.

20 But the east-west cross-section runs through,
21 ending with Well Number 24 in the northeast part of
22 Section 10. And then the north-south cross-section
23 runs through, again, Well 24, but vertically, north and
24 south.

25 And on that we have identified, where the

1 wells were deep enough, all of the zones that are
2 involved in this particular project at this point in
3 time.

4 The top of the Grayburg is at somewhere
5 around 3200 feet. There are four different zones that
6 are identified within the Grayburg: the Loco Hills,
7 the Metex, the Square Lake and the Premier.

8 The San Andres is at around 3500 feet. There
9 are three subdivisions of the San Andres, and they are
10 the Vacuum, the Lovington and the Jackson.

11 So these cross-sections were really not
12 prepared specifically for this hearing. They were
13 prepared when we were doing our study of the reserves
14 that might be obtained from this area. So we have
15 color-coded and correlated the intervals through these
16 wells.

17 We do have cross-sections through every well
18 on this lease, but I did not bring all of those with
19 me.

20 Q. What did you study to give yourself the
21 background information necessary from which then to
22 reach conclusions about whether or not we could
23 increase the pressure limitation for these injection
24 wells and do so safely?

25 A. If you will look on a packet that I've

1 numbered as Exhibit Number 6, these are what are called
2 prism logs, and they're basically radioactive survey
3 logs that have been run after a well has been frac'd.

4 Now, during the frac'ing process, a
5 radioactive material is induced into the frac'ing
6 material. Immediately upon completing the fracture
7 treatment a survey is run and the level of
8 radioactivity that is detected is recorded on this
9 particular log.

10 Jumping ahead just a little bit to maybe
11 simplify this, I call your attention to Exhibit Number
12 8. It will be just a piece of paper.

13 And we have tabulated on Exhibit 8 the wells,
14 the date that the prism log was run, and in the center
15 part we have the indicated area of treatment. In other
16 words, we show how far the treatment went above and
17 below the top and the bottom frac -- or bottom
18 perforations in the well.

19 So if you read down through here, you will
20 find that the greatest propagation of this radioactive
21 frac material is approximately 50 feet above one of the
22 perfs in the San Andres formation.

23 So by looking at the prism logs, determining
24 how far the radioactive injection volumes have gone, I
25 feel very confident that the injection of water at the

1 rates and pressures that we're asking for will not
2 propagate a fracture outside the producing area.

3 If we refer now to Exhibit 7, which these are
4 all tied very closely, we have here the treating rates
5 that were imposed upon these wells. And you will see
6 that the treating rates, when they were being frac'd,
7 vary all the way from 18 barrels a minute up to 62
8 barrels a minute.

9 The 62-barrel-a-minute rate, if you convert
10 that to a daily rate, is about 89,000 barrels a day, of
11 course, which is well above anything that we would be
12 injecting. And if you look at the surface treating
13 pressure, you see that they injected as high as 5000
14 pounds on the surface pressure.

15 So by looking at all of this data, looking at
16 what had happened after the fracs, it's my conclusion
17 that injecting at 450 pounds above the formation
18 parting pressure and at volumes considerably less than
19 the frac rates, that there should be no chance of
20 propagating a fracture outside of the Grayburg-San
21 Andres interval.

22 Q. I'd like to have you take one of the prism
23 logs, and select whichever one you like, and
24 demonstrate to the Examiner how you went through the
25 analysis by which you've reached your conclusion.

1 A. Well, you have colored ones, and they're a
2 little bit easier to read. These are just black and
3 whites.

4 But if you take number, say, 36, which should
5 be the second one in your stack, and if you look,
6 there's a wellbore depiction there, and there's a
7 little white dashed line -- or at least mine is white;
8 I'm not sure what your dashed line is -- but right
9 along the inside of the casing. That will show where
10 the perforations are.

11 And then if you look at the detail that's
12 outside of the casing, so to speak, you can see a trace
13 there that is a recording of the radioactive isotope
14 that was put into the fracture treatment.

15 So by looking at where that reading occurs
16 outside the pipe, and looking at where the perforations
17 occur, you can determine, then, how far that frac is
18 propagated above and below the particular perforated
19 interval.

20 Q. And the greatest extent of any of those
21 propagated fractures is a distance of what?

22 A. Is a distance of 50 feet.

23 Again referring back to Exhibit 8, that
24 occurred in the West "B" Well Number 37, and that
25 showed that a propagation occurred 50 feet above the

1 top perf in the San Andres Formation, and it went 10
2 feet below the bottom perf in the San Andres-Jackson
3 Formation.

4 So that gives me a lot of confidence that the
5 injection volumes that we'll be putting in there will
6 not create anything nearly as severe as this in the way
7 of a fracture propagation and therefore should create
8 no problems in confining the water to the Grayburg-San
9 Andres zone.

10 Q. Within this particular flood, what is the
11 approximate vertical extent of the unitized formation
12 that's subject to flood? Do you recall?

13 A. The Seven Rivers, which is included in the
14 Application but it is not open and being actively
15 flooded right now, is at about 2200 feet. And the
16 bottom of the San Andres is probably going to be in the
17 neighborhood of 3600, 3700 feet. So we've got, oh,
18 1600, 1700 feet of interval that have been approved for
19 injection.

20 Just looking at the Grayburg itself, the top
21 of the Grayburg is at around 3200 feet. So we've
22 probably got 400 to 500 feet represented on the cross-
23 sections that would include the Grayburg and the San
24 Andres zones. So we've got plenty of room.

25 We do know that there is a pretty strong

1 anhydrite zone above the Grayburg, so I don't think
2 we're going to get out of the Grayburg. But we still
3 can go another thousand feet and be up at the Seven
4 Rivers if we needed to. But at that point in time --
5 At this point in time, that's not a problem.

6 Q. Your last exhibit is 9, is it?

7 A. Exhibit 9. Exhibit 9 is really just a sort
8 of a -- a backup, so to speak, on our Exhibit 8.
9 Exhibit 8 said we're so many feet above and below, and
10 I wanted to have Exhibit 9 that actually shows the
11 footage of -- for these particular intervals.

12 Like on the very first well, Well 32, we show
13 the footage interval from 3314 down to 3754, and those
14 formations are the Metex at the top and the Lovington
15 at the bottom.

16 So it's merely a backup to 8 and the studies
17 that we made on the prism logs.

18 And we did miss one other one, Exhibit 6-A.
19 These are electric logs that came off these types of
20 cross-sections that you have on the wall, and there is
21 one of these for each of these wells that have a prism
22 log. So if somebody wanted to go in and actually look
23 at the zone on that log, they could do so.

24 MR. KELLAHIN: Mr. Examiner, our Request for
25 Hearing did include a requested approval for the Number

1 24 Well as an additional injector well.

2 In addition to having it on the docket,
3 however, Mr. Fender has submitted that C-108 directly
4 to the Division for administrative processing. And so
5 not to confuse you, you will see that coming, I assume,
6 in a different manner. That is, to the best of our
7 knowledge, the only injector that has not yet gone
8 through the C-108 review.

9 With that regard, Mr. Williamson has made a
10 study of the integrity -- along with Mr. Fender -- of
11 the integrity of any of the producing wells that
12 penetrate the vertical limits of the unitized
13 formation, and let me ask him just a few questions that
14 help supplement that C-108.

15 Q. (By Mr. Kellahin) In doing your studies, Mr.
16 Williamson, did you find any wellbores that I would
17 characterize as problem wells in that they had a casing
18 strain exposed to the formation without cement
19 protection in the interval of flood?

20 A. No, sir, I did not.

21 A. Did you find any indication of or information
22 about any flows of water on the surface in this flood
23 area?

24 A. There are none that were -- have been noted.

25 Q. Do you see any indication that water injected

1 by any of these injectors has channeled through and
2 prematurely watered out any producing well?

3 A. No, sir, I have seen no evidence of that.

4 Q. Do you see any indication that there is a
5 risk of contaminating fresh-water sands that might
6 occur in this vicinity by increasing the pressure
7 limitation for the project area?

8 A. No, sir, none whatsoever. We investigated
9 the location of any fresh water on this property, and
10 our investigation showed there is no developed fresh
11 water on this project.

12 Q. You have made a study of the Devon
13 Application for an increase in pressure limitation as
14 well as the Anadarko Petroleum Corporation Application.

15 Summarize for us, starting with the Anadarko
16 Application, what was the technical analysis by which
17 they convinced themselves that they could safely inject
18 water into this formation up to the 450 number and how
19 that compares with or contrasts from what you have
20 determined is suitable for this flood.

21 A. At the time, of course, when they put their
22 project in, they didn't have the history that we have
23 in this area.

24 So they started by two methods. One, they
25 did a study of a fracture height log, which is a fairly

1 new technique. But by looking at the lithology and the
2 pressure and injection history, you can determine what
3 a fracture height theoretically should propagate to in
4 a formation.

5 They also did a three-dimensional study. And
6 all that is in the record. It was quite voluminous and
7 quite detailed.

8 But their studies confirmed that injecting at
9 450 pounds above parting pressure that they had
10 observed in their project would not propagate a
11 fracture outside the Grayburg-San Andres zone.

12 Q. That was based in large part upon their
13 theoretical calculations of the extent of the
14 propagations of those fractures?

15 A. Correct.

16 Q. How does that contrast to what you've done?

17 A. The difference here is that we have actually
18 got performance, we've got injection into the area with
19 no pressure limitations that we could observe what
20 performance and what problems, if any, which we found
21 none, would have existed.

22 We do have the prism logs where we have
23 frac'd the wells with a radioactive material, have been
24 able to observe where that fracture material has gone.

25 So we have a real performance analysis of

1 what has happened in this area to see what the
2 injection might be.

3 I might mention that I visited with Mr. Tommy
4 Thompson, who I guess is still here. He was. And I
5 asked if he had had any problems in their project by
6 going to the higher injection pressures.

7 Q. And Mr. Thompson, for the record, is a
8 reservoir engineer with Anadarko?

9 A. That is correct.

10 Q. All right.

11 A. And I wanted to know if they had had any
12 problems, anything that we should be looking out for.
13 And he said they had had no problems, other than if
14 they found that every time they increased their
15 injection pressure, they also were able to increase
16 their productivity.

17 So I think that's a very strong statement
18 that says you've got to get the water in the ground to
19 get the oil out. So I think that supports totally what
20 we're asking for here, and their experience along that
21 line is very supportive.

22 Q. And your studies for your project confirm the
23 analysis that Mr. Thompson and Anadarko did for their
24 project?

25 A. Yes, sir.

1 Q. We're dealing with very similar types of
2 floods, are we not?

3 A. Right. The Anadarko property is the same
4 series of sands and formations that we have here.
5 They're a little shallower than we are. The Devon
6 project, which we talked about on Exhibit Number 1
7 earlier, is from the same series of rocks, produces
8 from the same type mechanism. And I can see no
9 difference in the projects from a reservoir standpoint.

10 Q. In looking at the Devon project, how does
11 that compare with or contrast from your study of the
12 Socorro project?

13 A. None whatsoever. They received, I believe, a
14 surface pressure limitation of 1600 pounds, but their
15 study was again the fracture height log, and their
16 conclusions basically were the same that Anadarko and
17 we have arrived at, that there was no propagation of a
18 fracture outside of our pay zones.

19 Q. Describe for us what, if any, operational
20 limitations there are for the facility installed by
21 Socorro and used in the Keel-West project in terms of a
22 pressure limitation.

23 A. Right now, the equipment and lines that are
24 in place give us an upper pressure limitation of about
25 2500 pounds.

1 The distribution system is a fiberglass
2 system going into a stainless steel wellhead
3 arrangement, and that essentially is an upper pressure
4 limit.

5 If we find that we have to go above that in
6 the future for some reason, well then there'll have to
7 be some rather extensive changes made.

8 Q. As a reservoir engineer, can you think of any
9 alternative test, procedure, data that you might
10 generate in a different way, that would give you a more
11 accurate means of determining the length, extent and
12 directions of the fractures propagated, other than
13 analysis of the prism logs?

14 A. That gives me a great deal of confidence,
15 because it's something that's actually happened and we
16 can measure it. There are other ways to observe what
17 is happening.

18 We do have some injection profiles on the
19 injection wells, and they do show where the water
20 leaves the wellbore. And I looked at those and felt
21 like if this information was so much stronger, because
22 it may leave the wellbore at one part of the reservoir
23 and it may move up behind the pipe at another part, and
24 we have found that that does not occur with the prism
25 logs.

1 But we will continue to monitor the injection
2 profiles to be sure that we do have water going in the
3 proper zones and that they're distributed properly.

4 Q. In summary, then, Mr. Williamson, what is
5 your conclusions with regards to this Application and
6 what you're requesting the Examiner to approve?

7 A. In summary, we're requesting an injection
8 pressure of 450 pounds above the formation parting
9 pressure that is taken from the latest step-rate tests.

10 And I emphasize again that as we run these
11 step-rate tests in the future that that parting
12 pressure will likely go up. So I would like to see it
13 tied to a 450 above whatever the latest step-rate
14 pressure is.

15 In the absence of a step-rate pressure, then
16 we will take an arithmetic average of all the step-rate
17 tests and apply that to the other wells.

18 Q. With approval of the increase in pressure
19 limitation, will that afford the operator and the
20 interest owners the opportunity to recover additional
21 oil that will not otherwise be recovered?

22 A. That is correct. My studies show that that
23 will be at least 1.48 million barrels.

24 Q. In your opinion, will approval of this
25 Application be in the best interests of conservation,

1 the prevention of waste, and the protection of
2 correlative rights?

3 A. Yes, sir.

4 Q. Do you see any opportunity for violating
5 correlative rights of the offsetting operators by the
6 approval of this Application?

7 A. No, sir, I do not. And I might mention that
8 there have been no complaints from any offset operators
9 that I'm aware of.

10 Q. Do you see any potential for contamination of
11 fresh-water sources or premature encroachment of water
12 into oil-producing sands and other formations?

13 A. No, sir, I do not.

14 MR. KELLAHIN: That concludes my examination
15 of Mr. Williamson. We will move the introduction of
16 his Exhibits 1 through 9.

17 EXAMINER CATANACH: Exhibits 1 through 9 will
18 be admitted as evidence.

19 EXAMINATION

20 BY EXAMINER CATANACH:

21 Q. Mr. Kellahin, just for clarification here,
22 the advertisement for this case says 15 wells, seeks
23 authorization to increase the pressure limitation for
24 15 wells. Is that correct, to the best of your
25 knowledge?

1 A. That's the red and yellow. The blue are
2 already approved, or they're not -- They have no
3 pressure limitation on them.

4 Q. I show 16 wells that are on the map, 16
5 wells. Now, the wells in red have not been approved
6 for injection; is that correct?

7 A. I believe they have been. 24 has -- That's
8 the difference. 24 has not been approved.

9 MR. KELLAHIN: That's the one up --

10 THE WITNESS: That's the one.

11 MR. KELLAHIN: And we incorporated that in
12 the Application for Hearing by characterizing it as a
13 C-108 Application, but in fact what we did is file that
14 as an administrative request.

15 EXAMINER CATANACH: Now, is it my under-
16 standing that you want that -- the Well Number 24 to be
17 approved administratively?

18 MR. KELLAHIN: Yes, sir, but the concept of
19 the pressure limitation, if it's approved by you for
20 these other wells, would apply to the Number 24 Well as
21 well. We see no difference.

22 EXAMINER CATANACH: Is there a reason for
23 that, Mr. Kellahin?

24 MR. KELLAHIN: I'm not sure we satisfied all
25 the notice requirements in getting the C-108

1 incorporated in the hearing.

2 EXAMINER CATANACH: I see.

3 MR. KELLAHIN: And we may be short a few
4 days.

5 EXAMINER CATANACH: Okay.

6 MR. KELLAHIN: And so they were sent out
7 directly to the interest owners.

8 Q. (By Examiner Catanach) Mr. Williamson, the
9 interval that's being flooded in this area is basically
10 the Grayburg and the San Andres?

11 A. Yes, sir.

12 Q. Those are the -- The seven zones that you
13 refer to are within those two formations?

14 A. Yes, sir, they're just subzones that have
15 been identified and named. And they are so shown on
16 the cross-section. They're just handwritten in there,
17 because those are basically work copies, but those are
18 the subsets within the Grayburg and San Andres.

19 Q. Okay. Now, that's what was originally
20 flooded, that's what Arco and Sinclair originally
21 flooded, was just the Grayburg and San Andres?

22 A. That's correct. But their original approval
23 was for not only this but the Queen and the Seven
24 Rivers as well, but we're not dealing with that at this
25 point in time.

1 Q. Is there in fact any production out of the
2 Queen or Seven Rivers?

3 A. There have been one or two wells in this area
4 that have been produced. In fact, south of here there
5 has been a flood in the Seven Rivers that has been
6 flooded and is actually depleted, and I'm certain that
7 at some point in time the Seven Rivers will be
8 exploited in this area, but not at this point in time.

9 Q. Now, the old injectors that you were
10 referring to that apparently Arco was utilizing, how
11 long did they inject into the flood? Do you know? Was
12 it for a considerable amount of time?

13 A. They started in 1962, and I think 1986
14 probably was the last injection. So they injected
15 quite a bit of time.

16 But in our studies we found that they did not
17 have completions in all the seven zones, and all the
18 seven zones are productive, and we frankly don't know
19 why they didn't do that, but they didn't. They were
20 just flooding certain zones. And just like they chose
21 to flood the Seven Rivers down to the south without
22 flooding the other zones.

23 Q. Now, do you know if Arco initially started
24 injecting into their wells at over 2000 or over 2100
25 pounds?

1 A. Well, referring back to the exhibit we have
2 here, Exhibit 2-A, I didn't get the entire history on
3 here, but I went back to as early as 1967, and you can
4 look there. They were injecting at 2400 pounds, 2269,
5 2300, 2280, 2400. So they were above 2000 pounds, at
6 least in 1967. I do not have records prior to 1967.

7 Q. Okay. Now, you testified that you had gone
8 through and you haven't found any evidence of any
9 problems in this area, water out of zone, for instance?

10 A. Correct.

11 Q. You've looked at that?

12 A. Yes, sir. We had to make that study back
13 when Socorro was looking at buying this property from
14 Hondo.

15 Hondo had taken the property from Arco, had
16 not done much with it, but they were beginning, they
17 were drilling some infill -- not infill, but some of
18 the locations that had not been drilled, they began to
19 drill those. And they were going to convert a few
20 wells to injection. They were just beginning their
21 study at the time they made the election to sell to
22 Socorro.

23 So even though we had been doing Hondo's
24 reserve studies, they had never asked us to do an in-
25 depth study other than just a decline curve analysis on

1 what it was producing.

2 So we had to go in and look at each and every
3 well, which well has been produced and what zone, what
4 reserves have been taken out, what are remaining. So
5 we had to make a very thorough study in order to tell
6 Socorro what the value was for this particular lease.

7 Q. Now, did you say there were several wells
8 drilled in 1988, 1989?

9 A. Yes, there were, and I don't have those
10 dates, but there has been some drilling done by Hondo.

11 Q. Those would be infill wells in this area?

12 A. Not infill; they'd just be filling in the
13 pattern. In fact, some of the 40-acre patterns had
14 never been drilled.

15 Q. Do you have any knowledge of any waterflows
16 encountered while drilling in this area?

17 A. I have no notice of anything, no, sir.

18 Q. So you just don't know if there was any, or
19 you don't --

20 A. Well, in our studies we went through all the
21 well files, of course, getting the completion
22 information, and there was nothing in those well files
23 that indicated that there had been any kind of a
24 problem while drilling or producing.

25 Q. Okay. Now, the pressure, the average

1 pressure you said that the -- There were nine step-rate
2 tests run on -- Yes, nine step-rate tests run?

3 A. Yes, sir.

4 Q. And you arrived at an average formation
5 fracture pressure for those nine wells?

6 A. Yes, sir.

7 Q. And that was what?

8 A. I've got the requested limit. It would be
9 2203 less 450, so that would be about 1750 or so, would
10 be the average parting pressure.

11 Q. Now, am I correct in understanding that you
12 just want to utilize this 1750 as a good representative
13 fracture pressure?

14 A. Correct. We'd like to use the actual parting
15 pressure on the wells that we measured. But those that
16 we did not measure, we'd like to just use an average
17 until we obtain a step-rate test on those wells, if we
18 do.

19 And then as other step-rate tests are run on
20 these wells, then if that step-rate test pressure goes
21 up, we would like the surface pressure limit to go up
22 commensurate with that, because that indicates we're
23 pressuring the reservoir up, and that parting pressure
24 will tend to increase, and we need to be able to stay
25 above that parting pressure, we think, to get water in

1 the ground.

2 Now, the data that we have seen from our
3 Exhibit 2-A on the old injection wells, the maximum
4 pressure, surface pressure there, is about 2500 pounds.
5 So if we can do that, we're going to be at our system
6 limitation pressure anyway.

7 But we just didn't want to get tied into some
8 situation where with the step rates going up we
9 couldn't increase our surface pressure a few hundred
10 pounds.

11 Q. Now, does Socorro plan to run additional
12 step-rate tests at a later time?

13 A. Probably so. That is not defined right now,
14 but that would be our recommendation, and I'm sure that
15 will be their desire to understand what's happening in
16 the reservoir, to monitor the injection as they
17 progress.

18 Q. So subsequent increases granted by the
19 Division will be based on tests to be run?

20 A. Yes, sir. Yes, sir, they'll be based on
21 actual tests. Yes, sir.

22 Q. I have not seen a copy of this -- or this
23 actual prism log -- before, and I'm a little confused
24 in understanding how it's -- how you read this log.

25 A. Okay, basically what the log type, in reading

1 it, that comes out from the side of the casing,
2 basically that is a scale, and I'm not sure what the
3 scales are.

4 It says cumulative of three isotopes, so
5 that's basically a reading of the radioactive intensity
6 that shows where that tagged material wound up in the
7 reservoir outside the casing.

8 So by running essentially a -- I imagine it's
9 the same thing as a gamma-ray log, they're picking up
10 where that radioactive isotope has lodged in the
11 reservoir after it left the perforation in the casing.
12 So these responses out to the right and to the left
13 show the location of that radioactive material.

14 So if you had a fracture propagation, for
15 instance, if you had this reading that shot way up here
16 where there were no perforations, like on this -- This
17 is Well Number 32, West "B" Federal Number 32, the top
18 perforation ends at about 3540 or so, and the
19 radioactive material shows to be some ten feet above
20 that.

21 Now, if you actually created a fracture that
22 went way up the formation, you would see this
23 radioactive material, 100, 200, 300, 400 feet above
24 that top perforation.

25 Q. Uh-huh.

1 A. So since you don't see it, then you have good
2 assurance that that frac did not propagate above what
3 is shown in this log.

4 Q. Now, these logs were run at what point in
5 time on these wells?

6 A. They were run right after being fractured.

7 Q. Initially, when they were initially drilled?

8 A. Right.

9 Q. And the reservoir pressure would have been
10 initially the same as those you're encountering in the
11 injection wells now, or would it have been higher in
12 these new wells?

13 A. Injection -- The reservoir pressure,
14 probably, in these wells, would have been a little less
15 than around the other injection wells, because these
16 were basically fairly new wells. But we -- I don't
17 have a pressure measurement on these wells, but I would
18 expect them to be less than the pressure around the
19 current injection.

20 And again, remember that not all of these
21 zones were open, so we have a little confusion when you
22 take a pressure measurement on -- when you open new
23 intervals. You've got new intervals and old intervals
24 in the same wellbore. So some of the data was a little
25 bit confused as to where that pressure was coming from,

1 or where it might come from.

2 Q. Well, is it your opinion that according to
3 the prism logs, that you are only fracturing, you said,
4 a maximum of 50 feet above the perforations?

5 A. Well, that one well, looking again at Exhibit
6 Number 8, we just went through and we looked at each
7 and every zone that had the radioactive material in it,
8 and we counted the number of feet that that radioactive
9 response came above and below the top and bottom perms.

10 Q. Now, at a constant injection rate above
11 fracture pressure, could these -- Is it possible these
12 fractures could propagate more or further up or further
13 down?

14 A. Well, no, I would think that the greatest
15 propagation would occur during the time of fracturing,
16 because the injection rates and injection pressures are
17 much higher than we will be experiencing by injecting
18 water.

19 Again, referring back to Exhibit 7, where you
20 look at the treating rates during the fracture process,
21 we get daily rates of 60,000, 70,000 barrels a day, you
22 know. I mean, they're not injecting but for a short
23 period of time. But they are injecting at a very high
24 rate and at a very high pressure.

25 The Keel "B" 40 had a surface treating

1 pressure of 5000 pounds. Well, we will be injecting at
2 2200, 2300, 2400 pounds, so there's no way we could
3 propagate a fracture at those pressures and those rates
4 that would be greater than what had been propagated by
5 the high rates and the high pressures.

6 Q. You said there is an anhydrite zone above the
7 Grayburg?

8 A. Yes, sir. Of course, I don't think that's
9 even a factor here, because the one that had the 50
10 feet above, it was still within the Grayburg sand
11 section.

12 But if we would actually get something above
13 the Grayburg, there are some dense sections there. And
14 again, we have permission to inject up as high as the
15 Seven Rivers, which is another thousand feet above
16 that.

17 So a fracture would have to propagate over a
18 thousand feet above our top perforation to even begin
19 to get out of our approved zone.

20 Q. Well, do you know how thick that anhydrite
21 section is, Mr. Williamson?

22 A. No, sir, I have not made a study of that.
23 Just -- Since these data were so confirming, I did not
24 look for any additional barriers that we would need.

25 Q. Would the possible fracture pressure in the

1 anhydrite be considerably less than it might be in the
2 Grayburg?

3 A. It would be higher, because it's a more
4 competent, denser formation. And of course, we have no
5 perforations in there anyway. I mean, it's not
6 productive, and it's well above our productive
7 intervals.

8 Q. Now, in terms of injecting above fracture
9 pressure, are you in fact creating channels
10 horizontally within the Grayburg?

11 A. Oh, I don't think so. You might do it for a
12 short distance. I envision that any kind of a, quote,
13 channel or a fractured plane that you might create, I
14 don't see it going straight from one well to the other
15 well. I think you're going to have some
16 interfingering.

17 We know in just looking at our cross-sections
18 here that the zone that we can correlate, we know it's
19 the right zone, but you can see the thicknesses vary,
20 the number of members vary.

21 So I see all kinds of cross-flow occurring
22 through these pay zones as you move from injection
23 wells to producing wells.

24 And I think that's why we've seen no, quote,
25 direct channeling to a producing well, because that

1 water gets diffused in the reservoir, which is what we
2 want. We don't want the channeling, obviously. We
3 want it to go and be dispersed, as good an areal and
4 vertical sweep as we can get.

5 Q. Is there any type of log, to your knowledge,
6 that you could run, say, after you've been injecting at
7 this pressure for a while, to determine or to satisfy
8 yourself that the water is being confined to these two
9 formations?

10 A. Well, you can run a temperature log, which
11 sometimes is difficult to interpret, but you can in
12 some cases if your injection water is at a --
13 obviously, a different temperature from the producing
14 zone, then you can see where that water has been going,
15 you know, for some period of time.

16 But the only thing that happens there is,
17 after some period of time you tend to smooth out the
18 temperature variances, and sometimes they're very hard
19 to interpret. But they could be used, and they have
20 been used to determine where the injector water is
21 going.

22 Q. But that's in the vicinity of the wellbore?

23 A. Yes, sir.

24 Q. That doesn't tell you anything about what's
25 going on away from the wellbore?

1 A. No, sir, you would observe that by looking at
2 the performance of the offset wells to see if you had
3 any channeling. Now, what kind of performance you
4 got -- You'd be running injection profiles to see that
5 you got good water distribution over the zones that
6 you're injecting into.

7 Q. Is it possible to look at your producing
8 wells and look at how much they produce and in fact
9 determine if that water is being confined to the zones?

10 A. Yes, sir, we're doing -- We do a monthly
11 study of this project report. We do a fluid-in/fluid-
12 out balance, and so we will be able to determine if
13 there is any loss of fluid outside of our project area.

14 Q. Now, if you do determine that there is a
15 loss, what steps will be taken, or what would you
16 propose to do at that point?

17 A. Well, I think you would investigate and
18 determine if it's where it's occurring, like say one
19 particular five-spot, maybe you're putting in one
20 barrel, you're only getting out -- you know, something
21 less than a barrel, after you achieve fillup. You'd
22 look at your profiles, you'd run temperature logs and
23 try to determine where that water was going, if indeed
24 it was leaving the producing formation.

25 So there would be adequate ways, I think,

1 that you could evaluate that.

2 Q. Well, if you -- Now, this is all, you know,
3 speculation, but if you did determine that you were,
4 say, going into the salt or into the Seven Rivers,
5 would you recommend cutting back the pressure at that
6 point?

7 A. Possibly so, but my thought would be, since
8 we have such good information on the reservoir that if
9 we do have any kind of, quote, channeling or water
10 leaving, it might be function of a failed cement job or
11 a hole in the casing or something like that. And those
12 kinds of things can be mechanically determined,
13 discovered and repaired.

14 So I would not expect a failure of the
15 formation to allow any fluid to escape. I think it
16 would be something mechanical -- of course, that's
17 monitored constantly anyway -- and could be repaired.
18 I think it would be a near-wellbore problem if one
19 occurred.

20 Q. Now, none of the wellbores in this particular
21 area are open in the Seven Rivers or Queen?

22 A. No, sir.

23 Q. So you wouldn't be able to use them as a
24 monitor-type situation?

25 A. No, but the plans would be -- and it's up to

1 the operator, but I'm sure within the next year or two
2 or so there will be some more development of those
3 upper zones, so that could be observed at that time.

4 But the evidence that we have to date, I
5 don't see any way that these injected volumes could
6 leave the Grayburg and San Andres zones.

7 Q. Mr. Williamson, what is the significance of
8 450 pounds of fracturing pressure?

9 A. When I looked at the -- trying to go off of
10 history and what had occurred in the area, looking at
11 the -- back to the blue, old injection wells, when I
12 took an average of what their injection, surface
13 injection pressures were, it just so happened that if I
14 got 450 pounds above my average from the step-rate
15 test, I was approximating what had already occurred.

16 And I didn't particularly want to plow new
17 ground at this point in time, so we said, let's just
18 try to stay as close as we can to what had already
19 occurred in the area and not created a problem, and
20 again staying under our surface injection pressure
21 limitations.

22 Q. Okay. Now, just one final question. Do you
23 believe the wellbores in this area are adequate to --
24 or the integrity of the wellbores in this area are
25 adequate to contain that -- that high pressure?

1 A. Yes, sir, everything that we have seen to
2 date, the old injection wells being our main go-by,
3 we've had no -- we see no problems.

4 EXAMINER CATANACH: I believe that's all I
5 have. Thanks.

6 MR. KELLAHIN: We have nothing else, Mr.
7 Examiner.

8 EXAMINER CATANACH: Okay. There being
9 nothing further in this case, Case 9929 will be taken
10 under advisement.

11 (Off the record)

12 MR. KELLAHIN: Mr. Examiner, I've neglected
13 to give you the Notice of Hearings for this case. If
14 we might re-open that last case for a moment, Mr.
15 Examiner, I'd like to move the introduction of Exhibit
16 10, which is a certificate showing the return receipt
17 cards by which we sent notice to the offset operators
18 of this Application for which we received no objection.

19 EXAMINER CATANACH: Exhibit 10 will be
20 admitted as evidence in this case.

21 Anything further, Mr. Kellahin?

22 MR. KELLAHIN: No, sir.

23 EXAMINER CATANACH: Okay, this case will now
24 be taken under advisement.

25 (Proceedings concluded at 11:57 a.m.)

1 CERTIFICATE OF REPORTER

2


3 STATE OF NEW MEXICO)
) SS.
 4 COUNTY OF SANTA FE)

5

6 I, Steven T. Brenner, Certified Shorthand
 7 Reporter and Notary Public, HEREBY CERTIFY that the
 8 foregoing transcript of proceedings before the Oil
 9 Conservation Division was reported by me; that I
 10 transcribed my notes; and that the foregoing is a true
 11 and accurate record of the proceedings.

12 I FURTHER CERTIFY that I am not a relative or
 13 employee of any of the parties or attorneys involved in
 14 this matter and that I have no personal interest in the
 15 final disposition of this matter.

16 WITNESS MY HAND AND SEAL May 19, 1990.

17 

18 STEVEN T. BRENNER
 19 CSR No. 106

20 My commission expires: October 14, 1990

21

22 I do hereby certify that the foregoing is
 23 a complete record of the proceedings in
 the Examiner hearing of Case No. 9908,
 heard by me on May 1990.

24 David R. Catamb, Examiner
 25 Oil Conservation Division