

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

STATE OF NEW MEXICO  
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT  
OIL CONSERVATION DIVISION  
CASE 9972

EXAMINER HEARING

IN THE MATTER OF:

Application of Gary L. Bennett for a Pressure  
Maintenance Project, Lea County, New Mexico

TRANSCRIPT OF PROCEEDINGS

BEFORE: DAVID R. CATANACH, EXAMINER

STATE LAND OFFICE BUILDING

SANTA FE, NEW MEXICO

June 27, 1990

**ORIGINAL**

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

A P P E A R A N C E S

FOR THE DIVISION:

RAND L. CARROLL  
Attorney at Law  
Natural Gas Programs  
P.O. Box 2088  
Room 206, State Land Office Building  
Santa Fe, New Mexico 87504

FOR THE APPLICANT:

KELLAHIN, KELLAHIN & AUBREY  
Attorneys at Law  
By: W. THOMAS KELLAHIN  
117 N. Guadalupe  
P.O. Box 2265  
Santa Fe, New Mexico 87504-2265

\* \* \*

I N D E X

	Page Number
Appearances	2
Exhibits	3
GARY L. BENNETT	
Examination by Mr. Kellahin	4
Examination by Mr. Catanach	25
Certificate of Reporter	37

\* \* \*

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

E X H I B I T S

APPLICANT'S EXHIBITS:

Exhibit 1	6
Exhibit 2	11
Exhibit 3	14
Exhibit 4	15
Exhibit 5	17
Exhibit 6	24

\* \* \*

1                   WHEREUPON, the following proceedings were had  
2                   at 9:36 a.m.:

3                   EXAMINER CATANACH: At this time we'll call  
4                   Case 9972.

5                   MR. CARROLL: Application of Gary L. Bennett  
6                   for a pressure-maintenance project, Lea County, New  
7                   Mexico.

8                   EXAMINER CATANACH: Are there appearances in  
9                   this case?

10                  MR. KELLAHIN: Mr. Examiner, I'm Tom Kellahin  
11                  of the Santa Fe law firm of Kellahin, Kellahin and  
12                  Aubrey, appearing on behalf of the Applicant, and I  
13                  have one witness to be sworn.

14                  EXAMINER CATANACH: Any other appearances?  
15                  Will the witness please stand and be sworn  
16                  in?

17                  (Thereupon, the witness was sworn.)

18                                 GARY L. BENNETT,  
19                  the witness herein, after having been first duly sworn  
20                  upon his oath, was examined and testified as follows:

21   EXAMINATION

22                  BY MR. KELLAHIN:

23                         Q. Mr. Bennett, would you please state your name  
24                         and occupation?

25                         A. Gary L. Bennett, oil and gas operator.

1 Q. Mr. Bennett, on prior occasions have you  
2 testified before the Division?

3 A. One time prior in 1986, on a force-pooling.

4 Q. In what capacity, sir? Were you an expert or  
5 a witness?

6 A. Well, actually I was just a witness, yes.

7 Q. In what capacity?

8 A. As a geologist.

9 Q. Do you have a degree in geology?

10 A. I have a degree in geology.

11 Q. In what year and from what institution did  
12 you obtain that degree?

13 A. 1970, Texas Tech University.

14 Q. Describe for us your current involvement in  
15 the area of this Application.

16 A. Excuse me?

17 Q. This case involves your personal request as  
18 an operator for a pressure-maintenance project?

19 A. Yes, sir.

20 Q. What are you attempting to do?

21 A. Actually, just to recover additional reserves  
22 due to the decline in production under primary  
23 production.

24 Q. What formation is the target of the pressure-  
25 maintenance project?

1           A.    Well, out there it's got several different  
2 names, but it's probably best known as the Penrose.  
3 It's the lower Queen section, labeled the Penrose.

4           Q.    Both as a geologist and as an operator, have  
5 you made an investigation of the data and information  
6 available by which to come to conclusions about this  
7 project?

8           A.    Yes, and also I've consulted an engineer.  I  
9 am not an engineer and do not have one on the staff,  
10 but I have consulted an engineer.

11          Q.    Did you cause to be prepared the Commission  
12 Form C-108 and the attachments for approval of this as  
13 a pressure-maintenance project?

14          A.    Yes.

15               MR. KELLAHIN:  We tender Mr. Bennett as an  
16 expert petroleum geologist and as an operator.

17               EXAMINER CATANACH:  Mr. Bennett is so  
18 qualified.

19          Q.    (By Mr. Kellahin)  Mr. Bennett, let's take  
20 what is marked as Exhibit Number 1, and before we  
21 discuss the specific details of the geology, let's  
22 orient the Examiner as to what you're proposing to  
23 accomplish with this Application.

24               I'm also going to give the Examiner a copy of  
25 the surface plat that has your particular acreages

1 outlined so it might help orient him. Let's start in  
2 Section 21. There's a red dot in the southeast of the  
3 southeast of that section. What is that, sir?

4 A. That is the Cavalcade Federal 21 Number 1  
5 Well, which is the proposed well to do the pressure  
6 maintenance on.

7 Q. This would be your injector well for your  
8 pressure-maintenance project?

9 A. Yes, sir.

10 Q. Within Section 21 identify for us that  
11 acreage that will be part of this lease pressure-  
12 maintenance project.

13 A. All right. The interval that we're injecting  
14 into has been encountered on all four of the wells  
15 there in the southeast quarter section.

16 Q. Your acreage within this lease includes the  
17 southeast quarter as well as the east half of the  
18 southwest?

19 A. Yes, sir.

20 Q. Within that area, excluding the injector,  
21 what other wells will participate in the pressure-  
22 maintenance project in this formation?

23 A. Actually, only the well directly to the west  
24 there of the Number 4 Well. It will actually be the  
25 Cavalcade Federal Number 1 Well.

1 Q. Your initial plan, then, is to use one  
2 injector and one producer for the project --

3 A. Yes, sir.

4 Q. -- determine to what extent you're successful  
5 and then decide whether or not to expand the project to  
6 include other acreage that you control in the immediate  
7 area?

8 A. Yes, sir.

9 Q. The next area that is likely area for  
10 expansion of the project is your acreage in Section 22?

11 A. Yes, sir.

12 Q. And you control the acreage in the southwest  
13 quarter of that section?

14 A. Yes, sir.

15 Q. Let's turn specifically to what conclusions  
16 you've reached about the geology as mapped on this  
17 Penrose isopach.

18 A. All right. Of course, again, referring to  
19 Exhibit 1, which is the top of the Penrose sandstone,  
20 this contour is done on the top of 10 percent or better  
21 porosity.

22 There are several lenses in there that have  
23 produced -- Almost every well on this map has a Queen  
24 interval encountered. Most of them that were not  
25 productive were not productive due to less than 10

1 percent porosity.

2           The structure map really is a little  
3 misleading from the standpoint that several of those  
4 wells on there do produce in what looks like -- you  
5 know, are several hundred feet low to other producers  
6 in there, but they're producing from other intervals,  
7 and that's the reason we have this map that includes  
8 those wells. But all wells on this do not produce out  
9 of the same Penrose zone.

10           Q.    What's the reason to select the Number 4 Well  
11 as the injector and the Number 1 as the producer?

12           A.    Okay, the Number -- I personally did not  
13 drill either one of these wells. They were drilled by  
14 a predecessor entitled Cavalcade Oil Corporation.

15                    Both wells have almost identical  
16 characteristics. They're almost structurally flat.  
17 One well was completed as an oil producer, and a pretty  
18 prolific one, over a relatively short period of time.

19           Q.    Which one was that?

20           A.    That's the Number 1 Well, the Cavalcade  
21 Number 1, directly west of the red well there.

22                    The Number 4 Well was drilled about a year  
23 and a half -- I believe a year to a year and a half  
24 after the Number 1 well, produced almost exclusively  
25 gas, no water, and I think on the isopach map it shows

1 1100 barrels cumulative production.

2 And we shut this well in about two years ago  
3 since we felt like we were doing nothing but venting  
4 the drive, that being a solution-gas-drive field, we  
5 were doing nothing but venting the drive off of the  
6 other well.

7 Q. So why, then, would you use the Number 4 as  
8 the injector?

9 A. Well, it being structurally, you know, in a  
10 position that -- As a matter of fact, acreagewise, it's  
11 the only well we could use on that quarter section, you  
12 know, that structurally -- that had been completed and  
13 was structurally favorable for such a completion.

14 Q. Your choice, then, is to use the Number 1 as  
15 the producer?

16 A. Yes.

17 Q. Have you had estimated for you the magnitude  
18 of additional ultimate recovery that might be available  
19 to you from a pressure-maintenance project such as  
20 this?

21 A. Well, a conservative estimate that we've  
22 gotten, we've had done by an engineering firm in  
23 Midland, gave it about 20,000 to 25,000 barrels, upper  
24 parameters of about 40,000 barrels. I think probably  
25 the 20,000 to 25,000 is more realistic.

1 Q. Are there similar-type projects utilizing the  
2 injection of water into the formation and then  
3 improving oil recovery?

4 A. Yes, in Section 20 on this same map you'll  
5 see a number of wells there. All of those wells, with  
6 the exclusion of the one labeled "A.R.Co. Young-Fed.,"  
7 were Penrose and Queen producers.

8 Primarily, the Penrose producers were in the  
9 southeast quarter of Section 20. And the water that we  
10 propose to use for this pressure-maintenance is the  
11 water that's been used here for pressure-maintenance  
12 for about 20 years.

13 Q. Who operates the pressure-maintenance project  
14 in Section 20?

15 A. Currently, Yates Petroleum owns the property,  
16 and actually I don't think that there are very many of  
17 those wells still active.

18 Q. Let's turn now to Exhibit Number 2. Would  
19 you identify and describe that for us?

20 A. All right, this is an isopach of the Penrose  
21 Formation. Again, it includes several wells that -- on  
22 the map -- that have produced out of different other --  
23 different intervals, labeled the Queen, but not the one  
24 that we identify as the Penrose Formation.

25 It's contoured on 10-foot intervals, and it

1 looks as though, when you refer to the cumulative map  
2 that we're going to be talking about in a few minutes,  
3 you'll see that isolated little lenses in there are  
4 thicker -- I mean little areas -- are thicker, and the  
5 cums pretty well correspond with the higher cums being  
6 in the thicker phases.

7 Q. Who are the offset operators to your project?

8 A. Mewbourne Oil Corporation, Yates -- Let me  
9 get that list out.

10 Q. Here you go.

11 A. Chevron, Mewbourne Oil Corporation, and on  
12 this old Application, Breck Operating Company was. We  
13 bought the property in Section 22, and so Breck no  
14 longer has any interests, so they -- We actually own  
15 the offset.

16 Q. When we look in Sections 28 and 27, the  
17 offsets to your project --

18 A. Uh-huh.

19 Q. -- are those properties operated by  
20 Mewbourne?

21 A. Yes, sir.

22 Q. Now, where is the Chevron interest?

23 A. Chevron owns interest in Section 21 in the  
24 north -- I mean -- Yeah, in the northwest quarter.

25 Q. Does your project, in your opinion, pose any

1 potential risk to the correlative rights of any of the  
2 offset operators or owners?

3 A. I don't believe it does at all.

4 Q. Why not?

5 A. Well, we're -- you know, we -- we're -- This  
6 well is a legal location away from our boundary. We  
7 own the offset. And of course all of it being federal  
8 royalty interest, I don't believe that we're going to  
9 be pushing anything off of the lease or taking it away  
10 from anyone else.

11 Q. Have you received any objection to any of  
12 those parties that you've notified?

13 A. No.

14 Q. Describe for us the rates, approximate rates  
15 that you propose to inject into the injector.

16 A. I think in this case we had asked for a  
17 maximum rate of approximately 400 barrels a day, which  
18 I don't -- You know, I think we're going to be in the  
19 200-barrel area.

20 And hopefully, according to the injectivity  
21 profile that we ran on it, we should be running at  
22 substantially less than the .2 gradient that is  
23 allowed.

24 Q. Okay. Let's turn now to --

25 A. At least initially.

1 Q. Yes, sir. Let's turn now to Exhibit Number  
2 3. Would you identify and describe that exhibit?

3 A. Okay, that's a cross-section, and it's also  
4 represented on all of the other maps that we have --  
5 all of the other exhibits that we've discussed so far.

6 It's a cross-section from A to A prime, being  
7 from -- A being west, A prime being almost directly  
8 east of A.

9 Q. When we look at the third log over from the  
10 left, that is the disposal well?

11 A. Yes.

12 Q. And the red line on the display shows what?

13 A. The red line on the display shows the  
14 interval that has been perforated in the well.

15 Q. Do you propose to maintain those same  
16 perforations for your injection, or will you change  
17 those perfs?

18 A. No, they'll be exactly as they are.

19 Q. And then when we look at the second well over  
20 from the right, that's your producing well in the  
21 project?

22 A. Yes. Yes, sir. And perforations remain the  
23 same on it.

24 Q. Okay. Anything else about the cross-section?

25 A. Really, it's pretty self-explanatory.

1 Q. All right, sir, let's go to Exhibit Number 4.  
2 What have you tabulated on Exhibit Number 4, Mr.  
3 Bennett?

4 A. Number 4 has the cumulative data on, I would  
5 say, the majority -- I do not think that it covers  
6 every well that's produced out of the Penrose.

7 Since several of these wells were completed  
8 in the Penrose and the Queen at the same time, the only  
9 thing that we can -- The only way we can estimate what  
10 came out of the Queen is by looking at the thickness  
11 and porosity of each interval.

12 Q. What is the current status of the Number 4  
13 Well, the injector well?

14 A. It's shut in with packer set, packer fluid,  
15 between tubing and casing, exactly the way it has set  
16 for the last two years after we ran the injectivity  
17 profile.

18 Q. Okay. When did it last produce,  
19 approximately?

20 A. I'm going to say January or February of 1987.

21 Q. And why did Cavalcade cease to produce the  
22 well?

23 A. I ceased to produce it.

24 Q. After you took over operations from them --

25 A. After I took it over, right.

1 Q. -- you ceased production of the well?

2 A. Yes.

3 Q. For what reason?

4 A. Because at the time, you know, gas prices  
5 being what they are, and the fact that we -- to me, it  
6 appeared we were just venting the drive off the gas-  
7 driven oil field, that that was a waste.

8 Q. The conversion of this well for injection  
9 purposes, then, in your opinion, would not jeopardize  
10 remaining reserves?

11 A. No, I don't think so at all.

12 Q. And then the status, then, of the producing  
13 well, the Number 1 Well, is that still a producer?

14 A. Yes, sir.

15 Q. And at approximately what rate does it  
16 currently produce?

17 A. Oh, about 15 barrels a day.

18 Q. And that's the oil production. Is there any  
19 gas production with that?

20 A. About 20 MCF, and water is negligible. That  
21 figure down there, of course, is the cumulative water  
22 figure, and I think it included a lot of treatment  
23 water.

24 Q. Let's turn now to the documentation of the  
25 C-108, Mr. Bennett. We've marked that as Exhibit

1 Number 5, and then within Exhibit 5 we've numbered each  
2 of the pages, starting with number 1 and ending with  
3 page 22.

4 A. Uh-huh.

5 Q. Do you have a copy of that?

6 A. Yes, sir.

7 Q. Let's go through and start with page 3. What  
8 does the circle represent, the center of which is at  
9 the injector well?

10 A. The circle represents a half-mile radius  
11 surrounding the well that we propose to inject the  
12 water in, the Cavalcade 21 Number 4.

13 Q. Page 4 is your summary of the proposed method  
14 of operating the injector well?

15 A. Yes, sir.

16 Q. Page 5 is the geologic summary?

17 A. Yes, sir.

18 Q. In looking at the geology yourself, Mr.  
19 Bennett, do you see any open faulting or other  
20 hydrologic connections between the Penrose and Queen  
21 that would cause injection water to migrate out of the  
22 pressure-maintenance formation into freshwater sands or  
23 other sands that might be hydrocarbon-bearing?

24 A. No, I don't -- I don't believe there's any  
25 chance of that with the well situated where it is. Or

1 let's put it this way: I don't believe there's a very  
2 large chance of it. There's always a possibility.

3 But according to the logs that we've looked  
4 at and the cementing reports, I don't think there is,  
5 with the exception of the one well over there in  
6 Section 22, southwest-southwest.

7 Q. Let's look at that well. Find us a locator  
8 map, and you can use any of them. Perhaps Number 4 --

9 A. Right.

10 Q. -- will serve the purpose. Show us the one  
11 questionable well that you have encountered --

12 A. What have you labeled Number 4 here?

13 Q. It's the production map.

14 A. All right.

15 Q. Does that show on the production map?

16 A. Yes.

17 Q. All right, in the southwest of the southwest  
18 of 22 there are two well symbols, one virtually on top  
19 of the other?

20 A. Yes, sir.

21 Q. Does that represent two different wells?

22 A. Yes, sir.

23 Q. The one where you have the dry-hole symbol --

24 A. Yes, sir.

25 Q. -- is that what we'll characterize as the

1 problem well?

2 A. Yes, sir, this --

3 Q. Describe for us in what way it's a problem.

4 A. This well, when we bought the property,  
5 according to both the office here and our office in  
6 Hobbs, nobody had any record of that well.

7 We had to go to -- Let's see, we went to the  
8 BLM office in Carlsbad after going to their -- no, in  
9 Roswell, after going to their Carlsbad and their Hobbs  
10 office, and we kept coming up -- We ordered the logs  
11 for the area, kept coming up with a log, but no  
12 completion, no record of any kind.

13 And so I consulted with Jerry Sexton after we  
14 had obtained the information from the Carls- -- the  
15 Roswell BLM office. And they had two sheets of  
16 information on them that -- One of them was a  
17 completion -- plugging form that gave the pipe that  
18 they had run. It was a cable-tooled hole. They had  
19 recovered the surface pipe out of it and then left an  
20 interval of pipe in there that was 7-inch, if I  
21 remember right.

22 Q. Did you describe to Mr. Sexton of the OCD  
23 District Office your plan of operation for the  
24 injection well, the Number 4 Well?

25 A. Yes, sir.

1 Q. And you told him your anticipated pressures  
2 and rates of injection?

3 A. Yes, sir.

4 Q. Did you share with him the information that  
5 you had obtained on this plugged and abandoned well in  
6 the southwest of 22?

7 A. Yes, sir.

8 Q. What opinions or recommendations did Mr.  
9 Sexton have for you with regards to what to do with the  
10 plugged and abandoned well?

11 A. Well, we discussed it, and he mentioned to  
12 me, you know, that if the information -- you know, if I  
13 had not -- I provided him, made him a file of  
14 everything that I obtained. And then we went over this  
15 thing, and I believe he was to get with you all.

16 He didn't see any objection as long as we  
17 maintained the Q-4 Well as a producing well and could  
18 monitor any pressure, you know, problem that might  
19 be -- that might occur.

20 There is no dry-hole marker out there for  
21 that well. As a matter of fact, the way it's situated,  
22 according to the data that we obtained off those logs  
23 and from the BLM, that well should be about 100 feet  
24 from the existing well there.

25 Q. There's no apparent surface indication of the

1 presence of that well?

2 A. No, sir. Now, there may have been a -- It  
3 says that they erected a dry-hole marker. And when  
4 they built the pad for that Q-4 Well, they may have  
5 removed it.

6 But according to the way they plugged it,  
7 there was 294 feet, I believe, of surface pipe removed,  
8 and so you couldn't find it with a metal detector to  
9 re-enter it.

10 Q. Mr. Sexton's recommended solution for you was  
11 to maintain the production on the Q-4 Well?

12 A. Yes, sir.

13 Q. And that would serve as a method by which to  
14 monitor the status of the pressure and the fluids  
15 that --

16 A. That's right.

17 Q. -- were being produced?

18 A. Now, the well was plugged, and I believe  
19 we've got the data, you know, that's been furnished  
20 with this.

21 Q. Do you propose to maintain the Q-4 as a  
22 producer?

23 A. Yes, sir.

24 Q. And what is its current producing rates now?

25 A. It's probably two to three barrels a day of

1 oil and zero water.

2 Q. Did Mr. Sexton see any reason to have you  
3 re-enter the plugged and abandoned well to verify the  
4 status of that well?

5 A. No, as a matter of fact, he and I both felt  
6 like chances of getting back in that hole were about --  
7 just nearly no chance at all, since there's no surface  
8 casing to locate. We just don't have any idea how we'd  
9 even go about it.

10 Q. Other than that one, did you find any well  
11 within the half-mile area of review that had inadequate  
12 or insufficient cement over the casing interval that  
13 might be exposed in the flood or the pressure-  
14 maintenance zone in either the Queen or the Penrose?

15 A. After talking to Jerry about this problem, we  
16 discussed all of these other wells in the area, and he  
17 did not see any problem, you know, with them.

18 The Linam Number 3 Well there does not have  
19 cement across the interval, and it is a Strawn -- It  
20 was a Strawn test, completed in the Wolf Camp. It has  
21 5-1/2 casing set to, I believe it's 10,7, and we have  
22 proposed Strawn recompletion in it right now.

23 Of course, that well being in this -- As a  
24 matter of fact, I don't believe it's even in that --  
25 Yes, it is. It is within the one-half mile radius.

1 Q. All right, what are the plans, then, for the  
2 Linam Number 3 Well?

3 A. It's going to be recompleted as a Strawn  
4 producer. But it does not have cement across that  
5 interval at this time.

6 Q. When it's re-entered for completion, you can  
7 check and verify and fix the integrity of the well and  
8 squeeze and recement?

9 A. Yes.

10 Q. Let's turn now to the possibility of  
11 freshwater sands.

12 A. Yes, sir.

13 Q. Have you made a study to determine whether or  
14 not there were any freshwater sands in the area?

15 A. Well, as far as contact from the, you know,  
16 state hydrologist or somebody -- something like that,  
17 we have not.

18 There was a water well in Section 22 used to  
19 drill those wells. The water interval is covered, you  
20 know, by the surface casing on all of the existing  
21 wells on 22 and 21, with the exception, again, of the  
22 one well here that we did not know about until recently  
23 in Section 22.

24 Q. What is your opinion of the likely deepest  
25 distance for any fresh water that might be utilized?

1           A.    I would say probably about where they --  
2           That's probably the reason for their casing being set  
3           at 400 feet.

4           Q.    All right.  Within this area, then, if we  
5           look at freshwater sands being shallower than 400 feet?

6           A.    They would all be covered by surface...

7           Q.    The source of water to be used for the  
8           project is fresh water?

9           A.    Yes, sir.

10          Q.    And what is your anticipated source of that  
11          water?

12          A.    Currently we've got a contract offer from  
13          both the City of Carlsbad who maintains a line through  
14          there that comes through Section 22 -- I mean 20 -- and  
15          also crosses down here in Section 33.

16                 We also have a contract offer from Yates  
17          Petroleum, who just recently purchased the Yoka Water  
18          System that's -- both of them being the same source of  
19          water, Ogallala Aquifer up on top of the cap there, and  
20          both of them having been used in all of these Queen-  
21          Grayburg-Penrose floods for years and years and years.

22                 MR. KELLAHIN:  Mr. Examiner, Exhibit Number 6  
23          is our certificate of mailing to the parties that may  
24          have a potential interest in this area.

25          Q.    (By Mr. Kellahin)  The owner of the surface,

1 as best you can determine it, Mr. Bennett, is the  
2 Bureau of Land Management for this acreage, is it not?

3 A. Yes, sir.

4 Q. And they would have control of the surface at  
5 the injection-well location?

6 A. (Nods)

7 Q. Yes?

8 A. Yes, sir.

9 MR. KELLAHIN: That concludes my presentation  
10 and my examination of Mr. Bennett.

11 We would move the introduction of Exhibits 1  
12 through 6.

13 EXAMINER CATANACH: Exhibits 1 through 6 will  
14 be admitted as evidence.

15 EXAMINATION

16 BY EXAMINER CATANACH:

17 Q. Mr. Bennett, this is all in the Querrecho  
18 Plains Queen Pool; is that right?

19 A. Yes, sir. I think it's labeled the Querrecho  
20 Plains Associated.

21 Q. Associated Queen, right.

22 Is this pool fairly well depleted?

23 A. Yes sir, I think it -- it basically -- It  
24 basically is. Little isolated pods like this in  
25 Section -- well, those two wells in Section 21. The

1 wells on both sides have been drilled several years  
2 before and were down to relatively low productive  
3 rates.

4 Yet that Federal 21-1 Well came in, when  
5 frac'd, at 200 barrels a day. So I don't want to tell  
6 you it's totally depleted and then the records show,  
7 you know, that that well obviously did real well after  
8 the others showed pretty good depletion.

9 Q. The fact that it's an associated pool tells  
10 me that there may be some gas production centered  
11 somewhere around this pool. Do you know where that  
12 might be, in relation to your --

13 A. The only gas well that has been completed in  
14 that whole field, to my knowledge, is the one in  
15 Section 23 over there that shows a gas well marker on  
16 it, yet it's cum'd -- Let's see, I believe on the cum  
17 map there it should show it. 35,000 barrels of oil and  
18 259 million cubic feet of gas.

19 So the well was originally completed as a gas  
20 well, but at some point in its productive history  
21 something happened.

22 And I would anticipate you're going to  
23 probably end up with something similar there on the  
24 Number 4. For some reason, when you correlate those  
25 logs in there, there's not a -- there's not a good

1 reason for that well to have been a gas producer. But  
2 I don't -- I have no idea why it is.

3 Q. Okay. Now --

4 A. That well was also completed -- That's  
5 another reason for that, I just now remembered.

6 If you'll open this cross-section up, you'll  
7 see that that well is perforated in an additional  
8 interval. That is the one farthest to the east, and  
9 you'll see there's an interval that was not perforated  
10 in these others, a 10-foot interval from -- actually  
11 11-foot, I believe -- from 4089 to 4100.

12 And I suspect that there is a logical reason  
13 for that to have been a gas well. Both of them were  
14 turned in to have been completed at the same time, both  
15 intervals, and that could be at the gas-depleted,  
16 again, to make some oil out of the lower zone. That's  
17 the only excuse I've got for it.

18 Q. Okay. Now, initially the project will only  
19 consist of one producing well and one injection well.  
20 Do you have any ideas of what you would like the  
21 project area to consist of at this time, when the Order  
22 is issued?

23 A. Well, at some point we're going to -- which I  
24 estimate to be approximately a year to a year and a  
25 half -- we're going to want to inject water into

1 various other wells here to the east in Section 22.

2 But we want to monitor that situation on the  
3 southwest-southwest quarter there of 22, you know. And  
4 if we don't -- You know, if we encounter some response,  
5 then we will probably apply for additional approval to  
6 inject water in several of those other wells and  
7 attempt to expand that thing.

8 MR. KELLAHIN: I believe our initial request,  
9 Mr. Examiner, was to include the southeast quarter of  
10 22 and the east half of the southwest quarter.

11 Q. (By Examiner Catanach) Now, that is all one  
12 lease? That is the Cavalcade lease?

13 A. Yes.

14 Q. All of that in 21 and 22?

15 A. No, no, everything in Section 21 where we  
16 have it is one lease. Everything in Section 22, there  
17 are six Queen wells over there, and they're -- involve  
18 two leases. But it is, like you said, all federal.

19 Q. Section 22, you have the Federal Q and  
20 Federal J Lease?

21 A. Yes, sir.

22 Q. Have you talked to the feds at all about this  
23 project, Mr. Bennett?

24 A. Yes, sir, I talked to Shannon Shaw over in  
25 the Carlsbad office.

1 Q. Did he express any concern at all about that?

2 A. Not to me. As a matter of fact, he just  
3 recently, of course, approved the Strawn recompletion  
4 and Morrow recompletion in the same area there for us.

5 But as far -- To my knowledge, they have no  
6 objection.

7 Q. Why do you consider this a pressure-  
8 maintenance type project as opposed to a waterflood?

9 A. Well, I don't think effectively, you know, to  
10 -- to effectively drive oil one direction or another  
11 with only one point, I just don't believe you have a  
12 great deal of control there. I -- You know, you could  
13 call it a waterflood.

14 I'd have to say it would probably be a -- it  
15 might be a -- That's another reason why we are just  
16 kind of feeling along here. We do not -- We don't have  
17 any idea whether it's actually going to perform at all  
18 without other additional support.

19 Q. I see. So this is just a project, pilot-type  
20 project --

21 A. Yes, sir.

22 Q. -- down in this area?

23 A. We are currently talking with the offset  
24 operators there, to make an agreement, possibly, in the  
25 future when the economics are a little more favorable

1 to do that.

2 Q. I'm not sure I understand the ownership of  
3 the offsetting leases. Can we go over that one more  
4 time?

5 A. All right.

6 Q. Section 28 is owned by whom?

7 A. Section 28 is owned -- The shallow rights,  
8 which go to the Penrose, are owned by Mewbourne Oil  
9 Company, 27 --

10 Q. Same thing?

11 A. Yeah. -- 26 and 23.

12 Q. Okay. And you own all of Section 21 with the  
13 exception of the northwest quarter; is that --

14 A. Yes, sir.

15 Q. And all of Section 22?

16 A. No, I take that back. In Section 21 we do  
17 not own all of the section except for the northwest  
18 quarter.

19 Q. Okay, the acreage outlined in yellow --

20 A. Yes.

21 Q. -- on that --

22 A. Yes.

23 Q. -- first exhibit? Okay.

24 The north half of Section 21 would be who?

25 A. The north half of Section 21?

1 Q. Yes.

2 A. Well, in the -- I believe it's Chevron that  
3 owns the northwest quarter section, and let's see. I  
4 believe it's Chevron has the entire ownership of it.

5 Q. That whole area?

6 A. Uh-huh, I believe that's right.

7 Q. Okay, and Mewbourne has been notified and  
8 they have not expressed any opposition or --

9 A. Yes.

10 Q. -- voiced any concern --

11 A. As a matter of fact, I've contacted them, in  
12 addition to this, within the week, within the last  
13 week.

14 Q. Okay. Now, the well in the south -- What was  
15 it? The southwest-southwest of Section 22, that Q-4  
16 Well, that's producing from the same interval that  
17 you're going to be injecting into; is that correct?

18 A. Yes, sir.

19 Q. So you will be able to monitor any kind of  
20 breakthrough or pressure?

21 A. Yes, sir.

22 Q. Okay.

23 A. And since it's making -- all six of those  
24 wells are making less than three barrels a day of  
25 water, it will be an immediate -- you should be able to

1 tell immediately.

2 Q. Mr. Bennett, the Linam Number 3, that is in  
3 the area of review for this injection well?

4 A. Yes. Yes, sir.

5 Q. What do you propose to do as far as cementing  
6 across the injection zone? Do you plan to do that?

7 A. Well, we ran a casing inspection log on this  
8 well back about eight months ago, and the inspection  
9 log that we ran, of course, does outside, interior, you  
10 know, and actual defect in the pipe. And we ran it  
11 over the deeper intervals for other reasons, but we did  
12 carry it on up across this -- this interval, you know,  
13 to see what the integrity of the pipe was, because the  
14 cement top does not go that far.

15 And, you know, we didn't see any problem, you  
16 know, to cause us to be alarmed. But by the same  
17 token, the odd thing that -- You now, you could  
18 eventually, you know, if you build up a -- you know,  
19 enough pressure which I think it's 1000, at the  
20 maximum, a 1000-pound injection pressure, that would be  
21 pretty remote.

22 Q. So you don't have any -- I mean, you've got  
23 plans right now to re-enter it and recomplete to the  
24 Strawn?

25 A. It has been re-entered.

1 Q. It has been re-entered?

2 A. To 9900 feet. And it's currently, we're --  
3 I'm assuming we'll be on that in the next two or three  
4 weeks. We've got approval from -- from everyone.

5 Q. Well, are -- Let me ask you this: Are you  
6 willing to perform any remedial cement operations that  
7 we may deem necessary on that well?

8 A. Well, we hate to until -- You know, because  
9 anytime you shoot squeeze holes, you know, you're  
10 asking for a problem. But, by the same token, I'm sure  
11 something can be worked out on that.

12 Q. Now, your testimony was that you had an  
13 engineering -- your engineering consultants estimated  
14 25,000 to 40,000 additional reserves?

15 A. Well, depending on how many wells we convert,  
16 and the fact that this well -- Several of the wells to  
17 the -- in Section 22 -- were never frac'd; they were  
18 acidized.

19 These two wells were acidized and frac'd, and  
20 based on the cumulative reserves there on the Number 1,  
21 you know, they came up with an idea that it's -- it  
22 should be possible, if an effective waterflood was  
23 implemented, to -- or a pressure-maintenance situation  
24 was implemented -- to recover a one-for-one in  
25 secondary recovery.

1           On a more conservative basis, you know,  
2           they -- Pretty much the things we've covered here,  
3           strictly a pressure-maintenance situation, using one  
4           well, it's probably more realistic to cut that down to  
5           their figure of -- I think they gave it 25, and I'm  
6           using 20.

7           Q.    There is a current pressure-maintenance  
8           project in Section 20?

9           A.    Uh-huh.

10          Q.    That's Yates that you said?

11          A.    Yeah, a unit that was formed of -- originally  
12          by Newmont.

13          Q.    Has that been successful in that zone, in  
14          that field?

15          A.    The average well in there, I think there were  
16          16 producing wells total in that unit. They cum'd  
17          66,000 barrels. And according to the data that I  
18          pulled on it -- I have not looked at what rates of  
19          water was injected. I know there were about, if I  
20          remember right, 8 to 10 million barrels of oil [sic]  
21          total injected there. Total recovery was about -- a  
22          little over 2 million barrels, I believe, for that  
23          field.

24                You know, as I said before, that thing --  
25          They opened up the Queen and Penrose, I think they had

1 water going several different places back when Newmont  
2 operated it. And I think Yates has proposed at one --  
3 or at one time was looking into even CO<sub>2</sub> in the area  
4 there since CO<sub>2</sub> is in there close. But that's all  
5 information that's derived from other sources besides  
6 Yates.

7 In other words, I have not discussed with  
8 them whether they're planning on any tertiary recovery  
9 or anything like that.

10 Q. Uh-huh.

11 A. We are definitely downdip from them, yet  
12 producing water-free, and they've been waterflooding  
13 for 20 years. So...

14 Q. Now, what did you say about the freshwater  
15 situation in the area? Do you know if there actually  
16 is some fresh water?

17 A. There was a well drilled back in the Fifties  
18 that is still -- that belongs to the -- was assigned  
19 back to the federal government back in about 1968, and  
20 has set dormant since that time, and we are currently  
21 contacting the -- them.

22 As a matter of fact, an attempt was made  
23 yesterday to get a water analysis out of that well, to  
24 find out whether that's actually fresh or brackish, and  
25 maybe to use that water for pressure maintenance.

1           Prior to this, you know, prior to talking  
2 with them yesterday, I didn't -- You know, no contact  
3 has been made to find out whether that's actually fresh  
4 or not.

5           I was over -- As a matter of fact, I looked  
6 at some maps over there which indicate that there  
7 shouldn't be any fresh water there. But obviously  
8 there's one well in the location that furnished enough  
9 water to drill that well, is all I can tell you. And  
10 at one time the federal government requested it be  
11 given back to them, with the understanding that water  
12 would be available for operations on that lease at a  
13 future date.

14           Q.    You don't know how deep that well is?

15           A.    No, I don't.

16           EXAMINER CATANACH: I believe that's all the  
17 questions I have of the witness. He may be excused.

18                    Is there anything further, Mr. Kellahin?


19           MR. KELLAHIN: No, sir.

20           EXAMINER CATANACH: If not, Case 9972 will be  
21 taken under advisement.

22                    (Thereupon, these proceedings were concluded  
23 at 10:22 a.m.)

24





BEFORE EXAMINER CATANACH

OIL CONSERVATION DIVISION

Bennett EXHIBIT NO. 1

CASE NO. 9972

LEA COUNTY, N. M.

**T/Penrose Ss.**

*>10% porosity*

AUTHORED BY: <b>G. BENNETT</b>		Drawn By: <b>L. M. Date:</b>	
DATE: <b>6-90</b>	DATUM:	BY:	DATE:
CONTOUR INT: <b>20'</b>		SCALE: <b>1" = 2000'</b>	
		DWG./GRP. NO.	