

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

STATE OF NEW MEXICO
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
OIL CONSERVATION DIVISION
CASE 10,023

EXAMINER HEARING

IN THE MATTER OF:

Application of BASF Corporation for a Horizontal
Directional Drilling Pilot Project, Special
Operating Rules Therefor, Non-Standard Oil
Proration Unit and an Unorthodox Oil Well
Location, San Juan County, New Mexico

TRANSCRIPT OF PROCEEDINGS

BEFORE: DAVID R. CATANACH, EXAMINER

STATE LAND OFFICE BUILDING

SANTA FE, NEW MEXICO

July 25, 1990

ORIGINAL

A P P E A R A N C E S

1
2
3 FOR THE DIVISION:

4 RAND L. CARROLL
Attorney at Law
5 Natural Gas Programs
P.O. Box 2088
6 Room 206, State Land Office Building
Santa Fe, New Mexico 87504
7

8 FOR THE APPLICANT:

9 CAMPBELL & BLACK, P.A.
10 Attorneys at Law
By: WILLIAM F. CARR
11 Suite 1 - 110 N. Guadalupe
P.O. Box 2208
12 Santa Fe, New Mexico 87504-2208
13

14 ALSO PRESENT:

15 JAMES MORROW
Chief Engineer
16 Oil Conservation Division
State Land Office Building
17 Santa Fe, New Mexico 87504

18 * * *
19
20
21
22
23
24
25

I N D E X

	Page Number
1	
2	
3	2
4	3
5	
6	4
7	23
8	30
9	31

* * *

E X H I B I T S

10	
11	
12	
13	APPLICANT'S EXHIBITS:
14	9
15	10
16	11
17	12
18	13
19	13
20	15
21	20

* * *

22
23
24
25

1 WHEREUPON, the following proceedings were had
2 at 10:47 a.m.:

3 EXAMINER CATANACH: At this time we'll call
4 Case 10,023.

5 MR. CARROLL: Application of BASF Corporation
6 for a horizontal directional drilling pilot project,
7 special operating rules therefor, non-standard oil
8 proration unit and an unorthodox oil well location, San
9 Juan County, New Mexico.

10 EXAMINER CATANACH: Are there appearances in
11 this case?

12 MR. CARR: May it please the Examiner, my
13 name is William F. Carr with the law firm Campbell and
14 Black, P.A., of Santa Fe. We represent BASF
15 Corporation, and I have one witness.

16 EXAMINER CATANACH: Are there any other
17 appearances?

18 Will the witness please stand to be sworn in?
19 (Thereupon, the witness was sworn.)

20 ED FRANK SPINKS,
21 the witness herein, after having been first duly sworn
22 upon his oath, was examined and testified as follows:

23 DIRECT EXAMINATION

24 BY MR. CARR:

25 Q. Will you state your full name and place of

1 residence?

2 A. Ed Frank Spinks, Houston, Texas.

3 Q. Mr. Spinks, by whom are you employed and in
4 what capacity?

5 A. I'm employed by Wintershall as a wholly owned
6 subsidiary of BASF.

7 Q. And what is the nature of Wintershall's
8 business?

9 A. Wintershall is the oil and gas arm of BASF,
10 who is the fourth largest chemical company in the
11 world.

12 Q. The well that is the subject of this hearing
13 will be operated in the name of BASF Corporation?

14 A. That is correct.

15 Q. Have you previously testified before the New
16 Mexico Oil Conservation Division?

17 A. I have not.

18 Q. Could you summarize your educational
19 background for Mr. Catanach --

20 A. Okay.

21 Q. -- and then briefly review your work
22 experience?

23 A. Okay. I graduated from the University of
24 Oklahoma, 1961, bachelor of science in petroleum
25 engineering. I'm a Registered Professional Engineer,

1 State of Texas, and have been since 1973.

2 Upon graduation I went to work for Delhi-
3 Taylor in Farmington, New Mexico, worked there until
4 1963 when Delhi was sold to Tenneco. Tenneco picked us
5 up, stayed there until about the middle of 1964 when
6 Delhi asked if I would like to go overseas with them.

7 I went to Australia, stayed there for eight
8 years, came back in late 1972.

9 1973 I went to work for a consulting group,
10 Eaton Industries of Houston, and stayed there until
11 1979.

12 1979 I went to work for Transco. We stayed
13 there until 1980.

14 1980 I went to work for Quarrel Petroleum.
15 Quarrel was bought by an English Company, Tri-Central,
16 stayed with them.

17 And 1982 -- I mean 1984, Wintershall bought
18 Tri-Central. So that brings me up to date.

19 Q. Have you had experience with directional
20 drilling or highly deviated directional wells?

21 A. Very much so.

22 Q. And when was that?

23 A. Well, I -- As a consultant you get a pretty
24 good, broad experience in everything. But in Transco,
25 we were -- 1979, we were the third most active company

1 in the Gulf of Mexico. We had four engineers. Only
2 Shell and Exxon outdrilled us as far as the amount of
3 wells.

4 We only had four engineers, and I was the
5 chief drilling engineer. So I had two platforms under
6 my oversee at all times, and I just think we've done
7 a -- As high as 70 degrees, we've drilled them, but I
8 can't say I've drilled a horizontal.

9 Q. Are you familiar with the Application filed
10 in this case on behalf of BASF Corporation?

11 A. Yes, I am.

12 Q. Are you familiar with the subject area and
13 the proposed well?

14 A. Yes.

15 MR. CARR: We would tender Ed Spinks as an
16 expert witness and petroleum engineer.

17 EXAMINER CATANACH: He is so qualified.

18 Q. (By Mr. Carr) Mr. Spinks, could you briefly
19 state what BASF seeks with this Application?

20 A. Okay, we would like to drill a horizontal
21 well on the southeast flank of the Verde Gallup field.
22 We would also seek three exceptions to the statewide
23 rules, the first being an exception to the well
24 location.

25 We would like to only have to comply with a

1 setback to the boundary of the acreage dedicated to the
2 well. We would also like to have 120 acres dedicated
3 to this well, and we would like to have an allowable
4 increased to include the total acreage dedicated to
5 this well.

6 Q. You're seeking an allowable equal to the
7 allowable that would be assigned to each of the tracts
8 that you're going to dedicate to the well?

9 A. Yes, that's correct.

10 Q. What basically is the reason for this
11 Application?

12 A. Well, we feel like that we can come into an
13 old well here, an old field here, and drill a well and
14 find some reserves utilizing a new techniques that's
15 been used successfully in fractured formations
16 elsewhere.

17 Q. And what sort of results are you hoping to
18 obtain in this pool?

19 A. We hope to find oil in the fractured
20 formation of the Verde Gallup.

21 Q. At this point in time have you been able to
22 quantify what you're hoping to achieve?

23 A. I'm sorry, I can't tell you what we hope to
24 get, but if it is like it's been in other areas, then
25 we can expect a multifold increase over what we would

1 have if we drilled a straight hole.

2 Q. Let's go to what has been marked as BASF
3 Exhibit Number 1. I'd ask you to identify this exhibit
4 and review the information on this exhibit for the
5 Examiner.

6 A. Okay, this is a land plat that shows the
7 acreage that we control outlined in yellow, more
8 specifically, Section 27, 28, 29, 32, 33 and 34. The
9 outline in blue indicates the acreage that we would
10 like dedicated to this well.

11 Q. Is the working interest controlled 100
12 percent by BASF Corporation in the area shaded in
13 yellow?

14 A. Yes, it is.

15 Q. And is the royalty interest common throughout
16 that area?

17 A. It is.

18 Q. It's all one lease from the Ute Indian Tribe?

19 A. Ute Mountain Indian, that's right.

20 Q. All right. There is, therefore, no
21 offsetting interest owner to whom notice needed to be
22 given of this hearing; is that correct?

23 A. That is correct.

24 Q. What is the current development status of the
25 acreage that is shaded in blue on this exhibit?

1 A. This would be the first well that's been
2 proposed in that area.

3 Q. There are a number of well spots on this
4 exhibit. What is the status of those wells?

5 A. It's my understanding that all of the wells
6 have been plugged with the exception of a couple of
7 wells that are not in the immediate vicinity of the
8 area that we'll be drilling.

9 Q. And were all of these wells drilled to the
10 Gallup Formation?

11 A. Yes, they were.

12 Q. Let's go to what has been marked as Exhibit
13 Number 2, and I would ask you to identify that, please.

14 A. Okay. Exhibit Number 2 is a copy of a log
15 section, and this log section is from our well that we
16 drilled in Section 28, more specifically our 28-43
17 Well.

18 We drilled this to the Basin Dakota, and it's
19 located approximately due east of the proposed
20 location.

21 Q. All right, what does this log section
22 identify?

23 A. It identifies the Verde Gallup -- or the
24 Gallup section that we intend to penetrate and drill a
25 horizontal into.

1 Q. And what is your primary objective in the
2 Gallup section?

3 A. The primary objective is this Gallup 5
4 Section that we have noted down there, but we hope that
5 there are fractures throughout this Gallup formation so
6 that the entire Gallup section is an objective.

7 Q. What is the general characteristic of the
8 Gallup formation in this area?

9 A. It's a fractured shale.

10 Q. Let's go now to what is marked as BASF
11 Exhibit Number 3.

12 A. Okay.

13 Q. I'd ask you to identify that and review it
14 for the Examiner.

15 A. Okay, this is a structure map on what we call
16 the Gallup 1. In other words, this is the top of the
17 Gallup.

18 This shows that the Gallup section is very
19 steeply dipping from the north to the south, and if
20 you'll note the colored -- the yellow color there
21 indicates the surface location of the well, which will
22 be at 1112 feet from the west line and 1284 feet from
23 the south line.

24 We would drill this well out to a point where
25 the red dot is; that would be 2662 feet from the west

1 line and 1020 feet from the south line.

2 Q. And approximately what is the interval as
3 indicated on the type log?

4 A. The interval here?

5 Q. That we're talking about depicting in Exhibit
6 Number 3.

7 A. Oh, okay. The depth of the Gallup 1 is at a
8 depth of 4080 feet. This is the top of it. And it
9 continues on down until we come to the Gallup 2
10 section, which is approximately 4146 feet.

11 Q. All right, Mr. Spinks. Let's move now to
12 Exhibit Number 4, and I'd ask you to identify and
13 review that.

14 A. Exhibit Number 4 is our Gallup 5 marker, and
15 it's the top of the zone that's shown on the log here
16 at 4330 feet, and it runs down to approximately 4370
17 feet.

18 Q. Okay, and what does this exhibit show you?

19 A. It shows us a structure which is very uniform
20 from the Gallup 1 all the way down through the Gallup
21 5.

22 Q. And again, the structure would suggest to you
23 that you have a likely prospect to intersect the
24 fractures in the Gallup formation?

25 A. Well, we think so, because it's very steeply

1 dipping, and if you'll notice how the formation is bent
2 just at this point, we feel like that's one of the
3 primary reasons that the fractures occurred in the
4 Gallup field here.

5 Q. All right, Mr. Spinks. I'd now like to
6 direct your attention to BASF Exhibit Number 5.

7 A. Okay.

8 Q. I'd ask you to identify that and review it
9 for Mr. Catanach.

10 A. Okay. Exhibit Number 5 is an isopach of the
11 section from the -- what we call our Gallup 1 to our
12 Gallup 6, and at our location, bottomhole, we would
13 be -- expect the thickness of this formation to be
14 something like 297 feet.

15 Q. And let's go now to Exhibit Number 6 and have
16 you identify that.

17 A. Okay, Exhibit Number 6 is the same thing, an
18 isopach, but more specifically on the interval between
19 Gallup 5 and Gallup 6.

20 Q. And again, this is the primary objective?

21 A. This is the primary objective, and this is
22 the section where the horizontal well will be drilled
23 into, and it's approximately 42 feet thick at this
24 point.

25 Q. How will you insure that you're going to stay

1 within the section when you're horizontally drilling?

2 A. Well, we'll be continuously taking
3 directional surveys. But in addition to that, we have
4 a special tool that we're going to be using with this,
5 and correct me if I'm getting ahead of myself here.

6 Q. No, go ahead.

7 A. This is something you can talk about later.
8 But this particular tool, we're going to drill this
9 portion of the hole with air, and as you well know, MWD
10 is not reliable in this section.

11 But we're going to utilize a French tool that
12 has been used in Michigan and other parts of the world,
13 as well as -- Oryx just got through using it on a
14 Niobrara well up in western Colorado, and it's a
15 Geoservices tool, and it is a radio-type wave tool
16 which does give reliable inclination and direction back
17 to the surface in an airhole.

18 Q. So you don't foresee any problem in
19 maintaining your position within the formation --

20 A. No --

21 Q. -- while drilling?

22 A. -- we don't. In addition to that, we will
23 probably -- When we get horizontal, we will probably go
24 ahead and attach some logs to our drill pipe, and we
25 will probably go ahead and just run that out into our

1 deviated well, just to confirm that we are where we
2 think we are.

3 Q. Okay. Let's go, now, to Exhibit Number 7,
4 and I would ask you to first explain to the Examiner
5 what this is, and then if we could start with the
6 vertical diagram, I'd ask you to just review in detail
7 how you propose to go about the actual drilling of this
8 well.

9 A. Okay. We're going to start off drilling a
10 17-1/2-inch hole. We'll set 13-3/8-inch casing
11 approximately 240 feet. At that point, we will drill
12 out with a 12-1/4-inch bit.

13 Due to the steep dip of the formation out
14 here, we will have to maintain control of our hole the
15 entire time, so that we -- when we get down to our
16 kickoff point we're not going updip, as we most likely
17 would be doing if we just drilled it without the
18 benefit of directional equipment.

19 We will drill down to a point about 3700
20 feet, we'll run a log, we'll correlate it, we'll check
21 it with the other logs in the area. That will give us
22 a good tie to where we think we're going to encounter
23 the top of the Gallup formation.

24 We will then drill down to a point based upon
25 what the log tells us. We're approximating that to be

1 at 3820 feet right now.

2 We will then go ahead and kick the well off.
3 We will build it up at an angle, a rate of build of 10
4 degrees per hundred feet. We will continue this until
5 we got to an angle of 45 degrees.

6 At this point we would set 9-5/8-inch casing.
7 This would be at a true vertical depth of 4225 and a
8 measured depth of 4270.

9 At that point, we will then convert -- All
10 this time we've been drilling with mud. At that point,
11 we would go ahead and convert to air, and we would
12 drill with air to that -- from there down.

13 I will say that if we do encounter a lot of
14 fluid -- Well, maybe I should say that before I state
15 that, the reason we're going with air, it makes it a
16 little more difficult to drill a well, drilling with
17 air, but we feel like being in close proximity of this
18 old field, that if we do encounter a fracture that is,
19 in fact, tied into this old field, we're most certainly
20 lose the returns. So that's the primary reason for
21 going off with the air to start with.

22 Now, if we -- On the beneficial side, and we
23 do encounter a lot of fluid, hopefully oil, then we
24 probably will be forced to make an attempt to drill
25 with oil-based mud. We will have that in reserve and

1 we will attempt it if we make too much fluid.

2 If lost returns is too great, then we'll just
3 have to give that up, and we will be finished where we
4 are at that time.

5 Continuing on and drilling the well, we
6 should -- We anticipate we would be horizontal at a
7 true vertical depth of 4460 feet. That will give us a
8 measured depth of 4754 feet, and we would continue
9 drilling horizontal for roughly another 1000 feet.

10 We would like to come to you fellows at that
11 time and tell you that things are going good, we'd like
12 to -- We're not getting too close to any lease lines
13 and we would like to extend this if it is, in fact,
14 going very well at this time.

15 Q. Even with any extension of the horizontal
16 portion of the wellbore that you might anticipate,
17 would you be closer at any point in time than 330 feet
18 from the outer boundary of the acreage dedicated to the
19 well?

20 A. No. In fact, you can see here, looking at
21 the horizontal plane of this particular drawing that we
22 -- that Smith has done for us -- we've only dropped
23 about 264 feet in 1500 feet.

24 Now, we're assuming -- And this is a big
25 assumption -- If you'll look back at your structure

1 maps, you'll notice that what we've tried to do is take
2 one factor out of the drilling, and that is, we tried
3 to go parallel with the dip.

4 If we can do that, then we've eliminated
5 having to adjust for dip going up and down. But that,
6 once again, will be determined by the log that we run
7 in the well.

8 Anyway, we didn't just pick Smith, either, as
9 a contractor. They have just drilled this well for
10 Oryx up in the Niobrara. Oryx used air, and they had
11 some problems. Good problems, I understand, but they
12 did have some problems that are only peculiar to air.
13 Nothing that certainly this part of the world isn't
14 used to with air and gas drilling.

15 Q. Are there any special casing requirements
16 that you're looking at in terms of your plans for the
17 development of this property?

18 A. Well, we're going to run the 9-5/8 casing, is
19 going to be special, across the buildup section. We're
20 going to run a 40-pound C-95 casing across this
21 interval. It's a lot stronger casing than what would
22 normally be required, but when you made your bending
23 load calculations for the deviated well, it shows that
24 on a -- I remember the figures on a 15-degree bend.
25 You exert something like 363,000 pounds of force trying

1 to shove these casing collars. So we're certainly
2 going with a lot stronger pipe so that we can design
3 for this severe angle here.

4 Q. What area do you anticipate will be drained
5 by this well?

6 A. I wish I knew. I don't know.

7 Q. In your opinion, will --

8 A. I don't think, though, that you could expect
9 it to be any less than a straight hole, that's for
10 sure.

11 Q. Do you believe that the well you're proposing
12 will effectively drain the acreage that you're
13 recommending be dedicated to it?

14 A. Oh, very definitely, if the fractures are
15 encountered.

16 Q. Do you think there will be any excessive
17 drainage of offsetting properties?

18 A. No. If you look back at your land plat, we
19 control all the acreage for a long distance around this
20 well.

21 Q. Is there any way for you at this time to
22 anticipate what the producing life of a well of this
23 nature might be?

24 A. No, I can't. But I would say it would not be
25 less than a normal well was back when it was drilled

1 straight.

2 Q. Now, Mr. Spinks, to be sure we understand
3 what you're requesting, you're requesting that the
4 proposed horizontal well serve all the proration units
5 dedicated to it?

6 A. Yes.

7 Q. And you're proposing that three 40-acre
8 tracts be dedicated to the well?

9 A. Yes.

10 Q. And you're requesting an allowable for the
11 well equal to the combined allowables for each of the
12 40-acre tracts dedicated to it?

13 A. Yes.

14 Q. Have you reviewed your plans with the Bureau
15 of Land Management?

16 A. Yes, we have.

17 Q. And would you identify what has been marked
18 as Exhibit Number 8?

19 A. Exhibit Number 8 is a letter from the Bureau
20 of Land Management that says they have no objections to
21 us drilling this well.

22 Q. And how are you going to survey or know
23 exactly where this well is located?

24 A. Okay, since it is very critical to stay on
25 line with these -- with this particular well, we will

1 be surveying at all times with a continuously recording
2 instrument.

3 Now, I will say this: One thing about the
4 Geoservices tool, it does have -- It is interfered with
5 the by the 9-5/8 casing. So until that survey
6 instrument gets about 30 feet away from the 9-5/8
7 casing, then we will not have surveys.

8 We may go ahead and at that time utilize a
9 steering tool or a wireline-type tool which will not be
10 interfered with. But that hasn't been decided just
11 yet.

12 But the thing we don't want to do is have an
13 erratic hole. And if you'll notice -- Most of the
14 horizontal wells that I've seen, been associated with
15 in a nonoperating role, have really been very close to
16 the planned objective.

17 Q. When you complete the well, will you have a
18 record that shows the exact location of the bottom of
19 the hole?

20 A. We will.

21 Q. And will you make that information available
22 to the Oil Conservation Division?

23 A. You bet. We will send an as-built type
24 drawing or an as-drilled drawing to the Conservation --

25 Q. And there would be supporting data available

1 if they decide to examine it?

2 A. Yes.

3 Q. Mr. Spinks, I believe you stated there was no
4 other offsetting owner, immediately offsetting this
5 acreage, to whom notice needed to be given for this
6 hearing?

7 A. That is correct.

8 Q. In your opinion, will granting this
9 Application be in the best interest of conservation,
10 the prevention of waste and the protection of
11 correlative rights?

12 A. We certainly think so.

13 Q. Were Exhibits 1 through 8 either prepared by
14 you or compiled under your direction?

15 A. That is correct.

16 Q. And can you testify as to the accuracy of the
17 exhibits?

18 A. Yes.

19 MR. CARR: At this time, Mr. Catanach, we
20 move the admission of BASF Corporation Exhibits 1
21 through 8.

22 EXAMINER CATANACH: Exhibits 1 through 8 will
23 be admitted as evidence.

24 MR. CARR: That concludes my direct
25 examination of Mr. Spinks.

EXAMINATION

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

BY EXAMINER CATANACH:

Q. Mr. Spinks, did you say that the pool itself was in the later stages of development, or it's already been mostly depleted?

A. I thank that -- From my understanding, almost all the wells have been depleted in this pool.

As I understand, there's one or two wells far removed from our area that might still be pumping a small amount of oil. But by far the majority of the field has been depleted.

Q. Is it your intent to, hopefully, encounter fractures that haven't been encountered maybe in this area?

A. Yes, that is correct. What we'd like them to do is something like people have done with the Chalk area up there in south Texas. Even though we've had straight-hole producing wells, they've gone in between and encountered fractures that the straight holes did not penetrate. And hopefully that's what we can do as well.

Q. The horizontal portion of the well is how great a distance?

A. If you'll notice on the vertical section, it starts at approximately 4754 measured depth and runs to

1 5754. So right now we're talking about 1000 feet.

2 But what I would like to point out is, we
3 would like to keep our options open, and if everything
4 is going well, then we would like to come back to you
5 guys and say we would like to extend this.

6 Q. How far would you like to extend it?

7 A. As far as we can, without getting in trouble,
8 getting off the lease.

9 No, I -- if everything is going -- I suspect
10 if everything is going well with air, it will mean we
11 don't have a lot of fluid, so that will probably be a
12 bad omen, but if we are drilling and drilling well with
13 oil-based mud I think, then, that we'd like to go on as
14 far as we can conveniently go.

15 Q. But you would still at that point like to
16 maintain the 120-acre proration unit; you wouldn't want
17 to include more acreage after that, would you?

18 A. If we continued out an additional distance --
19 well, I guess -- I guess to answer your question,
20 initially, though, we probably would not. But that
21 depends on what happens.

22 MR. CARR: And if they go beyond 120, of
23 course they'd have to come back to you.

24 (Off the record)

25 Q. (By Examiner Catanach) The horizontal

1 portion of the wellbore actually traverses one or two
2 40-acre units or portions of one or two?

3 A. It actually extends out to -- Let me think
4 now. We just barely get into the third 40-acre block
5 with the bottomhole as proposed here.

6 Q. Okay, so it's mostly limited to that middle
7 pro- -- middle 40-acre units?

8 A. That is correct, that is correct.

9 Q. There's not any of it on the western
10 proration unit, western boundary?

11 A. Let me see. You're correct. It would be the
12 -- You're correct, the middle block.

13 Q. Do you propose -- How do you propose to
14 complete the well below the 9-5/8-inch casing?

15 A. Right now we don't have any reason to think
16 that we should have a slotted liner. We would like to
17 leave it open hole.

18 Q. Open hole?

19 A. Yes. We feel like that if we do have some
20 problems, that we can always go back later on and slide
21 something in there.

22 Q. And would the base of the 9-5/8 casing, would
23 that extend down into the Gallup?

24 A. Yes, it would, approximately 20 feet. And
25 that's our objective to do that, and we would log at

1 that point too, to confirm that we are where we think
2 we are.

3 Q. I see. What is the rate of angle-build below
4 the casing point?

5 A. It's about 14 degrees as shown here.
6 However, we do show a tangent there of 163 feet.

7 Q. Uh-huh.

8 A. If we bring that tangent back up a little
9 bit, then of course we can minimize that build, and I
10 am leaning very much in favor of pulling that tangent
11 back up a ways and lessening that build from 14 degrees
12 to something around 12, which I think would be a little
13 more easily achievable.

14 Really, the tangent section just gives us a
15 little bit of latitude, if we're a little high or a
16 little low in the formation relative to where we
17 thought we were. It's just a little area there that
18 gives us a little room to modify.

19 Q. Now, you mentioned -- Is it Smith who drilled
20 the -- Did you say Oryx?

21 A. That's an Oryx well in western Colorado in
22 the Niobrara shale, which is very -- I understand is
23 the equivalent to the Gallup formation.

24 Q. Was it a similar type well?

25 A. Yes, very similar. However, it's my

1 understanding that they did not achieve a horizontal
2 well, that they just drilled it a declining angle like
3 so. But that information isn't available yet, so I'm
4 not sure.

5 I have talked to Oryx about the well quite a
6 bit. Of course, they don't want to talk about what
7 they've got, but they're very helpful in discussing,
8 you know, the garholes and pitfalls that you can have
9 doing one of these with air, so I will say they've been
10 very helpful.

11 Q. Was it the same type of tools that you use --

12 A. Exactly. Plus the fact you've got the know-
13 how. These people have one well behind them. They
14 will have drilled one or two more wells by the time
15 they get around to drilling our well. They're on the
16 second well right now, but they have not gone into the
17 Niobrara yet.

18 So we're getting a little better expertise
19 than we would normally get from the average directional
20 people.

21 Q. You don't have any estimates of how much
22 additional -- or how much this thing will drain if it's
23 successful?

24 A. Gosh, I wish I could tell you that. I can't.

25 Q. You may get a two- or threefold increase in

1 production?

2 A. Yeah, it depends on the fracture system. Of
3 course if we hit a lot of fractures, then it's going to
4 drain us, you know, a fair amount of acreage, and of
5 course it depends on the extent of the fractures, how
6 long do they run?

7 Q. Uh-huh.

8 A. I really don't know how to predict that.

9 Q. Now, is the -- Is the direction of the hole
10 pretty much determined at this point? That's not going
11 to alter?

12 A. Most definitely. And if you'll refer back to
13 the structure maps, that being Exhibit 4 and 3, you'll
14 notice how the formation moves on contours of 100-foot
15 intervals, and you can see how steep that dip is.

16 And what we've tried to do is take the dip
17 out of our drilling of the well.

18 And I guess, then, our only decision was, do
19 we go from right to left or left to right? And we went
20 from left to right because we've had some fracture work
21 done that indicated that in the area that we're talking
22 about here is an area that should be highly fractured.

23 Q. Okay. Now, are -- Do the fractures within
24 that formation generally run north/south? Are you
25 trying to intersect the fractures perpendicularly?

1 A. I don't have the answer to that. All I can
2 tell you is that we've look at the -- We've looked at
3 an isopach of the production in the area, and the
4 production, if you'll refer to this area right here on
5 your structure map, we've found that there was very
6 good production in this plane here.

7 MR. CARR: You're talking about Sections 21
8 and 29?

9 THE WITNESS: Yes, in the general area of
10 this. In other words, we looked at this area here, and
11 we felt like that this was an area of pretty high
12 fracturing. So any well drilled in this direction
13 should intersect something along there.

14 On the other hand, if you go further over on
15 the structure, over here, it looked like that we should
16 be drilling in a different direction over here. But I
17 honestly can't tell you how they run. And I feel like
18 it may even take more than one well to answer a lot of
19 these questions out here.

20 Q. (By Examiner Catanach) But as far as the
21 direction of the well, it won't change --

22 A. No, it -- Guaranteed.

23 Q. -- even if you determine that you're running
24 parallel to the fracture?

25 A. Guaranteed, it won't change.

1 Q. Okay.

2 A. The only thing that would make it change
3 would be if we do find out that these maps are totally
4 incorrect and that the structure has changed. And if
5 the structure's changed, that would make us just try to
6 go parallel with it. But we don't anticipate that
7 being -- We've got control out here, a lot of wells, so
8 we feel like that -- What you said is correct.

9 The well should be drilled south 80 degrees
10 east.

11 EXAMINER CATANACH: I believe that's all I
12 have.

13 FURTHER EXAMINATION

14 BY MR. CARR:

15 Q. Mr. Spinks, how soon does BASF propose to
16 commence this well?

17 A. We'd like to start it just as soon as we can
18 get our permitting process finished.

19 MR. CARR: I have nothing further.

20 EXAMINER CATANACH: There being nothing
21 further in this case, Case 10,023 will be taken under
22 advisement.

23 (Thereupon, these proceedings were concluded
24 at 11:20 a.m.)

25 * * *

