

STATE OF NEW MEXICO
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
OIL CONSERVATION DIVISION
CASE 10051

EXAMINER HEARING

IN THE MATTER OF:

Application of Union Oil Company of California
for Pool Contraction and Special Pool Rules
Eddy County, New Mexico

TRANSCRIPT OF PROCEEDINGS

BEFORE: DAVID R. CATANACH, EXAMINER

STATE LAND OFFICE BUILDING

SANTA FE, NEW MEXICO

August 22, 1990

ORIGINAL

CUMBRE COURT REPORTING
(505) 984-2244

A P P E A R A N C E S

FOR THE DIVISION:

ROBERT G. STOVALL

Attorney at Law

Legal Counsel to the Divison

State Land Office Building

Santa Fe, New Mexico

FOR THE APPLICANT:

WILLIAM F. CARR, ESQ.

Campbell & Black, P.A.

Post Office Box 2208

Santa Fe, N.M. 87504-2208

I N D E X

	Page Number
Appearances	2
CHARLES EDWARD PIETSCH	
Examination by Mr. Carr	4
Examination by Hearing Examiner	14, 16, 17
Examination by Mr. Stovall	15, 16
ROBERT M. ALTANY	
Examination by Mr. Carr	18
Examination by Hearing Examiner	22
CHARLES EDWARD PIETSCH (Resumed)	
Examination by Hearing Examiner	23
Examination by Mr. Stovall	25
Certificate of Reporter	28
E X H I B I T S	
APPLICANT'S EXHIBITS:	
Exhibit 1	6
Exhibit 2	8
Exhibit 3	10
Exhibit 4	10
Exhibit 5	11
Exhibit 6	13
Exhibit 7	19
Exhibit 8	20

1 EXAMINER CATANACH: At this time we'll call
2 Case 10051.

3 MR. STOVALL: Application of Union Oil
4 Company of California, d/b/a Unocal, for pool
5 contraction and special pool rules, Eddy County, New
6 Mexico.

7 EXAMINER CATANACH: Are there appearances
8 in this case?

9 MR. CARR: May it please the Examiner, my
10 name is William F. Carr with the law firm Campbell &
11 Black, P.A. We represent Union Oil Company of
12 California, and I have two witnesses.

13 EXAMINER CATANACH: Any other appearances?
14 Will the witnesses please stand to be sworn
15 in.

16 (Thereupon, the witnesses were sworn.)

17 CHARLES EDWARD PIETSCH
18 the witness herein, after having been first duly sworn
19 upon his oath, was examined and testified as follows:

20 EXAMINATION

21 BY MR. CARR:

22 Q. Would you state your full name for the
23 record, please.

24 A. Charles Edward Pietsch.

25 Q. How do you spell your last name?

1 A. P-I-E-T-S-C-H.

2 Q. Mr. Pietsch, where do you reside?

3 A. In Midland, Texas.

4 Q. By whom are you employed and in what
5 capacity?

6 A. Union Oil Company of California, as a
7 petroleum engineer in the Andrews District.

8 Q. Have you previously testified before the
9 Oil Conservation Division?

10 A. No, I haven't.

11 Q. Would you review for Mr. Catanach your
12 educational background and then briefly summarize your
13 work experience?

14 A. I have a Bachelor of Science in petroleum
15 engineering from Texas A & M in 1985. I received my
16 Master's of Science in Petroleum Engineering from the
17 same University in 1986.

18 I went to work for Unocal in 1987. I was
19 employed in Midland and went through their production,
20 drilling and reservoir engineering training programs,
21 and in the last year I've been in their reservoir
22 department in the Andrews District as a petroleum
23 engineer.

24 Q. Does your geographic area of responsibility
25 with Unocal include the portion of Southeastern New

1 Mexico involved in this case?

2 A. It sure does.

3 Q. Are you familiar with the application filed
4 in this case on behalf of Unocal?

5 A. I am.

6 Q. Are you familiar with the Esperanza
7 Delaware pool?

8 A. I am.

9 MR. CARR: We would tender Mr. Pietsch as
10 an expert witness in petroleum engineering.

11 EXAMINER CATANACH: He is so qualified.

12 Q. Could you briefly summarize what Unocal
13 seeks with this application?

14 A. Unocal seeks a contraction of the Esperanza
15 Delaware Pool to exclude nonproductive acreage in
16 Sections 28 and 33 of Township 21 South, Range 27
17 East; and also special rules and regulations for this
18 pool to include a 120 barrel per day allowable.

19 Q. Could you identify what has been marked as
20 Unocal Exhibit No. 1 and review that for Mr. Catanach?

21 A. Exhibit No. 1 is a map which has a dashed
22 area which represents the Esperanza Delaware pool. It
23 also has the hashed area, Section 28 and 33, which
24 represents the area of deletion from the pool. It has
25 a darker hashed area surrounding the pool which is the

1 area of notification sent to leasehold operators and
2 unleased mineral owners.

3 It also contains the wells that have
4 penetrated and been tested in the Delaware pool. They
5 include the Union Tracy #1, which was the discovery
6 well, the Pennzoil-Federal #2, the Federal A-J--

7 Q. Those are in Section 10?

8 A. In Section 10. And in Section 4, the
9 Wersell-Federal #1, the Wersell "A" #2. It should be
10 noted that the Wersell-Federal #2 is an SWD well.

11 Q. That's the well that is in the northwest of
12 the northwest of 4?

13 A. Correct.

14 Q. Are there any plugged and abandoned wells
15 in the pool?

16 A. Yes. The Marbob Union Federal #1 is a
17 plugged and abandoned well.

18 Q. There are also some dry holes that have
19 been indicated on this exhibit?

20 A. Correct. The Tracy #2, Tracy #3, the
21 Pennzoil-Federal #1 and the Mendenhall Hillger #1.

22 Q. Has there ever been any production from the
23 Esperanza Delaware pool in either Sections 28 or 33,
24 the acreage that you're requesting be deleted?

25 A. No, there has not, to my knowledge.

1 Q. Do you know why this acreage was originally
2 included in the pool?

3 A. To my knowledge there have been some wells
4 that have penetrated the Delaware going on to the
5 Strawn and Morrow that had sample shows, and that
6 would be my only understanding as to why this area is
7 included.

8 Q. But there has never been a producing well
9 from the Delaware in either of those sections?

10 A. No, sir.

11 Q. Are there any other operators in this pool
12 besides Unocal?

13 A. No.

14 Q. When was this pool actually discovered?

15 A. This pool was discovered in August of 1969,
16 with the Tracy #1.

17 Q. Could you refer to what has been marked as
18 Unocal Exhibit No. 2 and review the information on
19 this exhibit for Mr. Catanach?

20 A. Yes. This shows all producing wells and
21 wells that have penetrated and tested the Delaware
22 formation.

23 They show their location, the completion
24 date, cumulative production and also the current rate
25 as of July 1990.

1 As you can see, the Tracy #1 was completed
2 in August of 1969, has produced 620,000 barrels of oil
3 and still makes 80 barrels a day, which is a top
4 allowable for this pool.

5 The Pennzoil-Federal #2, completed in
6 October of 78, produced 94,000 barrels and currently
7 makes three barrels of oil.

8 The Federal AJ #1 has a cumulative
9 production of 74,000 barrels and produces 32 barrels
10 of oil per day.

11 As our geologist will show, these three
12 wells are producing from the same stringer. The
13 Wersell-Federal Com. #1 and Wersell "A" #2 also
14 produce, but produce from different sand bodies within
15 the Delaware formation.

16 Q. The wells at the bottom of the exhibit, if
17 they produced at all, were from different sand bodies,
18 is that correct?

19 A. Correct.

20 Q. If I look at this exhibit, the only well
21 that has the capability of exceeding the depth bracket
22 allowable for this pool is the discovery well, the
23 Tracy #1?

24 A. That is correct.

25 Q. Could you refer to what has been marked as

1 Unocal Exhibit No. 3 and review that information for
2 Mr. Catanach?

3 A. Yes. This shows the five wells which are
4 producing from the Delaware. It shows Unocal's gross
5 working interest and net working interest in each
6 well.

7 Q. Basically this indicates that you have the
8 lowest net working interest in the Tracy #1?

9 A. Correct.

10 Q. Let's now move to Exhibit No. 4. Identify
11 those, would you please, and then review them for the
12 Examiner?

13 A. These are the production curves for the
14 five wells which are producing in the Delaware
15 formation. The first one is the discovery well, the
16 Tracy #1. As you can see, it's produced for 20 years
17 at a top allowable rate of 80 barrels per day with no
18 decline, which is uncharacteristic.

19 The second page is the Pennzoil-Federal #2,
20 which has a decline of 18 percent and has produced for
21 approximately 10 years.

22 Q. This is the east offset to the Tracy #1?

23 A. Correct.

24 Q. All right. Let's go to the next page of
25 the exhibit.

1 A. This is the Federal AJ, which has produced
2 74,000 barrels, has shown a decline, and was recently
3 restimulated with a frac job. It currently averages
4 34 barrels a day.

5 Q. When did you actually frac this well?

6 A. This well was stimulated in the fall of 89,
7 I believe; October of 89, for the exact month.

8 Q. This is the southeast offset to the Tracy
9 #1?

10 A. Correct.

11 Q. Now, the three decline curves that you've
12 now reviewed, are the wells that are completed in the
13 same stringer, is that right?

14 A. That's correct.

15 Q. Okay. Let's review the last two pages of
16 this exhibit briefly for Mr. Catanach.

17 A. They are the Wersell Federal #1 and the
18 Wersell "A" #2, which are producing in Section 4.

19 Q. These five curves represent each of the
20 wells producing from this pool?

21 A. Correct.

22 Q. Could you explain to Mr. Catanach how
23 Unocal selected the 120 barrel recommended allowable
24 for this pool?

25 A. Exhibit 5 is a raw pumping analysis

1 performed by NAPA Corporation in which it determines
2 exactly how efficiently you can pump your well. If
3 you have a fluid level in your wellbore, how you can
4 up-size your pump, use a larger raw string; natures of
5 that order.

6 And when this test was performed on July
7 10, 1990, on page 5 it shows that it produced--it was
8 testing to produce a 24-hour rate of 119 barrels of
9 oil or 119 barrels total fluid and 101 barrels was
10 oil.

11 The conclusions is that the well was
12 virtually pumping at capacity with low intake
13 pressure. Therefore, we have chosen an allowable of
14 120 barrels a day which would give us a little leeway
15 at producing this at its top allowable in a most
16 efficient way.

17 Q. In your opinion, will any reservoir damage
18 result from producing at this higher oil allowable?

19 A. We believe no reservoir damage will
20 result. In fact, the well will be allowed to pump
21 more efficiently as shown by Exhibit 5. This well
22 will be allowed to have a higher ultimate recovery
23 before reaching its economic limit, and it will also
24 reduce excessive operating costs.

25 Also, the Tracy #1 has produced for 20

1 years and we believe the life expectancy of a wellbore
2 is approximately 40 years. Once the Tracy #1 starts
3 to decline, it will take at least another 10 years to
4 produce, as shown by the production curve by the
5 Pennzoil-Federal #2.

6 If mechanical wellbore problems occur once
7 the well has started its decline, the remaining
8 reserves may not satisfy economic requirements to
9 drill a replacement well.

10 Q. Would you anticipate any negative impact on
11 either of the offsetting wells?

12 A. No, we do not anticipate-- In fact, the
13 recent restimulation of the AJ #1, the frac job, has
14 shown no impact on the Tracy #1.

15 Q. In your opinion, will approval of the
16 application impair the correlative rights of any other
17 interest owner in the pool?

18 A. I don't believe so.

19 Q. Is Unocal Exhibit No. 6 an Affidavit with
20 attached letters confirming that notice of today's
21 application and hearing has been provided, as required
22 by the rules of the Oil Conservation Division?

23 A. Yes.

24 Q. Were Exhibits 1 through 6 either prepared
25 by you or under your direction and supervision?

1 A. They were.

2 Q. Will Unocal call a geological witness to
3 testify to the characteristics of this particular
4 reservoir?

5 A. We will.

6 MR. CARR: At this time, Mr. Catanach, I
7 would move the admission of Unocal Exhibits 1 through
8 6.

9 EXAMINER CATANACH: Exhibits 1 through 6
10 will be admitted as evidence.

11 MR. CARR: That concludes my direct
12 examination of this witness.

13 EXAMINATION

14 BY EXAMINER CATANACH:

15 Q. Mr. Pietsch, is it your opinion that
16 ultimate recovery won't suffer from an increased oil
17 allowable?

18 A. No, because ultimate recovery, you try to
19 pump, in raw pumping, you try to pump the well with as
20 low a fluid level as possible. The way we've been
21 producing the well currently, we've had to put the
22 well on time, and it's shut in and it doesn't produce
23 for a 24-hour period. So it does have a fluid level
24 over. When NAPA Corporation came out and weighed this
25 well, the well had pumped for a couple of days so it

1 wouldn't have a fluid level on it.

2 And that's why they say the most efficient
3 way to pump this well would be to pump it 24 hours
4 with the existing equipment on it and be able to pump
5 101 barrels of oil a day.

6 Q. Does the well produce any gas?

7 A. It does produce some gas, as shown on the
8 production curve.

9 Q. Did you say that this well was producing
10 from a separate stand stringer than all the other
11 wells were?

12 A. No. This well, the Pennzoil-Federal #2 and
13 the Federal AJ are all producing from the same sand
14 body. And our geologist will show the extent of this.

15 Q. Do you have any explanation why that well
16 hasn't declined at all?

17 A. No explanation.

18 EXAMINER CATANACH: I have no further
19 questions of the witness.

20 EXAMINATION

21 BY MR. STOVALL:

22 Q. This is the only top allowable well in the
23 pool, is that correct?

24 A. Correct.

25 Q. So, it's the only one that would actually

1 be affected by--

2 A. The only one that could benefit from this
3 ruling.

4 EXAMINATION

5 BY EXAMINER CATANACH:

6 Q. I have one more question. Has Union
7 consulted with the Artesia office concerning the
8 contraction of this pool?

9 A. I called them really just to find out why
10 Sections 28 and 33 were included in the pool, because
11 it took us a lot more manpower to determine who the
12 lease operators were and what the unleased minerals
13 were.

14 The only reason we were wanting to extract
15 it from the pool is because it took a lot more
16 manpower to come up with the area of notification.
17 Since there were no wells that are currently producing
18 in this pool, we feel that if a well is drilled it
19 will be easy to add that acreage back into the pool.

20 EXAMINATION

21 BY MR. STOVALL:

22 Q. Do you know if your geologic witness has
23 any evidence with respect to whether there is
24 exploration probabilities or possibilities in that
25 area?

1 I'm asking if you know. I'm not asking
2 what his opinion is, but do you know if he has an
3 opinion or if his evidence will show anything on that?

4 A. I don't think it will show that. All we've
5 seen are sample shows, and whether that will test to a
6 commercial productive well. You won't know that
7 until--

8 Q. We're talking in Section 28 and 33, right?

9 A. Correct.

10 EXAMINATION

11 BY EXAMINER CATANACH:

12 Q. In terms of notification for this case,
13 though, you did notify those--

14 A. Right. We did notify the whole area.

15 MR. CARR: If we ever have to come back, we
16 would like to not have to contact all those people
17 again.

18 EXAMINER CATANACH: I see. Okay. The
19 witness may be excused.

20 MR. CARR: At this time we would like to
21 call Bob Antany.

22 ROBERT M. ALTANY

23 the witness herein, after having been first duly sworn
24 upon his oath, was examined and testified as follows:

25

EXAMINATION

BY MR. CARR:

Q. Would you state your full name and place of residence?

A. Robert M. Altany, Midland, Texas.

Q. By whom are you employed and in what capacity?

A. Union Oil Company of California, as a petroleum geologist.

Q. Have you previously testified before the Oil Conservation Division?

A. Yes, I have.

Q. At that time were your credentials as a geologist accepted and made a matter of record?

A. Yes, sir.

Q. Are you familiar with the application filed in this case in behalf of Unocal?

A. Yes, I am.

Q. Are you familiar with the Delaware formation and the area affected by this application?

A. Yes.

MR. CARR: Are the witness's qualifications acceptable?

EXAMINER CATANACH: They are.

Q. Mr. Altany, have you prepared certain

1 exhibits for presentation in this hearing?

2 A. Yes, I have.

3 Q. Would you refer to what has been marked
4 Unocal Exhibit No. 7, identify this and review it for
5 the Examiner?

6 A. This is the map showing the structure on
7 the lower Tracy pay which produces in the Tracy #1
8 well and the other two wells shown in brown.

9 Also shown on there, highlighted in green,
10 are porosity isopach contours of that Tracy pay.
11 Shaded in green is the productive limits of the Tracy
12 sand pool. It's bounded on the southeast by an
13 oil/water contact at approximately 330 feet below sea
14 level, and on the other side primarily by thinning and
15 pinch out of the porous zone.

16 What you can see is that in the northwest
17 quarter of Section 10, which is the Tracy lease, is
18 structurally better situated than the other two wells,
19 and also the pay thickness is greater on that lease
20 and thus it appears that the majority of the reserves
21 there are in the northwest quarter of Section 10,
22 where the Tracy #1 is located.

23 Q. This pool is developed on 40-acre spacing?

24 A. Yes, sir.

25 Q. Is the Tracy the only well that has a full

1 productive 40 acres dedicated to it?

2 A. Yes, sir.

3 Q. On this exhibit there is a dark, hashed
4 line. Could you just identify that for the Examiner?

5 A. This map was originally drafted for another
6 purpose, and that represents a working interest unit
7 of which Unocal is the operator.

8 Q. That doesn't have any real bearing on the
9 application before the Division today?

10 A. I don't believe it does.

11 Q. There's on this exhibit a trace for a
12 cross-section?

13 A. Yes, sir. That will be the next exhibit.

14 Q. That's Exhibit No. 8?

15 A. Yes, sir.

16 Q. Would you review Exhibit No. 8, the
17 cross-section, now for Mr. Catanach?

18 A. This is a cross-section, northwest to
19 southeast. It goes through the Tracy #1 and the other
20 two Tracy sand producers, the Pennzoil Fed. #2 and the
21 Federal AJ, and northwest up to the Unocal Tracy #3
22 which is nonproductive because of the thinning and
23 shaliness of the pay zone.

24 Also what you can see here is that the
25 Tracy #1 is higher structurally to the other two wells

1 and has the best developed pay zone.

2 Q. Generally, would you just summarize the
3 conclusions you've reached from your geologic study?

4 A. The Tracy #1 has shown a lot better
5 production because it's in favorable structural
6 position, it has a better developed pay, and--

7 Q. Do you believe that granting this
8 application will permit the Tracy #1 to receive an
9 excessive share of the reserves from the pool?

10 A. No, sir.

11 Q. Were Exhibits 7 and 8 prepared by you?

12 A. Yes, sir.

13 MR. CARR: At this time, Mr. Catanach, I
14 would move the admission of Unocal Exhibits 7 and 8.

15 EXAMINER CATANACH: Exhibits 7 and 8 will
16 be admitted as evidence.

17 Q. Mr. Altany, were you present a few minutes
18 ago when Mr. Stovall asked questions concerning
19 geologic information on Sections 28 and 33?

20 A. Yes, sir.

21 Q. Could you summarize for the Examiner what
22 your geologic study shows as to Delaware potential
23 under Sections 28 and Sections 33?

24 A. It's a little indefinite at this point.
25 There's a well in the northeast northwest of Section

1 28 that had a DST of oil and a mud log show of oil in
2 a zone which I believe is not the same as the Tracy
3 producer. I believe it is one of the zones that
4 produces in the three wells in Section 4.

5 So there's not been any production in those
6 sections. It is possible, but not confirmed, that
7 there is some potential in the Delaware.

8 MR. CARR: That concludes my direct
9 examination of Mr. Altany.

10 EXAMINATION

11 BY EXAMINER CATANACH:

12 Q. Mr. Altany, is this the only particular
13 sand that's being produced in the pool?

14 A. The wells in Section 4 produce from several
15 other sands, both above and below the Tracy pay.

16 Q. This particular sand is not present in
17 Section 4?

18 A. No, sir, not in any productive quality.

19 Q. The Tracy #1 doesn't have significantly
20 more pay than the other two wells. How much more does
21 it have?

22 A. It has 12 feet of pay, whereas the others
23 have 6 and 10. However, the lease on which it's
24 located, I believe, has more productive--more area is
25 covered by a thicker pay zone.

1 EXAMINER CATANACH: I have no further
2 questions of the witness.

3 MR. CARR: We have nothing further in this
4 case, Mr. Catanach.

5 EXAMINER CATANACH: Can I get your other
6 witness back on the stand for a couple of questions?

7 MR. CARR: Yes.

8 CHARLES EDWARD PIETSCH

9 the witness herein, after having been previously duly
10 sworn upon his oath, was examined and testified
11 further as follows:

12 EXAMINATION

13 BY EXAMINER CATANACH:

14 Q. Mr. Pietsch, you didn't testify that
15 ultimate recovery was going to benefit from this, did
16 you?

17 A. Right.

18 Q. You did say that?

19 A. Yeah, ultimate recovery--

20 Q. Will benefit from an increased allowable?

21 A. Right.

22 Q. Could you go into a little bit more detail
23 on that again?

24 A. Well, there's two reasons why ultimate
25 recovery will probably benefit from this hearing. One

1 is that right now we're producing at 80 barrels a day,
2 and whenever that decline starts, the well has already
3 produced 20 years. You know from the Pennzoil-Federal
4 #2 that once it started its decline it took 10 to 12
5 years to get down to three barrels a day which is
6 right at its economic limit, so that would at least
7 say the Tracy is going to be up to 30 barrels a day,
8 or 30 years, whenever it starts to decline because
9 it's already produced 10 years.

10 If there's any mechanical problems with
11 this wellbore in the future, when it does go on its
12 decline, say it's on its decline and it's down to 40
13 barrels a day, the remaining reserves may not be
14 enough to warrant drilling another well. If you would
15 have had a higher rate, you would have been able to
16 get those reserves quicker before you had this
17 mechanical problem.

18 The other thing is, you're looking at
19 producing the well for, say, 30 years to get an X
20 number of barrels at the current rate, and the other
21 way you're going to do it, you're going to speed up
22 and it will give you a higher allowable, and you'll
23 produce those reserves quicker, and your operating
24 costs will be a lot less because you will not have the
25 operating costs of those 10 years that you had

1 beforehand. So ultimately you're going to recover
2 more reserves.

3 Q. You don't anticipate any mechanical
4 problems?

5 A. Well, we don't anticipate, but one thing I
6 do know is that we do not have cement all the way back
7 to surface on our production string. The well's
8 already produced 20 years.

9 At some point in time the well's going to
10 have a casing leak or something like that and it might
11 be such that the casing is in such bad a shape that we
12 will not be able to repair it but we'll have to drill
13 an offset.

14 If I recall right, the casing in this well
15 is four-and-a-half-inch casing, and so there's no way
16 a liner can be run within this well.

17 Q. What type of drive is this reservoir?

18 A. From what we can gather, it's solution/gas
19 drive. We don't see any effect of a water drive or
20 anything like that. But the Tracy #1 is a very
21 uncharacteristic well.

22 EXAMINATION

23 BY MR. STOVALL:

24 Q. Did I understand you correctly, in terms of
25 an oil withdrawal, you would be anticipating an

1 increase of about 20 barrels a day?

2 A. About 20. From our NAPA test, about 20
3 barrels a day. But that was something that--we
4 hadn't, like, tested it for two weeks or so to see
5 exactly what it's going to be.

6 Q. Then you indicated there's some other
7 fluid, and you expected a total fluid recovery of
8 about 113 barrels?

9 A. Well, 119 barrels was what that Exhibit 5
10 showed, 101 was oil and I guess 18 was water.

11 Q. You didn't calculate any gas in that, any
12 net reservoir barrels of gas?

13 A. No.

14 Q. If it is a gas drive, you don't see any
15 harm to the drive with a higher rate?

16 A. No.

17 Q. One question with respect to drilling an
18 offset. It appears you've got a dry hole in that
19 quarter/quarter section already, or is it in the
20 quarter--I'm sorry--looking at Exhibit 1?

21 A. Right.

22 Q. The Tracy #2 is a--

23 A. Tracy #1 is surrounded by three dry holes
24 in the north/northwest, northeast and southwest
25 quarters. So it's really a confined reservoir.

1 Q. Would there be some concern about finding
2 the same sweet spot if you had to drill a replacement
3 well?

4 A. It might be that you won't pick the sand up
5 again on a log, but a replacement well should be only
6 within a hundred feet or so.

7 MR. STOVALL: I don't have anymore
8 questions.

9 EXAMINER CATANACH: I have nothing
10 further. The witness may be excused.

11 Anything further in this case?

12 MR. CARR: Nothing further.

13 EXAMINER CATANACH: Case 10051 will be
14 taken under advisement.

15

16

17

18

19

20

21

22

23

24

25

CERTIFICATE OF REPORTER

STATE OF NEW MEXICO)
) ss.
COUNTY OF SANTA FE)

I, Carla Diane Rodriguez, Certified
Shorthand Reporter and Notary Public, HEREBY CERTIFY
that the foregoing transcript of proceedings before
the Oil Conservation Division was reported by me; that
I caused my notes to be transcribed under my personal
supervision; and that the foregoing is a true and
accurate record of the proceedings.


I FURTHER CERTIFY that I am not a relative
or employee of any of the parties or attorneys
involved in this matter and that I have no personal
interest in the final disposition of this matter.

WITNESS MY HAND AND SEAL August 27, 1990.


CARLA DIANE RODRIGUEZ
CSR No. 91

My commission expires: May 25, 1991

I do hereby certify that the foregoing is
a complete record of the proceedings in
the Examiner hearing of Case No. 10051,
heard by me on August 27 1990.


_____, Examiner
Oil Conservation Division