

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

STATE OF NEW MEXICO
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
OIL CONSERVATION DIVISION
CASES 10059, 10060, 10061

EXAMINER HEARING

IN THE MATTER OF:

Application of CHEVRON U.S.A., INC., for the
Expansion of the Eunice Monument South Unit
Area and for the Amendment of Division Order
N. R-7765, as Amended, Lea County, New Mexico

Application of CHEVRON, U.S.A., INC., for the
Expansion of the Eunice Monument South Unit
Waterflood Project Area and to Amend Division
Order No. R-7766, Lea County, New Mexico

Application of CHEVRON U.S.A., INC., for
Pool Extension and Contraction,
Lea County, New Mexico

TRANSCRIPT OF PROCEEDINGS

BEFORE: DAVID R. CATANACH, EXAMINER

STATE LAND OFFICE BUILDING
SANTA FE, NEW MEXICO

August 22, 1990

A P P E A R A N C E S

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

FOR THE DIVISION:

ROBERT G. STOVALL
Attorney at Law
Legal Counsel to the Divison
State Land Office Building
Santa Fe, New Mexico

FOR THE APPLICANT:

W. THOMAS KELLAHIN, ESQ.
Kellahin, Kellahin & Aubrey
Post Office Box 2265
Santa Fe, N.M. 87504-2265

FOR AMOCO PRODUCTION
COMPANY:

DANIEL R. CURRENS, ESQ.
Post Office Box 3092
Houston, Texas 77253

FOR AMERADA HESS
CORPORATION:

WILLIAM F. CARR, ESQ.
Campbell & Black
Post Office Box 2208
Santa Fe, N.M. 87504-2208

	I N D E X	
		Page Number
1		
2		
3	Appearances	2
4		
5	DANIEL A. JANIK, JR.	
6	Examination by Mr. Currens	7
7		
8	JIMMY D. DOLAN	
9	Examination by Mr. Kellahin	15, 51
10	Examination by Hearing Examiner	48, 63
11		
12	STEVE LUTHY	
13	Examination by Mr. Kellahin	65
14		
15	RAY VADEN	
16	Examination by Mr. Kellahin	80
17	Examination by Hearing Examiner	95
18	Examination by Mr. Stovall	95
19		
20	Certificate of Reporter	98
21		
22		
23		
24		
25		

E X H I B I T S				
	<u>EXHIBIT NUMBER</u>	<u>PAGE</u>	<u>EXHIBIT NUMBER</u>	<u>PAGE</u>
1				
2				
3	Exhibit 1	17	Exhibit 2	18
	Exhibit 3	19	Exhibit 4	21
4	Exhibit 5	22	Exhibit 6	24
	Exhibit 7	25	Exhibit 8	25
5	Exhibit 9	25	Exhibit 10	26
	Exhibit 11	26	Exhibit 12	24
6	Exhibit 13	36	Exhibit 14	37
	Exhibit 15	38	Exhibit 16	38
7	Exhibit 17	40	Exhibit 18	42
	Exhibit 19	51	Exhibit 20	63
8	Exhibit 21	67	Exhibit 22	69
	Exhibit 23	71	Exhibit 24	80
9	Exhibit 25	73	Exhibit 26	74
	Exhibit 27	74	Exhibit 28	77
10	Exhibit 29	80	Exhibit 30	77
	Exhibit 31	77	Exhibit 32	81
11	Exhibit 33	82	Exhibit 34	82
	Exhibit 35	83	Exhibit 36	83
12	Exhibit 37	84	Exhibit 38	85
	Exhibit 39	86	Exhibit 40	89
13	Exhibit 41	87	Exhibit 42	89
	Exhibit 43	91	Exhibit 44	91
14	Exhibit 45	91	Exhibit 46	92
	Exhibit 47	93		
15				
16				
17				
18				
19				
20				
21				
22				
23				
24				
25				

1 EXAMINER CATANACH: At this time we'll call
2 Case 10059.

3 MR. STOVALL: Application of Chevron,
4 U.S.A., Inc., for the expansion of the Eunice Monument
5 South Unit Area, and for the amendment of Division
6 Order No. R-7765, as amended, Lea County, New Mexico.

7 EXAMINER CATANACH: Are there appearances
8 in this case?

9 MR. KELLAHIN: Mr. Examiner, I'm Tom
10 Kellahin of the Santa Fe Law Firm of Kellahin,
11 Kellahin & Aubrey, appearing on behalf of the
12 Applicant, Chevron U.S.A.

13 We would request at this time that you call
14 the next two cases on the docket, and that for
15 purposes of hearing they be consolidated.

16 EXAMINER CATANACH: Any objection?

17 At this time we'll call Case 10060.

18 MR. STOVALL: Application of Chevron,
19 U.S.A., Inc., for the expansion of the Eunice Monument
20 South waterflood project area, and to amend Division
21 Order No. R-7766, Lea County, New Mexico.

22 EXAMINER CATANACH: And call Case 10061.

23 MR. STOVALL: Application of Chevron,
24 U.S.A., Inc., for pool extension and contraction, Lea
25 County, New Mexico.

1 EXAMINER CATANACH: Any there any other
2 appearances in any of these cases?

3 MR. CURRENS: May it please the Examiner,
4 Daniel R. Currens, attorney from Houston, Texas,
5 appear for Amoco Production Company. I believe you
6 have an appearance letter from the Campbell & Black
7 firm in your records for me.

8 MR. CARR: May it please the Examiner, my
9 name is William F. Carr with the law firm Campbell &
10 Black, P.A., of Santa Fe. We represent Amerada Hess
11 Corporation. I do not intend to call a witness.

12 MR. CURRENS: I'll have one witness, Mr.
13 Examiner.

14 EXAMINER CATANACH: Are there any other
15 appearances?

16 How many witnesses do you have, Mr.
17 Kellahin?

18 MR. KELLAHIN: Three, Mr. Examiner.

19 EXAMINER CATANACH: Will the four witnesses
20 please stand to be sworn in.

21 (Thereupon, the witnesses were sworn.)

22 MR. CURRENS: May it please the Examiner,
23 Dan Currens for Amoco Production Company. We're not
24 the Applicant in this case or in these cases, but the
25 subject matter of the hearing regarding these matters

1 started several years ago with a prospective unit area
2 that Amoco was then the expediter of.

3 It's my intention today, just as a very
4 simple matter of background, to give a very short
5 presentation via one witness, our unitization man, as
6 to how we got to the point we are today, wherein Mr.
7 Kellahin and his witnesses will take over. That's
8 what I would like to do here.

9 EXAMINER CATANACH: You may proceed.

10 DANIEL A. JANIK, JR.

11 The witness herein, after having been first duly sworn
12 upon his oath, was examined and testified as follows:

13 EXAMINATION

14 BY MR. CURRENS:

15 Q. Would you state your name, please.

16 A. My name is Daniel A. Janik, Jr.

17 Q. By whom are you employed, Mr. Janik?

18 A. Amoco Production Company.

19 Q. In what capacity?

20 A. I'm an engineer in the regulatory affairs
21 and unitization group in the Houston region.

22 Q. All right, sir. With respect to your
23 duties in the regulatory affairs and unitization group
24 in Houston, are you familiar with the application or
25 these three cases being heard here today?

1 A. Yes, I am.

2 Q. Have you ever testified before this
3 Commission before?

4 A. No, I have not.

5 Q. Very briefly, would you tell us your
6 educational background?

7 A. I received a Bachelor of Science degree in
8 petroleum engineering from Texas A & M University in
9 May of 1977.

10 Q. And what did you do after receipt of that
11 degree?

12 A. I became employed by Amoco Production
13 Company.

14 Q. What sort of duties have you had with Amoco
15 Production Company?

16 A. I've had a number of operation engineering
17 assignments in two district offices, have had a
18 division reservoir engineering assignment and have
19 worked on the unitization projects for the Houston
20 region for the last six years.

21 Q. And with respect to your work on the
22 unitization projects, is the area that will be
23 proposed today for inclusion in the Eunice Monument
24 South Unit, one that you have worked on?

25 A. Yes, it is.

1 MR. CURRENS: I would submit Mr. Janik, who
2 I want to testify as an expert in the field of
3 unitization.

4 EXAMINER CATANACH: He is so qualified.

5 Q. Just very briefly, what is the proposal
6 here today--the unit proposal, at least?

7 A. On the unit aspect, it's a proposal for an
8 expansion of the existing Eunice Monument South Unit
9 to include what we've called the Eunice Monument West
10 unit area.

11 Q. All right, sir. I believe on the board
12 there's a map that's already been put up. Using that
13 map as a reference, tell us where that acreage is.

14 A. The large area designated as Unit Area A is
15 the existing Eunice Monument South Unit area or EMSU,
16 and to the north of that, a smaller area is designated
17 and that's about 3,000 areas, that's the expansion
18 area or Unit Area B as indicated on the map on the
19 wall, and that's the Eunice Monument West area, which
20 is to be included as an expansion to the EMSU.

21 Q. That's not your exhibit, is it?

22 A. No, it's not.

23 Q. You're just using it because it just so
24 happens that it's very handy to be there and to be
25 used?

1 A. Yes, sir.

2 Q. When were the unitization efforts? The
3 expansion area was called the Eunice Monument West
4 Unit?

5 A. That's correct.

6 Q. All right. When were the unitization
7 efforts for the Eunice Monument West Unit commenced?

8 A. Amoco conducted the first working interest
9 owners' meeting for the Eunice Monument West Unit on
10 May 13, 1986.

11 Q. Had the Eunice Monument South Unit already
12 come into being at that time?

13 A. Yes, it had.

14 Q. What working interest owners participated
15 in the discussions and unitization activity with
16 respect to the new unit you were talking about, the
17 west unit?

18 A. There were six working interest owners that
19 participated, Amoco, ARCO, Chevron, Conoco, Amerada
20 Hess and Shell Western E & P.

21 Q. All right, sir. Now, what did those
22 working interest owners do?

23 A. At the initial working interest owners'
24 meeting, they set up a technical committee to perform
25 a study of the area.

1 Q. Were those studies made?

2 A. Yes, they were.

3 Q. What did they conclude?

4 A. They concluded that the area, as shown in
5 the--I think it has a second line that's dotted on
6 that same map on the wall, of that 3,000 acres, that
7 this was a--of the recommended boundary for an area
8 that had waterflood potential.

9 Q. And so, essentially, said it had waterflood
10 potential, I assume that they found it would be
11 feasible to commence waterflooding in this new roughly
12 3,000-acre area?

13 A. That's correct.

14 Q. They determined the feasibility and the
15 appropriate boundary for this?

16 A. That is correct.

17 Q. All right. What options did they consider
18 as to how to best proceed?

19 A. There were three basic options, as options
20 for unitizing this area, this 3,000 acres plus or
21 minus. First, there was an option of having that area
22 included in a larger Monument Unit that Amerada Hess
23 was proposing, the second option was to have this EMWU
24 unit stand alone and be its own separate unit, or the
25 third option was to have this EMWU area unitized as

1 part of the expansion of the existing Eunice Monument
2 South Unit.

3 Q. What course did the working interest owners
4 think would be the best one to follow?

5 A. After going through the technical work,
6 with their technical committee, the working interest
7 owners then went through and came up with what they
8 proposed as the best feasible option, that being the
9 expansion in the EMSU; the reasons being first, the
10 first option of putting the area into a larger
11 Amerada's proposed Monument Unit, the complexity of
12 the Monument Unit seemed to indicate that this was
13 going to take a long time. The Monument field had an
14 area with a gas cap, it had an area that had
15 waterflood potential, had other areas that did not
16 have waterflood potential. For that reason, timing
17 looked like a key reason, that it was going to take a
18 long time if it would be ever possible to put together
19 a large Monument Unit.

20 The second option, then--

21 Q. Okay. Now, if I could summarize that one
22 briefly, it was very large, it had a big diversity of
23 pay characteristics and it would probably take a long
24 time to put it together?

25 A. That's correct.

1 Q. That left two options?

2 A. Yes.

3 Q. What about those two options? How did they
4 decide what was the better of those?

5 A. The two options remaining were then that
6 the Eunice Monument West Unit stand alone or part of
7 an expansion in the EMSU. And primarily two key
8 factors dictated why it was the recommendation of the
9 working interest owners to go for the expansion.

10 The first primary--well, they're both
11 really interrelated, too. The first had to do with
12 economics. Since the existing EMSU was already in
13 existence with the water facilities established, it
14 would be much simpler and less expense to tie into an
15 existing waterflood facility as opposed to starting
16 from scratch and putting in their own waterflood
17 facility for Eunice Monument West.

18 There's also economics of scale if you had
19 it in a combined expansion type format scenario where
20 there could be savings and possible benefits down the
21 road in the waterflood.

22 The second that is tied to the economics,
23 also, is the timing. It was felt by the working
24 interest owners that timing of the expansion could
25 occur quicker and allow for injection in the expansion

1 area quicker in an expansion as opposed to a
2 stand-alone unit, and therefore get the secondary
3 recovery oil production beginning sooner.

4 Q. So that led them to determine, among
5 themselves, that they wanted to join the Eunice
6 Monument South Unit?

7 A. That is correct.

8 Q. I take it they, then, approached Chevron
9 with respect to that?

10 A. Yes. A ballot was distributed to the
11 working interest owners of the EMWU area, and this
12 ballot passed and Amoco sent a formal application
13 letter to Chevron for expansion into their EMSU on
14 October 31, 1989.

15 Q. All right, sir. So, summarizing briefly,
16 they made a decision based on economics and timing to
17 move forward by joining another unit, and they advised
18 Chevron.

19 Is it your opinion that by starting this
20 thing in that manner and utilizing the infrastructure
21 that already exists, utilizing the economies of scale
22 and starting the project faster, that the probability
23 is that you'll recover more oil than you would with a
24 lower, slower, longer down the line unit that lasts
25 for many more years?

1 A. That can be of benefit, that's correct.

2 Q. All right, sir. So, in 89 you advised
3 Chevron?

4 A. That is correct, October of 89.

5 Q. So, since that time they've been acting to
6 accomplish these ends?

7 A. That is correct.

8 Q. Do you have anything further to add?

9 A. No.

10 MR. CURRENS: That's all I have of this
11 witness. Just a brief background of how we got to
12 this point.

13 EXAMINER CATANACH: Any questions of this
14 witness? If not, he may be excused.

15 MR. KELLAHIN: Mr. Examiner, at this time I
16 would like to call Mr. Jimmy Dolan. Mr. Dolan is a
17 reservoir engineer for Chevron.

18 JIMMY DOLAN

19 the witness herein, after having been first duly sworn
20 upon his oath, was examined and testified as follows:

21 EXAMINATION

22 BY MR. KELLAHIN:

23 Q. Mr. Dolan, would you please state your name
24 and occupation?

25 A. My name is Jimmy Dolan. I'm a reservoir

1 engineer.

2 Q. Have you, on prior occasions, Mr. Dolan,
3 testified before the Division as a reservoir engineer?

4 A. Yes, sir, I have.

5 Q. Would you describe for the Examiner what it
6 is that you perform for your company with regards to
7 any of the three applications pending before this
8 Division?

9 A. Yes, sir. I'm the reservoir engineer that
10 took over the expediter role as far as reservoir
11 engineering was concerned after Amoco passed the
12 operations on to Chevron.

13 I have prepared the C-108 exhibit. I have
14 prepared several exhibits for expansion of the EMSU.
15 I have been instrumental in the working interest
16 owners' meeting that we had in February 1990, this
17 year.

18 I have prepared the basis of admission with
19 the concurrence of my management. I have been
20 involved in significant activities of the proposed
21 expansion.

22 Q. At this point, Mr. Dolan, have you
23 assimilated sufficient engineering and geologic
24 information with you and the other technical experts
25 involved in this project to reach certain conclusions

1 with regards to the applications before the Examiner
2 today?

3 A. Yes, sir, we have.

4 MR. KELLAHIN: We tender Mr. Dolan as an
5 expert reservoir engineer.

6 EXAMINER CATANACH: He is so qualified.

7 Q. Let me have you, for the record, identify
8 what's on the wall as display number one. What is
9 that, sir?

10 A. This is a map constructed by our legal
11 department, which shows the Eunice Monument South Unit
12 as it currently exists and the proposed expansion.

13 The proposed expansion area, as Dan Janik
14 testified, is Unit Area B. That consists of 3,000
15 acres. Of this acreage there's approximately 76
16 percent federal lands, 13 percent state lands and a
17 little under 11 percent fee lands.

18 The area shown as Unit Area A is the
19 existing Eunice Monument South Unit that consists of
20 14,190 acres. Of this, the existing unit, federal
21 lands are 27.17 percent, state lands approximately 50
22 percent, and fee lands, a little over 20 percent.

23 Q. Based upon your studies, have you reached
24 conclusions that are consistent with the opinions
25 expressed by Mr. Janik when he testified before the

1 Examiner?

2 A. Yes, sir, we have.

3 Q. In your opinion, is expansion of the
4 existing unit to exclude the west unit, this expansion
5 Area B, an appropriate and suitable solution for the
6 additional recovery of oil hydrocarbons from the two
7 pools?

8 A. Yes, sir, that's correct.

9 Q. Let me direct your attention, Mr. Dolan, to
10 Exhibit No. 2. I won't ask you to read all these
11 entries on this chronology, but identify it for us.

12 A. This is the chronology of the development
13 of the existing Eunice Monument South Unit.

14 Q. At what point in this exercise did you
15 personally become involved in the project?

16 A. For the Eunice Monument South Unit, I
17 became involved in March of 1988.

18 Q. Summarize for us what is the current status
19 of the existing main unit in terms of its operations.
20 If you would, give the Examiner a short overview of
21 where we are with that project.

22 A. Okay. The existing unit was unitized on
23 February 1, 1985. We started workover operations to
24 convert injection wells from 1985, early 85, until
25 November of 1986, when we converted the first 38 wells

1 to injection.

2 Between the November 86 date and June of
3 1988, we had converted a total of 133 wells, and
4 that's when we effectively went full-scale injection
5 on the unit.

6 We have currently injected a little over
7 100 million barrels of water to date and we, as a
8 matter of interest, we bottomed out in the unit
9 producing approximately 1100 barrels of oil a day in
10 May 1987. We're currently making just under 1400
11 barrels a day. That's about a 300 barrel a day
12 increase.

13 We have most all of the wells converted
14 that we plan to convert. We have effectively all of
15 the producer drilling completed. What we've seen to
16 date has been some positive response that the
17 waterflood is responding either as good as or a little
18 better than we had expected, based on the technical
19 committee's prediction.

20 Q. Let me have you turn to Exhibit No. 3.
21 Would you identify that for us?

22 A. Yes, sir. That's a unit total production
23 and injection curve for the existing Eunice Monument
24 South Unit.

25 Q. What does this tell you?

1 A. Primarily, the main thing that we see is
2 what I previously mentioned, that the oil production
3 is increasing. Secondly, our gas is dropping which,
4 if we had a GOR curve you could see that the GOR was
5 dropping, which is an indication that the waterflood
6 is performing, as expected, positively.

7 Q. When you examined the engineering and
8 geologic parameters that are at work or functioning in
9 the existing unit, and examined the engineering or
10 geologic components of the expansion area, are they
11 similar or dissimilar?

12 A. They're very similar.

13 Q. Do you see any reason not to apply the
14 solutions utilized by the working interest owners in
15 the main area to the expansion area?

16 A. No, I do not.

17 Q. Describe for the Examiner what the
18 mechanics are, in a general way, for the participation
19 formula in the existing area?

20 A. The participation formula for the existing
21 Eunice Monument South Unit consists of 50 percent
22 weighted on cumulative oil production, 40 percent
23 weighting on remaining primary, and 10 percent
24 weighting on current production. And the dates
25 associated with the cum are cumulative through

1 9/30/82, the remaining primary from 10/1/82 to the
2 economic limit, and current production from 1/1/82
3 through 9/30/82.

4 Q. At the time the working interest owners
5 requested that Chevron be the operator of the
6 expansion area and that that expansion area be an
7 extension as opposed to a stand-alone project, were
8 you advised of the proposed boundary for that unit
9 expansion area?

10 A. Yes.

11 Q. Do you see any disagreement or any problem
12 with utilizing that boundary for the expansion area?

13 A. No, I do not.

14 Q. What is the proposal for the participation
15 formula for the expansion area?

16 A. Same as the existing unit.

17 Q. Do you see any problems with doing that?

18 A. No, I do not, and the working interest
19 owners did not.

20 Q. Let me have you turn to Exhibit No. 4.
21 Identify that for us?

22 A. That's the chronology of events for the
23 proposed Eunice Monument South expansion area.

24 Q. Let's go to that technical report generated
25 by the study group that gave you the information,

1 then, that you utilized in making your studies. And I
2 want to direct your attention to what's marked as
3 Exhibit No. 5. Identify that for me, please.

4 A. Yes. This is the addendum to the technical
5 committee report dated February 19, 1988, prepared by
6 the technical committee for the proposed Eunice
7 Monument West Unit area.

8 Q. I don't propose to take you through that
9 document. Summarize it for me. What did you utilize
10 it for and what does it tell us?

11 A. The primary thing in this technical
12 committee report is what Dan Janik testified before;
13 we could have a stand-alone unit or an expansion
14 area. The information for these two cases is
15 presented in this technical committee report. You
16 utilize this data for individual working interest
17 owner's evaluations of the stand-alone versus
18 expansion case.

19 Secondly, the technical committee decided
20 that based on Rule 70-7-10 of the Statutory
21 Unitization Act, that the expansion area and existing
22 unit area should be treated as two separate entities
23 as opposed to combining the two and having one
24 100-percent working interest. They said that it
25 should be two separate tracts with 100 percent working

1 interest in each tract, having a common operating
2 objective.

3 Q. They would be like a unit that had two
4 different participating areas?

5 A. Right. However, we would share common
6 injection systems and a common operation.

7 Q. The equities established for the interest
8 owners that participate in the original unit remain
9 the same?

10 A. Correct. That's right.

11 Q. The participation and equities established
12 for the interest owners in the expansion area remain
13 fixed within that boundary?

14 A. That's right.

15 Q. And the two work together with the common
16 objective of increasing ultimate recovery from
17 secondary operations?

18 A. That's right.

19 Q. Based upon that background, then, what,
20 then did you do?

21 A. We produced to prepare information for a
22 working interest owners meeting, and that working
23 interest owners meeting was scheduled February 27,
24 1990. The primary objective of the meeting was to
25 share the proposal of the expansion with the existing

1 Eunice Monument South Unit and the proposed Eunice
2 Monument South expansion or the Eunice Monument West
3 working interest owners.

4 Secondly, we developed a basis of admission
5 of the proposed expansion area into the existing unit
6 and proceeded to have the working interest owners'
7 meeting.

8 Q. Let's go through that exhibit. It's
9 Exhibit No. 12. So we get these in the record, Mr.
10 Dolan, let's go ahead and identify the exhibits from
11 Exhibit 6.

12 MR. KELLAHIN: And then we'll focus on
13 Exhibit No. 12, Mr. Examiner?

14 A. Exhibit No. 6 is a letter from Amoco, as
15 expediter of the unit, on revising the remaining
16 primary reserves for the proposed participation
17 formula for the Eunice Monument West Unit area.

18 What this letter states is that those
19 leases that have a greater life than 39 years or
20 tracts that have a greater life than 39 years, an
21 economic life would be placed on that lease of 39
22 years and six of the total 10 Grayburg-San Andres
23 tracts, that 39 year life was applied.

24 What this did was satisfy some of the
25 working interest owners' concerns regarding the

1 remaining primary reserves.

2 Q. Let's go to Exhibit No. 7. Identify it and
3 describe that.

4 A. Number 7 is a letter from Amoco stating
5 that the technical committee report had been approved,
6 and attached to this is a ballot to the working
7 interest owners for approval of the technical
8 committee report, participation formula, and Amoco's
9 application to Chevron for expansion of the Eunice
10 Monument South Unit to include the Eunice Monument
11 West Unit area.

12 Q. Exhibit No. 8?

13 A. Exhibit 8 is the working interest owner
14 ballot results based on the previous letter or exhibit
15 that I just discussed. And the results from the
16 working interest owners show 81 percent--just a little
17 over 81 percent for, four percent against, and about
18 14 percent no reply.

19 So this approved the technical committee
20 report, the participation formula, and it allowed
21 Amoco to apply to Chevron for expansion of the EMSU.

22 Q. Exhibit No. 9?

23 A. Number No. 9 is the formal application by
24 Amoco applying to Chevron for expansion of the EMSU as
25 well as to act as expediter on the proposed Eunice

1 Monument South Unit expansion.

2 Q. Exhibits No. 10?

3 A. Exhibit 10 is the formal acceptance of
4 Amoco's request of Chevron to act as expediter and for
5 Chevron to apply to the EMSU working interest owners
6 for expansion of the EMSU to include the EMWU area.

7 Q. All right. Exhibit 11?

8 A. Exhibit 11 is the call to working interest
9 owners meeting. It's dated February 8, 1990. For the
10 working interest owners of the Eunice Monument South
11 Unit as well as the working interest owners of the
12 Eunice Monument West Unit area.

13 Included in this call to working interest
14 owners' meeting, is the proposal for the expansion as
15 well as the basis of admission. Included in the
16 proposal is the location of the expansion area with a
17 legal description and a map. The investment
18 adjustment which would be required to buy into the
19 existing unit to purchase a portion of the existing
20 injection system, capital costs on the common
21 injection system, how it would be split, operating
22 expenses on the common system and how they would be
23 shared between the two areas, the existing and the
24 expansion area.

25 Development costs for the expansion area

1 will all be maintained separately with the West Unit
2 area paying its share for developing the expansion
3 area. Production and proceeds would be held separate
4 and accounted for separately, and lastly,
5 participation would be held separate in the two areas
6 and each area would be treated as a separate tract.

7 Q. Let's go now to Exhibit 12.

8 A. Okay.

9 Q. Describe for us how this package of
10 information that was utilized by the working interest
11 owners for their meeting, describe how it's
12 organized. What's in it?

13 A. Okay. For the Eunice Monument South Unit
14 and joint West Unit working interest owners' meeting,
15 we broke this into two main sections; first being the
16 status of the Eunice Monument South Unit and second
17 being the proposed expansion of the Eunice Monument
18 South Unit.

19 Near the front is some geologic information
20 regarding where the EMSU is located. We have a
21 structure map on the Grayburg, the number of logs
22 originally that we had on the unit, the number of logs
23 that we currently have on the unit, RFT pressure
24 points, cored wells. It just covered several things
25 regarding geology.

1 The next section which is of interest is on
2 page 15.

3 Q. Let's turn to page 15.

4 A. That's the predicted secondary waterflood
5 or secondary recovery response from the existing
6 Eunice Monument South Unit. What you see is, along
7 the bottom you see the technical committee assumed a
8 start-up date of January of 1985. They assumed it
9 would start up in January of 1985. It didn't actually
10 start up until November of 86 when we had 38 wells put
11 on line, and full scale was June of 88.

12 What we've done with the prediction, you
13 see the technical committee prediction and the current
14 prediction. We've shifted that to reflect a later
15 than anticipated start-up. Also you see the original
16 oil in place for the existing area, about 671 million,
17 and predicted secondary reserves of about 65.8 million
18 barrels, and that's a secondary and primary of about
19 .49.

20 Q. Does it jeopardize the predictions to
21 include the expansion area?

22 A. No. It has no, effect.

23 If you would just turn to page 17, there's
24 another page of interest.

25 As of January of 1990, those wells that

1 have shown waterflood response are shown as the
2 stars. At that time we had 53 wells. The waterflood
3 response that we've seen throughout the field has not
4 been uniform. We don't see wells going from one to
5 100 barrels a day, but we see some wells going from
6 one barrel a day to three barrels a day with a GOR
7 dropping, and we've seen some go from two or three
8 barrels up to 70 barrels a day. So we're seeing a
9 positive response from the existing unit.

10 Q. What if anything has occurred with the
11 gas/oil ratio?

12 A. It's dropped.

13 Q. So the next document of interest in this
14 exhibit?

15 A. That would probably be, I briefly want to
16 touch on the activities we had.

17 Q. Is that summarized in here?

18 A. Not really.

19 Q. All right. Just tell us.

20 A. We've drilled 54 wells in the unit, we've
21 worked over over 400 wells to date, we've spent \$50
22 million of the appropriated \$60.6 million and we're
23 underexpended, we're about to close the project out.
24 We've taken several cores in the unit, we've got
25 significant log information, RFT information, special

1 core analysis.

2 Basically, I'm trying to say that we have a
3 pretty good grasp on the reservoir, we have good
4 reservoir information and we're well on our way to
5 hopefully seeing a significant waterflood response in
6 the next two to five years.

7 Q. Let's look at that portion of Exhibit No.
8 12 that deals with the topic of the expansion area.

9 A. Uh-huh.

10 Q. One of the things Mr. Janik described for
11 us is the decision made by the working interest owners
12 to proceed with an expansion as opposed to a
13 stand-alone concept?

14 A. Right.

15 Q. Do you have any economics in this exhibit
16 to demonstrate what the parties were dealing with when
17 they made the decision to pursue an expansion?

18 A. Yes. Page 55 is a comparison of an
19 expansion versus a stand-alone unit. As you can see
20 under the expansion column, we'll spend about \$10
21 million. This is not total cost for the project, but
22 it does represent costs that are equivalent on
23 expansion versus stand-alone.

24 What you see on the stand-alone side is
25 approximately \$11.2 million. Therefore, the

1 stand-alone case is about \$1 million more than the
2 expansion case.

3 Q. Okay. One of the topics discussed and one
4 of the considerations the Examiner must make in
5 entering the Order is the method by which parties
6 would participate, the capital distribution, and the
7 investment made for participation.

8 Describe for us your recommendation, and
9 what is the consensus on that topics? Is there a
10 wellbore contribution in the expansion area? Describe
11 for us some of the details of that contribution, if
12 you will.

13 A. The unit agreement will be the same as the
14 existing unit. The wellbore penalty, which will be
15 applied on a 40-acre tract where there's an existing
16 well that has produced or is currently in the Eunice
17 Monument, if a working interest owner does not
18 contribute that well, the \$100,000 penalty will be
19 paid as a penalty and then the working interest owners
20 will share in the cost of drilling another well in
21 that location. And I think we have two wells where
22 that will apply at this time; the Amoco-Gilluly #7,
23 which is a Eumont gas well, and the Chevron Bell "G"
24 #1, I believe it is.

25 Q. In making the study for the working

1 interest owner's meeting, were there any projections
2 made for the potential success of the secondary
3 recovery efforts?

4 A. Yes, and that's shown on page 59.

5 Q. Describe for us what this means to you.

6 A. The straight decline curve, shown as
7 primary decline at about 5.19 percent per year, is the
8 base production. That's the production that we would
9 realize, the unit total production, if no waterflood
10 operation took place. The small dashed line is the
11 predicted waterflood response.

12 As you can see, in early 1991 you see a
13 drop in production, and that's due to the conversions
14 we make. We're going to convert up to as many as 38
15 wells in the unit from--excuse me. We will convert
16 wells in the unit to have a total of 38, and that's
17 ultimate, assuming lease line agreements, but we'll
18 get a drop in production due to the conversions.

19 We'll see this drop and then a shallow
20 decline until we reach first response in the first
21 quarter of 1996 and a peak response in the first
22 quarter of 2001 at about 4,150 barrels a day.

23 We'll hold that production constant for
24 approximately two years and then decline at 14.4
25 percent to the economic limit. We've also shown the

1 estimated secondary reserves associated with this
2 project, and these are incremental reserves over and
3 above the primary production of 13.5 million barrels.

4 Q. Let's summarize for the Examiner the basis
5 for admission into the unit. I think you have some of
6 that summarized beginning on page 60?

7 A. Yes.

8 Q. With the working interests having made the
9 decision to pursue the expansion of the EMSU to
10 include this western area, what were the issues, then,
11 in order to accomplish that objective?

12 A. There were three things that we looked at
13 that developed the basis of admission. The first
14 being to determine an equitable investment
15 adjustment. The investment adjustment is the cost to
16 buy into the existing unit's injection system.

17 If you just quickly turn over to page 61,
18 that's what I'm talking about, the injection station,
19 water supply wells, water disposal well, and a portion
20 of a north running trunk line. What we ultimately
21 determined in and the working interests agreed upon
22 was an investment adjustment of \$1,060,000 plus or
23 minus a thousand dollars.

24 The second issue was to determine an
25 equitable method of sharing capital expenditures on

1 this common injection system, and the agreed method to
2 do this was to share the capital expenditures based on
3 a 17.24 percent west unit area and an 82.76 percent
4 existing unit area split. And the working interest
5 owners agreed upon this.

6 Q. That's 17 versus 82 percent?

7 A. Yes.

8 Q. That's based on what?

9 A. It's based on--

10 Q. How do you get that number?

11 A. If you turn over a few pages to page 63, we
12 looked at 11 different components that could be used
13 for sharing capital expenditures or how we would split
14 between the west unit and the south unit. We couldn't
15 determine which would be the most equitable or the
16 most fair to use. Therefore since they all looked
17 fairly similar, we averaged them all and came up with
18 17.24 percent for the west unit and 82.76 for the
19 south unit, and again the working interest owners
20 approved these.

21 Q. Is that one in which you as an engineer
22 have agreement and recommendations to the Examiner
23 that he adopt?

24 A. Yes.

25 Q. Were there any other issues?

1 A. Yes. The last issue was determining an
2 equitable expense sharing arrangement on the common
3 injection facility that would be shared between the
4 two areas.

5 Q. I've lost you. You mean the day-to-day or
6 month-to-month operating expenses?

7 A. Yes, the expenses on the injection station
8 that we will pay the investment adjustment for, or how
9 will we share expenses on the injection facility,
10 water supply wells, water disposal wells, that
11 injection line.

12 What we determined was the best way to
13 share it was by direct measurement approach. We'll
14 measure the injected fluids that go to the west area,
15 injected fluids that go to the south unit, the water
16 supply that's required in the west unit and the water
17 supply required in the south unit, and proportion
18 expenses based on these direct measurement of water
19 volumes on a monthly basis.

20 Q. In your opinion, is that fair and
21 reasonable?

22 A. Yes, sir, I believe it is very fair.

23 Q. Anything else on this topic, then, about
24 the issues involved in achieving--obtaining the goal
25 of admission into the existing unit?

1 A. No. This pretty much took care of the
2 basis of admission.

3 Q. Okay. Summarize then for us what the major
4 points were as a result of this working interest
5 meeting in February of 1990.

6 A. The first point would be an update of the
7 EMSU fore the working interest owners of the existing
8 unit. Secondly was proposing the Eunice Monument
9 South Unit expansion to both working interest owners,
10 well knowing that the west unit working interest
11 owners knew about the proposal, and third was the
12 basis of admission for the proposed expansion area,
13 how could we admit it into the existing waterflood
14 unit.

15 Q. Having gotten to that point, what then was
16 the next thing that occurred?

17 A. We prepared the minutes of the meeting,
18 which is Exhibit 13, and the minutes of the meeting
19 basically cover in brief what was covered at the
20 working interest owners' meeting.

21 The point I want to make here was the
22 representation at the meeting. The Eunice Monument
23 South Unit, the existing unit, had 97.9 percent
24 company representation or working interest
25 representation at the meeting, and the West Unit

1 working interest owners were represented by 100
2 percent.

3 Q. After that, was there an official formal
4 ballot sent to the working interest owners?

5 A. Yes, there was. That's Exhibit 14.

6 Q. Identify and describe that for us.

7 A. Exhibit 14 was a ballot prepared on
8 February 28th, the day after the working interest
9 owners' meeting. Basically what it covered was the
10 proposed expansion of the Eunice Monument South Unit
11 to include the 3,000-acre Eunice Monument West Unit
12 study area.

13 Also included with this ballot was the
14 basis of admission for the expansion area. I have the
15 proof of mail out with the return receipts on the
16 back, as well as the ballot tally on that ballot to
17 the working interest owners of both the Eunice
18 Monument South Unit, the existing unit, and the Eunice
19 Monument West Unit working interest owners.

20 The results of that tally, the existing
21 unit working interest owners, 90.9 percent approved
22 it, zero were an against it, and 9.1 percent, no
23 reply. The West Unit working interest owners, 97.6
24 percent approved it, zero against and 2.4, no reply.

25 So, based on this ballot, we proceeded with

1 unitization efforts on the proposed expansion.

2 Q. Let me have you focus now on the expansion
3 area, and let's provide the Examiner with your
4 production curve for the production from that area.

5 In that regard, let me direct your
6 attention to Exhibit No. 15.

7 A. Okay.

8 Q. In the production curve, what's included?

9 A. On this curve we show barrels of oil
10 produced per day, barrels of water, and gas
11 production, as well as a cumeoil for the proposed unit
12 area. Currently we're making about 534 barrels of oil
13 per day, a little under 2,000 barrels of water and
14 1,263 Mcf with a cumeoil of 25.2 million barrels.

15 Q. And this is based upon how many producing
16 wells, approximately?

17 A. 78 total producers in that proposed unit
18 area over the life of that area.

19 Q. Have you developed a pattern for the
20 injection wells within the expansion area?

21 A. Yes, we have.

22 Q. Do you have a display that demonstrates
23 that?

24 A. Yes. That's Exhibit 16.

25 Q. Describe for us the concept of the pattern

1 of injection.

2 A. The proposed waterflood pattern is
3 consistent with the existing Eunice Monument South
4 Unit, Greenhill Petroleum Eunice Monument Unit,
5 Amerada Hess's proposed North Monument Grayburg Unit,
6 and it's also consistent with the Reed Sanderson
7 Unit.

8 We are on an 80 acre five-spot pattern, and
9 just to give you a quick brief over the proposed unit
10 area, the wells that have the circles around them,
11 those that have the circles with either the dot or the
12 triangle, are proposed new wells to be drilled. Those
13 with the triangles are proposed new injectors. Those
14 with the dots are proposed new producers.

15 Again, I would like to reiterates that this
16 is as compatible a pattern as you see in the EMSU
17 Monument Grayburg and the Greenhill Unit. We've
18 carried that five-spot down and forward to the
19 proposed North Monument Grayburg.

20 Q. If there's full development within the
21 expansion area of all injectors, how many injectors
22 will you have?

23 A. Full development, 38.

24 Q. What is the plan for the injector
25 arrangement on the outer edges of the expansion area

1 boundary where you approach other properties?

2 A. With management and working interest owner
3 approval, we plan to pursue lease line agreements on
4 these wells.

5 Q. When we look at the display, there are
6 certain injectors. If you look in Section 13, for
7 example, there's an injector with a circle around it.
8 What does that mean?

9 A. A proposed new drill injector.

10 Q. The legend on the bottom of the display
11 will give you the code for the various symbols used on
12 the display?

13 A. That's correct.

14 Q. Have you developed an initial plan of
15 development as operator?

16 A. Yes, I have.

17 Q. Has that been summarized in an exhibit
18 form?

19 A. Yes, Exhibit 17.

20 Q. Without giving us all the details,
21 summarize it for us.

22 A. Briefly, I would like to tell you that this
23 was the Initial Plan of Development and Operation
24 presented to the State and BLM back in April of this
25 year.

1 Primarily it consists of the information
2 regarding the drilling of the five new wells, two new
3 producers and three new injectors. We plan to work
4 over all existing producing wells, whether it be to
5 clean out, acidize, adverse, deepen, if necessary. It
6 also discusses the injection system that we have in
7 the existing unit, and the information presented
8 indicates we have approximately 130,000 barrels of
9 injection capacity, where we're currently using about
10 95,000 barrels a day. And the EMU will require
11 roughly 20,000 barrels a day.

12 The water supply wells that we use for the
13 makeup water for both units, there's currently six San
14 Andres water supply wells in the existing EMSU and
15 their capacity is 105,000 barrels of water a day, and
16 that's with the existing subpump equipment and there's
17 no problem producing sufficient quantities of water to
18 supply both of these areas with water.

19 We also plan to dismantle all of the
20 existing batteries in the proposed expansion area and
21 install one central tank battery and one satellite
22 battery which will service the whole proposed unit
23 area.

24 Q. One of the two fundamental things the
25 Examiner must decided is the prevention of waste. Do

1 you, as a reservoir engineer, having completed your
2 study, have any reservations that the waterflooding of
3 the expansion area under consolidated unit operations
4 will recover more secondary oil than the individual
5 tracts could recover by themselves?

6 A. Yes, that's correct.

7 Q. No doubt in your mind this will work that
8 way?

9 A. No doubt.

10 Q. Let's talk about the second component, and
11 that is the protection of correlative rights for those
12 interest owners within this expansion area.

13 Have you, on a tract-by-tract basis,
14 compared the value of those tracts without operation
15 under waterflood to determine whether or not they will
16 benefit on a tract-by-tract basis from expansion
17 operations and secondary recovery?

18 A. Yes, I did.

19 Q. Have you done that and prepared a display
20 to show that?

21 A. Yes. That's Exhibit 18.

22 Q. Let me direct your attention to that, and
23 before we talk about the details of did, help us
24 understand how to read it.

25 A. Okay. On the left-hand side we're showing

1 the different tracts in the proposed unit area.

2 Q. If we go to Exhibit No. 1 and look at the
3 expansion area and find the tracts on that display,
4 they will correspondence to the tracts shown on this
5 tabulation?

6 A. Yes, that's right.

7 Q. What's the next column?

8 A. The cumeoil associated with that tract
9 through 9/30/82.

10 Q. How do you get that number?

11 A. It's based on the participation formula
12 that was approved by the working interest owners and
13 the technical committee.

14 Q. You broke it out into tracts, so you look
15 at a tract and its producing well?

16 A. That's right.

17 Q. Did you have any tracts that didn't have
18 producing primary production?

19 A. We had a 40-acre area that had no producer
20 on it. However, we did not have any tracts that did
21 not have production or a cumulative production.

22 Q. When we look at the next entry, then, the
23 third column--the first column is the tract number,
24 the second column is cumeoil and the third column is
25 what?

1 A. The third column is the individual tract's
2 cumulative production divided by the total units'
3 cumulative production multiplied by the 50-percent
4 weighting factor.

5 Q. The next column?

6 A. Column C is the remaining primary as of
7 10/1/82 to the extrapolated economic limit or the
8 39-year life, depending on what was developed in the
9 letter following the addendum of the technical
10 committee report.

11 Q. How did you get the remaining primary
12 production per tract?

13 A. We looked at individual tract decline
14 curves and extrapolated the decline to the economic
15 limit.

16 The next column is remaining primary
17 reserves per tract divided by the total remaining
18 primary reserves for that proposed unit area, times
19 the weighting factor of 40 percent.

20 Column E is the current production from
21 1/1/82 through 9/30/82 for the individual tracts.

22 The next column is the individual tract's
23 current production at that time period divided by the
24 total unit current production at that same time
25 period, times the 10-percent weighting factor.

1 The last column is the individual tract
2 participation--the next to the last column. The very
3 last column is the estimated secondary reserves by
4 tract based on the participation for each tract as
5 developed from the participation formula.

6 Q. When we look at the tabulation, there is
7 also in parentheses, over certain columns, a letter?

8 A. Correct.

9 Q. What does that tell us?

10 A. That letter just helps develop the formula
11 for the participation. "A" represents--down below you
12 see an "A," which is tract cumeoil through 9/30/82.
13 For example, "C" would be the remaining primary
14 reserves for that individual tract. There's a legend
15 which represents each of the letters A through F.

16 Q. When we look at the components for the
17 participation formula, one of them is current
18 production?

19 A. That is correct.

20 Q. You've pegged that based upon September
21 30th of 82?

22 A. Current production, 1/1/82 through 9/30/82.

23 Q. Oh, I'm sorry. There's almost a 10-month
24 period, then, that you've looked at the individual
25 well production?

1 A. That's correct.

2 Q. In your opinion, is using that increment of
3 time in 1982 a fair and reasonable time by which to
4 allocate an actual production component in the
5 participation formula?

6 A. Yes, sir, I believe it is.

7 Q. Have you made any study to determine what
8 happens to the end result calculation if you change
9 that number?

10 A. There was something in the technical
11 committee information that Amoco prepared that looked
12 at 1986 information, and the net effect was very
13 little change to the participation, because each
14 tract's decline is fairly constant and you don't see
15 many disruptions in the production.

16 If you use the 1982 data versus the 1986
17 versus the currents data, barring no drilling activity
18 or secondary recovery operations or significant
19 workover activities, you shouldn't have a significant
20 change in your decline. It wouldn't have significant
21 effect.

22 Q. When we look on a tract-by-tract basis,
23 then, each tract is getting a credit for cumulative
24 oil?

25 A. Yes.

1 Q. Each tract is getting a benefit or a credit
2 for a remaining primary production?

3 A. Yes. If it had any, that is correct.

4 Q. Those tracts that still have a good
5 producing oil rate during this period of time get
6 credit for that component?

7 A. That's correct.

8 Q. Can you think of any other way to come up
9 with a formula to do this that, in your opinion, is
10 more equitable and reasonable than this one?

11 A. No, there's not a more fair and equitable
12 method.

13 Q. When we're making the judgment to support
14 your conclusion about an individual tract benefiting
15 under unit operations as opposed to a tract-by-tract
16 development, how do we look at this and reach that
17 conclusion?

18 A. The very last column, which is your
19 estimated secondary reserves by tract, to give you a
20 secondary reserve estimate for individual tracts; and,
21 as you can see, each tract has significant secondary
22 reserves, something over 80,000 barrels for each
23 tract.

24 Q. All right, sir. In your opinion, Mr.
25 Dolan, if the Examiner adopts and approves the various

1 recommendations of Chevron for inclusion in the
2 various orders, will he be doing so in a manner that
3 prevents waste and protects correlative rights?

4 A. Yes, sir.

5 MR. KELLAHIN: This concludes this portion
6 of our presentation. I need to take Mr. Dolan through
7 the C-108 waterflood process. We're prepared to do
8 that now.

9 EXAMINER CATANACH: Let's wait on that.

10 EXAMINATION

11 BY EXAMINER CATANACH:

12 Q. Mr. Dolan, as I understand it, the two
13 units are going to be actually separate units. The
14 only thing in common would be the sharing of the cost
15 of the injection facilities, is that correct?

16 A. What will be in common will be the
17 injection facility, which primarily runs to the north,
18 the injection station, the water supply wells, as well
19 as the personnel. We'll use the same pumpers and
20 primarily the same operating plan for both areas, but
21 that will be all that is.

22 Q. So the expansion area has its own operating
23 agreement and unit agreement?

24 A. No. The operating agreement and unit
25 agreement will be the same as the existing unit

1 because this is an expansion of the existing unit.

2 MR. STOVALL: A clarification on that. Do
3 I understand correctly that in effect as an operation
4 it's going to be a single unit but they will have
5 separate accounting centers, is what you're really
6 saying?

7 THE WITNESS: That's right.

8 Q. (BY EXAMINER CATANACH) The production for
9 both areas is going to be kept separate?

10 A. That's correct.

11 Q. And the participation formula that you're
12 using for the expansion area is the same one that's
13 used in the original area?

14 A. Yes, that's correct.

15 Q. Does that include the same dates, as far as
16 cumulative oil and remaining primary and all that?

17 A. Yes, it does.

18 Q. What's the commitment in the expansion area
19 so far by the working interest?

20 A. By the working interest owners? Just the
21 EMW working interest owners?

22 Q. Well, both.

23 A. Based on the ballot on the proposed
24 expansion which we did after the working interest
25 owners' meeting, it's about 90.9 percent south unit

1 for the unit expansion and 97.6 percent of the west
2 unit working interest owners for, and none against.
3 We did have some no replies.

4 Q. Will there be some sort of agreement for
5 lease line injectors between the two units?

6 A. Between the existing and the expansion
7 area?

8 Q. Yes.

9 A. No, I don't think there will be a lease
10 line agreement required. We'll preserve equities by
11 having the pattern arranged such that we'll support
12 one unit with this injector and the other unit with
13 the other.

14 Q. So they'll offset each other?

15 A. They'll be alternating injections. That's
16 right.

17 Q. Is there any additional projected recovery
18 due to secondary operations in the West Unit?

19 A. It's about 13-1/2 million. That's just
20 secondary. There have been estimates of tertiary,
21 also. Just rough estimates, though.

22 Q. That's at a .49 ratio?

23 A. Approximately .49.

24 Q. You've had no objection from any of the
25 working interest owners over your participation

1 formula?

2 A. Based on the information that I have--I was
3 not on the technical committee. I came on board
4 afterwards--but the information from the different
5 technical committee members was there was no problem
6 with the participation formula at all. No objection.

7 EXAMINER CATANACH: I believe that's all I
8 have at this time. You may proceed with the rest of
9 your examination.

10 MR. KELLAHIN: Mr. Examiner, we've
11 attempted to consolidate the requirements for the
12 C-108 filing into what is marked in this black book as
13 Exhibit 19. This also represents Mr. Dolan's work and
14 those of other technical people on behalf of Chevron
15 to comply with requirements of the C-108 filing.

16 FURTHER EXAMINATION

17 BY MR. KELLAHIN:

18 Q. Let me have you describe for the Examiner
19 how you've organized your exhibit book for the C-108
20 requirements, Mr. Dolan.

21 A. Basically, the book is organized as the
22 C-108 form is laid out, with the first section being
23 the formal form C-108 for all proposed injection wells
24 in the expansion area. This was completed by me and
25 others in Chevron's organization and signed 7/9/90.

1 Q. If we turn behind the first tab, it says
2 typical injector schematic?

3 A. Right. We have three different--six
4 different typical injection schematics. The six
5 different schematics represent different casing or
6 open hole or perforation arrangements in the proposed
7 injection wells in the area.

8 Basically, the first one represents the
9 proposed new injection well in the expansion area.
10 We'll have two strings, a surface string and a
11 production string, and it will be cased to TD, have
12 perforations as well as an injection packer, IPC
13 tubing, and circulated packer fluid behind the
14 tubing.

15 The next few schematics represent the
16 different arrangements, casing arrangements, like, for
17 example, the second is two strings of casing very
18 similar to a new well. We have three of these wells
19 in the proposed expansion area.

20 The third is two strings with open hole and
21 casing perforations. We have one of these. The next
22 is three strings with open hole and there are 16 wells
23 with this arrangement. The next is three strings with
24 open hole and perforations, seven wells that fit this
25 criteria, and the last being three strings with a

1 liner, and we have eight wells that fit that
2 criteria.

3 The next section is the area of review
4 map. This is the map that encircles the half-mile
5 radius around each proposed injection well. We have
6 looked at and prepared schematics on all wells which
7 are within one-half mile of each proposed injection
8 well. Instead of drawing individual circles around
9 each well, I've just consolidated the circles. And,
10 as a matter of information, we've gone a little bit
11 further out than the half-mile radius just to satisfy
12 ourselves that we didn't have any problem wells.

13 The map also indicates the status of the
14 wells in the areas with, for example, gas well, oil
15 well, shut in, TA'd, PA'd. Also shown on the map is
16 the proposed Eunice Monument Expansion Area B
17 well-numbering scheme, starting from 850 running
18 through well number 924.

19 Q. Within the area of review, did you find any
20 problem wells?

21 A. No, sir, we didn't. No problem wells.

22 Q. Within this area when we look at producing
23 wells that are producing below the flood formations,
24 are you satisfied that each and every of those
25 producing wells has a cement integrity that separates

1 the flood formation from the casing of that producing
2 well?

3 A. To the best that I can remember, we had
4 very few, possibly three or four wells, maybe as many
5 as six, that went below the proposed unitized
6 interval. And those that did, they did have adequate
7 cement. All wells that I've reviewed have adequate
8 cement covering the proposed unitized interval. This
9 is based on either a top of cement information that
10 we've received from the well file at the OCD, or it's
11 based on the formula you gave us with a 30-percent
12 loss and a 1.32 cubic foot per sec yield on the
13 cement.

14 Q. When we look at plugged and abandoned
15 wells, have you provided schematics or information
16 with regards to plugged and abandoned wells so the
17 Examiner will be able to see--

18 A. Yes, sir, I have. There's three Section
19 6's, well schematics inside the unit area, well
20 schematics outside the unit area, and the third
21 portion of Section 6 is plugged and abandoned wells.
22 There are 10 plugged and abandoned wells in the area
23 of review. Two of these are wells that will be
24 wells--one of these is a well that will be reentered
25 and put in the unit as a unit well.

1 Q. In your opinion, were any of the plugged
2 and abandoned wells so poorly plugged and abandoned
3 that they would constitute problem wells?

4 A. No, sir, they were all plugged effectively,
5 based on my opinion. As well, we talked to Jerry
6 Sexton of the local OCD, and he has a copy of this
7 book. Based on what--he hasn't called us and told us
8 about any problem wells yet. We presented this
9 information to him, also.

10 Q. Did you see any wells that would serve as a
11 source of conduit by which flood fluids would move out
12 of the flood formation into possible freshwater sands?
13 No problems like that?

14 A. No. No. None.

15 Q. Let's turn, then, to the information behind
16 the red tab? What's in the next portion of this book?

17 A. I've prepared three tables--

18 Q. I'm sorry. All the tabs are not the same
19 color?

20 A. No, they're not.

21 Q. I'm looking at a tab that says data tables,
22 area of review, Roman numeral VI?

23 A. Yes.

24 Q. All right.

25 A. I prepared three different tables, with the

1 first table being all wells in the half-mile radius of
2 review with the left-hand column being the proposed
3 well number for the proposed expansion well, whether
4 or not it will be a water injection conversion, the
5 lease name, well number, unit, section, township and
6 range, tract number, and the proposed unit area,
7 operator, field pool, New Mexico OCD class, whether
8 it's a Eumont oil well, Eumont gas, Eunice Monument
9 oil well, and additional information such as TA'd,
10 PA'd, et cetera.

11 The next table, which is approximately four
12 pages over, just represents those wells that will be
13 included in the unit as we know them now, and with the
14 associated API number. And this was basically to
15 satisfy the State and BLM. They require that you put
16 the API numbers on the proposed wells.

17 The last table is each proposed injection
18 well in the proposed unit area and its actual footage
19 location as it's located in the proposed expansion
20 area. And on the bottom we have tentative locations
21 for the proposed new injection wells. Those are the
22 three tables that we prepared.

23 Q. If the Examiner in entering orders in this
24 case utilizes the last tabulation, he will then have a
25 complete list of all proposed injection wells for the

1 expansion area?

2 A. As we know them now, that's correct.

3 Q. You propose that he include an
4 administrative procedure for the additional injectors
5 that you may need?

6 A. That's correct.

7 Q. Behind the next tab, which says well
8 schematics inside unit area?

9 A. That's correct.

10 Q. What does that mean?

11 A. We prepared well sketches on each and every
12 well, in this section, anyway, that falls within the
13 proposed boundaries of the proposed unit area.

14 To the best of our ability we completed
15 these sketches with the information that we had and
16 that we found at the OCD. Primarily all of these
17 sketches were prepared from the local Hobbs Division
18 OCD office well files.

19 Q. Rather than try to present in a tabular
20 form all the information required for the C-108,
21 you've gone to the extra effort of preparing that
22 information on individual well schematics?

23 A. That's correct.

24 Q. When we leave that section--

25 A. When you leave that section you move into

1 the well schematics for wells outside of the proposed
2 unit area but within the half-mile radius of review,
3 with the inclusion of a few extra wells.

4 Q. And when we talk about problem wells, I'm
5 talking about any wellbore within, then, the half-mile
6 area of review, and you find none?

7 A. I found none.

8 Q. When we leave that section we then get into
9 the plugged and abandoned wells?

10 A. That's correct, and we have 10 plugged and
11 abandoned wells within the half-mile radius of
12 review. As I mentioned earlier, we have one well that
13 will be reentered and used as an injection well.

14 Q. Let's turn now to the next information and
15 talk about your summary of your proposed operations?

16 A. Okay. Our proposed average and maximum
17 injection rate will be approximately 666 barrels a
18 day, and that was the rate that we were maintaining at
19 the existing unit, and that was based on a couple of
20 month's ago information, and a maximum daily rate of
21 approximately 800.

22 We might vary from this a little bit;
23 however, we plan to maintain our injection pressure as
24 our controlling point and that will be maintained at a
25 .2 psi per foot gradient, which represents

1 approximately 740 pounds, and that's at a 3700 foot
2 top perforation using our fluids. Quickly, the source
3 of the injection fluid, like I mentioned earlier, was
4 from the six San Andres water supply wells in the
5 existing unit.

6 Q. Are you experiencing any type of production
7 problems, operational problems, or any water
8 incapability issues with the existing unit?

9 A. No, we're not. As well, we prepared--we
10 caught samples from the producing wells in the
11 proposed expansion area as well as samples from the
12 water supply wells, and that's the next water sample
13 section, as well as the injection station water, and
14 ran some compatibility tests, and based on Martin
15 Water Lab information, there's no compatibility
16 problems.

17 Q. What about your surface pressure limitation
18 for your injectors? Are you going to stay below the
19 Division guidelines of .2 psi per foot of depth?

20 A. Yes, sir, up until the time we can run
21 step-rate tests and prove that we need to go to a
22 little higher injection pressure.

23 Q. Let's go to the next tab. This is the
24 geologic summary?

25 A. This is correct. This was prepared by our

1 geologist who will testify today. It just gives a bit
2 of information about the three different formations in
3 the proposed unit area, with the first being the
4 Queen. The Queen will consist of the Eumont, which is
5 a small portion is that will fall in the unitized
6 interval; the Grayburg, which is the primary flood
7 interval for the proposed expansion area, and then the
8 San Andres, and that's primarily our water supply
9 source.

10 Q. Based upon the information supplied to you,
11 and your own personal knowledge, are there any faults
12 faulting or hydrologic connections between the flood
13 formation and shallow freshwater sands?

14 A. No, sir, none. The next page, just
15 quickly, discusses the freshwater aquifers in the
16 area.

17 Q. What's our deepest freshwater aquifer in
18 the area?

19 A. Santa Rosa. It's about 640 to 650 feet
20 deep.

21 Q. Has the practice been in the unit area and
22 the expansion area to have casing to protect the
23 freshwater sands?

24 A. Yes, sir, that has been the practice. As a
25 matter of information, there's a Rustler anhydrite

1 that falls below the Santa Rosa, which is a good
2 impermeable barrier to isolate the producing
3 formations from the freshwater zones.

4 Q. That's widely believed to be the separation
5 of the fresh water from lower zones and relied upon by
6 Chevron and the others in the industry?

7 A. As best that I understand it, that's
8 correct.

9 Q. You haven't had any water flows on the
10 surface of the existing unit, have you?

11 A. We might have had a couple, yes, sir.

12 Q. You've had difficulty with an injector or
13 something like that?

14 A. Occasionally we've had a casing leak and it
15 comes out the braiden head. What we'll do is go in
16 there and squeeze it, braiden head squeeze, and
17 isolate the problem.

18 Q. That is the system that you propose for
19 each of these injectors in the expansion area, that
20 there's a method by which you will monitor the annular
21 space in the casing?

22 A. Yes, sir, that's correct. Generally we'll
23 leave the back side open, the braiden head open, to
24 monitor for back side water.

25 Q. Any stimulation program?

1 A. Yes, sir, we have a proposed stimulation
2 program. This is kind of a general, broad stimulation
3 program on the wells that have cased hole, where we
4 have perforations, we'll possibly add perforations and
5 propose to acidize the wells with plus or minus 3000
6 gallons of 15 percent NEFEA. We won't frac the
7 wells. In general we do not frac the wells in the
8 waterflood. Open hole completions will be very
9 similar. We'll clean them out to TD, possibly deepen
10 the wells, acidize the wells with, again, three to
11 five thousand gallons of 15 percent five NEFE acid.
12 And in general that's about all we have to do to the
13 wells.

14 Q. Your exhibit book includes the water
15 analysis and then finally you have your list of
16 noticed parties?

17 A. That is correct. The last section is proof
18 of notice. These are the parties we sent notice to;
19 first, being the regulatory bodies, secondly the
20 working interest owners, third, offset operators and
21 surface landowers.

22 Q. For the injector?

23 A. That's correct.

24 MR. KELLAHIN: I'm not sure your exhibit
25 book, Mr. Examiner, has actual copies of the green

1 return receipts cards. If they're not there, we'll
2 supply them to you after the hearing.

3 A. In Exhibit 20 is the proof of notice and
4 the notice that we sent out, as well as the return
5 receipts on the back.

6 MR. KELLAHIN: All right. That should be
7 in your package, then, as Exhibit 20.

8 That concludes my examination of Mr. Dolan
9 and move the introduction of his Exhibits 1 through
10 20.

11 EXAMINER CATANACH: Exhibits 1 through 20
12 will be admitted into evidence.

13 FURTHER EXAMINATION

14 BY EXAMINER CATANACH:

15 Q. Mr. Dolan, in your proposed injection wells
16 you don't have the exact perforated interval in each
17 well determined yet, is that correct?

18 A. Yes, that's correct. We have well logs on
19 most of the wells in the area but we don't have well
20 logs on 10 wells in the proposed unit area. As well,
21 we plan to core a few of the new wells and run new
22 logs on all of the wells, so we'll be better able to
23 pick perforation intervals.

24 Q. Okay.

25 A. In general, it will run between that minus

1 100, minus 150, down to minus 350, plus or minus, not
2 a complete row of perforations but selectively
3 perforate the porosity streams.

4 Q. Will the injection wells have approximately
5 the same top perforation, or will that vary quite a
6 bit?

7 A. It will vary probably plus or minus 100
8 feet, maybe, maybe 150 foot from one end to the other
9 of the field, so that .2 psi gradient, it will have a
10 small effect, I think. 100 foot, that will represent
11 what, 40 pounds? 43 pounds pounds, plus or minus?

12 Q. Would Chevron object to us deciding one
13 straight pressure instead of varying the pressure in
14 each one, using some average depth?

15 A. I really don't think they would, to be
16 honest with you. Now, that's not how we're operating
17 the existing unit. How we operate the existing unit,
18 we had a set point on pressure, and we also supply the
19 field with what rate we want to keep. That pressure
20 set point is, for the most part, based on that .2 psi
21 per foot. Some of the wells are currently on vacuum;
22 some of the wells are at the 740 psi.

23 I guess what I'm saying, if you gave us the
24 740 pounds or that .2 psi per foot based on the top
25 perf, I don't think they would have an objection. I

1 do think in the future we'll want to run some
2 step-rate tests and apply for a higher pressure.

3 Q. That's fine. Is that what the south unit
4 originally had was 740 pounds?

5 A. I think that's the same, .2 psi per foot;
6 approximately 740.

7 MR. STOVALL: Each well actually had a
8 different pressure in them?

9 THE WITNESS: Yes, sir, that's correct,
10 plus or minus a few pounds here, depending on the top
11 perforation.

12 EXAMINER CATANACH: No further questions of
13 the witness.

14 STEVE LUTHY

15 the witness herein, after having been first duly sworn
16 upon his oath, was examined and testified as follows:

17 EXAMINATION

18 BY MR. KELLAHIN:

19 Q. Would you please state your name and
20 occupation?

21 A. My name is Steven Luthy. I'm a geologist
22 with Chevron, U.S.A.

23 Q. You spell your last name L U T H Y?

24 A. Correct.

25 Q. Mr. Luthy, on prior occasions have you

1 testified before the Division as a petroleum
2 geologist?

3 A. No, I haven't.

4 Q. Summarize for us your educational
5 background, please?

6 A. I received a BA degree in geology from the
7 University of California in 1977. Subsequent to that
8 I was employed by the U.S. Geological Survey for two
9 years as a geologist. I then went back and obtained a
10 master's degree in geology from the University of
11 Montana in 1981, and for the last nine years I have
12 been employed with Chevron as a geologist, dealing
13 primarily with prospect development, field studies and
14 unit geology analysis.

15 Q. Give us an overview of the geology that
16 you've prepared for the expansion area that we're
17 discussing this afternoon?

18 A. I've primarily been involved in all the
19 geological aspects and study of the reservoir,
20 excluding reservoir characteristics, the definition of
21 the fluid contacts, the structure of the unit area as
22 well as the stratigraphy.

23 MR. KELLAHIN: Mr. Examiner, we tender Mr.
24 Luthy as an expert petroleum geologist.

25 EXAMINER CATANACH: He is so qualified.

1 Q. Would you identify for the record what you
2 have submitted to the Examiner as your Exhibit 21?
3 What is that?

4 A. Exhibit 21 is the type log utilized in the
5 formational stages of the Eunice Monument South Unit,
6 the original unit area. It's the Continental Oil
7 Company Meyer B-4 #23. On that log it shows the
8 relevant formations in question within the unit
9 expansion area, including the Queen formation at 3375
10 feet, the Penrose at 3503 feet, top of the Grayburg at
11 3666 feet, and the top of the San Andres at 4153 feet,
12 and the base of the San Andres at 5283 feet. The
13 Eumont formation would include that portion--

14 Q. Excuse me, Mr. Luthy. Let's go back and
15 give me the numbers again. The Penrose is at 3503?

16 A. Correct.

17 Q. The top of the Grayburg is--

18 A. 3666 feet.

19 Q. San Andres top is 4153 and the base of the
20 San Andres is 5283?

21 A. Correct.

22 Q. Okay. When we're dealing with this
23 producing interval in these various formations, what
24 is the interval defined as the Eunice Monument Pool?

25 A. The Eunice Monument would be defined as

1 that portion of the section defined from the top of
2 the Grayburg at 3666 feet on the type log, to the base
3 of the San Andres formation on the type log at 5283
4 feet.

5 Q. When we deal with the pool immediately on
6 top of the Eunice Monument, we're dealing with the
7 Eumont oil and gas pool?

8 A. That's correct.

9 Q. What's that interval?

10 A. That interval extends upward from the top
11 of the Grayburg and includes the Penrose, the top of
12 which is found at 3503 feet and the Queen which is
13 found at 3375 feet.

14 Q. In the existing unit, one of the solutions
15 to implement the waterflood project was the
16 contraction of one pool and the expansion of another
17 in the main unit area. What was done?

18 A. Essentially there was a contraction of the
19 Eumont pool to include only that portion of the Eumont
20 down to minus 100 feet subsea datum or the top of the
21 Eunice Monument pool, whatever was higher.

22 The Eunice Monument oil pool was extended
23 upward to include that portion of the section in the
24 Eumont up to minus 100 feet subsea datum or to the top
25 of the Eunice Monument Pool, which is the top of the

1 Grayburg, whichever was higher.

2 Q. Where does that leave the Penrose in the
3 main pool when you make that adjustment?

4 A. The Penrose, in some areas of the unit, is
5 included within the unitized interval.

6 Q. Have you examined the geology of the
7 expansion area?

8 A. Yes, I have.

9 Q. Can we apply the solution to the change in
10 the pool, the contraction and expansion of the two
11 pools in the main unit to the expansion area?

12 A. Yes, we can.

13 Q. Let me have you turn to Exhibit No. 22.
14 What is this exhibit?

15 A. This is a base map showing the Eunice
16 Monument South Expansion Area B area. It's a current
17 well status map of wells within the area and half-mile
18 outside of the proposed unit area.

19 I'll briefly review some of the relevant
20 statistics of wells within the expansion area.
21 There's 43 active oil wells within the unit proposed
22 area, 22 TA'd oil wells, four PA'd wells, seven gas
23 wells, primarily Eumont gas wells, and six dually
24 completed Eumont gas Eunice Monument oil wells.

25 The conclusions to be reached from this map

1 is that there's a large number of TA'd and PA'd wells,
2 and that shows that many are at or have exceeded their
3 economic limit within this proposed unit area. Others
4 have been dualled or recompleted to the Eumont gas for
5 similar reasons, primarily along the eastern boundary
6 or updip margin of the proposed unit area.

7 What this is all indicating is that we're
8 fairly close to the end of the primary productive life
9 of wells in this area within the Eunice Monument
10 reservoir.

11 Q. When you look at the geology for the
12 expansion area, can you come to geologic conclusions
13 about the suitability of that area for waterflood
14 operations?

15 A. The geology is very similar to the geology
16 we find in the Eunice Monument South Unit area. We
17 feel we have a successful or a high possibility of a
18 successful waterflood in the Eunice Monument South
19 Unit area.

20 The stratigraphy and structural setting in
21 the proposed expansion area is very similar to what we
22 find in Eunice Monument South, so therefore we feel we
23 have a high probability of a successful flood in the
24 proposed expansion area.

25 Q. Have you prepared structure maps?

1 A. Yes, I have.

2 Q. Let's turn to Exhibit 23. Would you
3 identify that for us, please?

4 A. Exhibit 23 is a structure map on the top of
5 the Grayburg formation.

6 Q. What does this tell you?

7 A. Essentially we've used this quite a bit in
8 the designation of the unit boundaries. Let me first
9 point out the significance of the blue line. The blue
10 line is what we feel is the oil/water contact within
11 the unit area of the Eunice Monument field. It occurs
12 at a position of roughly minus 350 feet subsea datum.

13 Q. At what point in time do we have this
14 contact displayed on this exhibit?

15 A. That would be the original oil/water
16 contact within the field.

17 Q. Go around the boundaries of the expansion
18 area and tell us the justification for the
19 boundaries.

20 A. We begin on the north end of the expansion
21 area. The expansion area is bounded in Section 10 and
22 11 on the northern boundary by a proposed unit by
23 Amerada Hess which is currently being called the North
24 Monument Grayburg Unit. I do not show this on the
25 structure map, but it's shown on Exhibit 16 previously

1 introduced by Jimmy Dolan.

2 As we work counterclockwise around the
3 proposed unit area, in Section 10 the northern
4 three-quarters of that section, we're bounded by
5 Conoco's operated Reed Sanderson Unit which is a
6 waterflood area of the Eumont formation.

7 The rest of Section 10, 15 and 22, the
8 boundary is primarily brought about by considerations
9 of the oil/water contact. What we have tried to do is
10 include all of those tracts where there is at least
11 one location where the top of the Eunice Monument is
12 above the oil/water contact. We've attempted not to
13 split tracts where there are some locations that do
14 have locations above it and locations below it. We've
15 tried to retain the integrity of those tracts.

16 Q. What benefit do you receive if you retain
17 the integrity of those tracts?

18 A. One of the things we're trying to do is
19 maintain a conformable injection pattern within the
20 unit area, and by retaining the integrity of those
21 tracts we're able to do so.

22 Moving over to Section 25, we're bounded to
23 the south by the existing Eunice Monument South Unit
24 area. Moving into Section 24 and 19, we're bounded by
25 the Greenhill Petroleum Eunice Monument Unit, and

1 moving further to the northeast in Sections 11, 12, 13
2 and 18, we are bounded by the zero subsea or zero sea
3 level structural datum in the Grayburg. We feel this
4 is a relevant contour on which to design our
5 boundary. Updip of this, structurally updip to the
6 northeast, we feel excessive amounts of the Eunice
7 Monument oil reservoir is in the gas cap.

8 Q. As a geologist, can you reach a conclusion
9 geologically that you have a unit area in the
10 expansion area of sufficient size and shape to provide
11 an area of the reservoir that might be suitable for
12 effective waterflood operations?

13 A. Yes, I did.

14 Q. Have you prepared any other structure maps?

15 A. Yes, I prepared an additional structure map
16 on the top of the Penrose. That is to show we
17 essentially have the same structural configuration
18 within the Penrose, that we aren't dealing with
19 significant structural deviation between the Penrose
20 or the lower part of the Eumont and the Eunice
21 Monument or Grayburg formations, and that indicates
22 that we have relatively constant thickness of the
23 Penrose formation throughout the unit area.

24 Q. Identify for us Exhibit 25.

25 A. Exhibit 25 is again the structure map

1 constructed on top of the Grayburg formation. On it
2 we've also shown the location of several
3 cross-sections that we prepared for analysis of the
4 unit area.

5 I'll call your attention to cross-sections
6 A - A', B - B' and C - C', which are shown as the
7 heavier dashed cross-sections and listed on the bottom
8 under the legend as structural cross-sections. We'll
9 be referring to them later in the testimony.

10 Q. Is your next Exhibit 26?

11 A. Correct.

12 Q. What is that, Mr. Luthy?

13 A. Exhibit No. 26 is a map of the completions
14 of wells within the proposed expansion area in which
15 the completion interval overlaps the Eumont and the
16 Eunice Monument Oil Pools as currently defined by the
17 Commission.

18 Q. Have you provided tabulations of those
19 wells overlapping one pool or the other?

20 A. Yes, I have. Those tabulations are shown
21 in Exhibits 27 and 28.

22 Q. What's Exhibit 27?

23 A. Exhibit 27 is a tabulation showing those
24 wells designated as Eunice Monument Oil Pool wells
25 where the completion, either original or current, the

1 completion interval overlaps into the Eumont oil pool.

2 Q. And Exhibit 28?

3 A. Exhibit 28 is a tabulation showing wells
4 within the expansion area designated as Eumont Oil
5 Pool completions, where the completion interval
6 overlaps into the Eunice Monument Oil Pool.

7 Q. In looking at the geology, have you
8 satisfied yourself there's sufficient continuity of
9 the potentially floodable formations that you can have
10 an effective flood in this area?

11 A. Yes, I have.

12 Q. Let's turn now to Exhibit No. 29. I
13 believe that's starts off with your C - C' prime
14 cross-section?

15 A. That's correct.

16 Q. If we use the locator map, Exhibit 25 was
17 it?

18 A. Exhibit 25, correct.

19 Q. Exhibit 25 is the locator map where you've
20 indexed. You also have another locator index actually
21 on that display?

22 A. Correct.

23 Q. Okay. When we look at the southeastern
24 portion of the expansion area going from east to west,
25 and having prepared this cross-section, what do you

1 conclude?

2 A. Looking at the southern end of the
3 cross-section, bring your attention to the Chevron
4 #123 EMSU well. It's the most downdip location on the
5 cross-section. Of importance there is the existing
6 completion interval.

7 Q. Which well are you looking at?

8 A. The Chevron #123 EMSU well.

9 Q. That starts in the existing unit, then, in
10 the south?

11 A. Correct.

12 Q. I misspoke. We're going from south to
13 north with this cross-section?

14 A. Correct.

15 Q. Go ahead.

16 A. Of relevance is the complex interval within
17 the Eunice Monument formation. The Examiner will note
18 that we've only completed in Zones 1 through 5 and
19 purposely omitted completing below Zone 5. Although
20 there was additional porosity there, we feel that all
21 of the Eunice Monument Oil Pool below Zone 5 is under
22 active water drive, so we're really constrained in our
23 waterflood to those zones above what we call Zone 6 or
24 above the base of Zone 5.

25 You'll also notice that in several wells

1 not shown on this cross-section but I believe if we
2 turn to Exhibit No. 31--

3 Q. That's cross-section A - A'?

4 A. Yes, there are several wells along the east
5 end of that cross-section, specifically the Shell
6 Western #1 State "E" well and the Chevron #1 H. T.
7 Orcutt well, where the original completion interval
8 was below the base of Zone 5 or what we feel was
9 within the active water drive. The Examiner will note
10 that in both of those wells there have been several
11 plug backs as a result of extensive water encroachment
12 during the productive life of those wells.

13 The conclusion that we reach from this is
14 the same conclusion that we've reached at the original
15 area. That is, that we're constrained to flood only
16 those portions of the Eunice Monument reservoir within
17 Zones 1 through 5 in the Grayburg, as well as the
18 lower portions of the Penrose-Queen.

19 Q. Will the adjustment that you propose and
20 the vertical limits for the two pools involved solve
21 the crossover problem for those wells that are
22 currently completed in multiple pools?

23 A. Yes, it will. If we open up cross-section
24 B - B' which is Exhibit No. 30 and inspect all three
25 cross-sections, what I've attempted to show here are

1 completion intervals which have been gas completion
2 intervals as well as oil completion intervals.

3 Looking at all three cross-sections, one
4 gets the definite sense that completion intervals
5 above the minus 100 subsea foot datum are primarily
6 gas completions, wells below that are primarily oil
7 completions regardless of what formation they're
8 completed in, whether it's within the Eumont or within
9 the Grayburg.

10 So we feel we've been able to identify an
11 oil/water contact at minus 100 subsea datum. That's
12 the same oil/water contact found within the larger
13 Eunice Monument South Unit original area.

14 Our proposed extension of the Eunice
15 Monument field essentially involves that portion of
16 the Eumont which extends up to the minus 100 subsea
17 datum along the western portions or downdip portions
18 of the expansion area.

19 Q. Are we dealing with a gas cap in any of the
20 unit area of the expansion?

21 A. Not within the unitized interval.

22 MR. STOVALL: Mr. Kellahin, may I just ask
23 a point of clarification? You referred to the minus
24 100 subsea as oil/water. Is that oil/gas or--

25 THE WITNESS: I'm sorry. Gas/oil. I'm

1 sorry.

2 Q. (BY MR. KELLAHIN) Summarize for us, then,
3 your ultimate geologic conclusions about this project
4 and the applications?

5 A. What we're applying for here, one of the
6 important factors is the extension of the Eunice
7 Monument Oil Pool to include the lower portion of the
8 Eumont up to the minus 100 subsea datum so that we can
9 effectively flood the entire oil column.

10 We also feel that we have essentially the
11 same sort of stratigraphy in this area that we've
12 found within the Eunice Monument South Unit area.
13 We're in essentially the same structural configuration
14 here as we are within the Eunice Monument South Unit
15 area, and as a result of these studies we feel
16 geologically we have a reasonable analog and predict a
17 fairly high level of success with this flood.

18 MR. KELLAHIN: That concludes my
19 examination of Mr. Luthy. We would move the
20 introduction of his Exhibits 21 through 31.

21 EXAMINER CATANACH: Exhibits 21 through 31
22 will be admitted as evidence. I have no questions.
23 The witness may be excused.

24 MR. KELLAHIN: I would like to call Ray
25 Vaden, the petroleum landman for Chevron, U.S.A., Inc.

1 the expansion area?

2 A. Yes, sir, we have.

3 Q. Is one of your duties to keep track of and
4 maintain contact with the working interest owners and
5 royalty owners in the existing unit?

6 A. Yes, they are.

7 MR. KELLAHIN: We tender Mr. Vaden as an
8 expert petroleum landman.

9 EXAMINER CATANACH: He is so qualified.

10 Q. For purposes of our discussion, let me
11 direct your attention to Exhibit 32. What is this,
12 sir?

13 A. A map depicting land status and tract
14 numbers for the expansion, which is Unit Area B.

15 Q. When Mr. Dolan provided his tabulation of
16 the relationship by tract to benefit in unit
17 participation, he had tract numbers used on his
18 display. Do those correspond to the same tract
19 numbers you have here on your Exhibit 32?

20 A. Yes, sir, they do.

21 Q. Were you responsible for making the efforts
22 to obtain the voluntary commitment of the royalty
23 owners and the working interest owners in the
24 expansion area?

25 A. Yes, sir.

1 Q. When we look at the documents to be used in
2 the expansion area, directing your attention to a unit
3 agreement, what unit agreement do you propose to use
4 for the expansion area?

5 A. It's the same unit agreement as we used in
6 the original unit, dated June 24th, I believe, 1984.

7 Q. When I look at the document identified as
8 Exhibit No. 33, what am I looking at?

9 A. That's the unit agreement for the Eunice
10 Monument South Unit.

11 Q. What is the requirement under this unit
12 agreement for confirmation by the interest owners that
13 they will approve an expansion? What is the
14 mechanism?

15 A. First we attempt to perform a voluntary
16 unit. We have to have at least 75-percent approval.

17 Q. Have you satisfied all the conditions and
18 requirements under the unit agreement in order to
19 implement efforts for expansion?

20 A. Yes, sir. Section 4 goes into that in the
21 unit agreement as notice requirements and certain
22 things in addition to the statute. We've satisfied
23 all of those.

24 Q. When we look at Exhibit No. 34, what is
25 that exhibit?

1 A. Unit operating agreement.

2 Q. This is the one that's utilized for the
3 current, existing unit area?

4 A. Yes, sir.

5 Q. Will this be the same operating agreement
6 that will apply to the expansion area?

7 A. Yes, sir.

8 Q. Exhibit 35 is what, sir?

9 A. Royalty owners brochure that we had printed
10 when we did the original unit in 1984. I didn't throw
11 them away, so we also have used them for the people in
12 the expansion area and let them see it. I printed too
13 many the first time.

14 Q. It provides a convenient summary, though,
15 for those interest owners so they can understand the
16 basic mechanics of secondary recovery under unit
17 operations in the original unit?

18 A. Yes, sir.

19 Q. When we go to Exhibit No. 36, what is that?

20 A. It's a certified letter dated June 1 to all
21 working interest owners. We sent Exhibit A of the
22 unit agreement, which is on the wall, Exhibit B, our
23 list of owners. In the existing unit done in 1984,
24 asked them to help us utilizing their division pay
25 orders to update any changes in names, addresses and

1 interests in that unit since 1984 to make sure we
2 properly notified the correct people.

3 Q. What's Exhibit No. 37, Mr. Vaden?

4 A. It's a letter to the working interest
5 owners again, sending them ratification and joinders
6 and copies of Exhibits A, B and C, Exhibit A being the
7 unit map, B being the interest of parties and C the
8 interest of the working interest owners.

9 Q. This represents just part of your efforts
10 and those other employees of Chevron under your
11 control to keep the working interest owners informed
12 about the efforts for the expansion?

13 A. Yes, sir.

14 Q. This represented a mailing on June 8th,
15 under certified mail, where you first informed them of
16 the hearing today?

17 A. That's right.

18 Q. And you have--

19 A. I believe they said they were planning the
20 hearing on August 22nd.

21 Q. And it showed a form of ratification or
22 joinder that you had proposed for execution for the
23 expansion area?

24 A. Yes, sir.

25 Q. After having done that, what's the next

1 Exhibit No. 38?

2 A. That's the July 18th letter to the working
3 interest owners.

4 Q. What's the purpose of this letter, Mr.
5 Vaden?

6 A. Telling them we would be mailing things out
7 to royalty owners and asking them to double check the
8 information that we had gotten from them to put into
9 our Exhibit B, and make sure they agreed with the
10 ownership that we had taken from their division pay
11 orders, and telling them that we will be contacting
12 royalty owners based on that information.

13 Q. Were you receiving responses from the
14 working interest owners' personnel to help you update
15 and make more accurate your records as to royalty
16 owners?

17 A. When we didn't, we called them.

18 Q. As a result of this effort, then, you
19 eventually compiled what you believe to be a complete,
20 current and accurate list of these royalty owners?

21 A. Yes, sir.

22 Q. Exhibit 38 also, once again, tells them of
23 the anticipated hearing on August 22nd?

24 A. Yes, sir.

25 Q. When we get to Exhibit 39, what's the

1 purpose of this letter?

2 A. The addendum that went out to the
3 ratification and joinder of the working interest
4 owners states in essence that the unit operating
5 agreement of the EMSU will be used, that the addendum
6 incorporates the basis of admission, the things that
7 Jimmy Dolan told you about that we had agreed to. In
8 a couple of instances, it does changes certain
9 portions of the unit agreement, such as the time for
10 the demand well and this type of thing.

11 Q. There is a change in the percentage or the
12 number of working interest owners to vote for approval
13 of items within an expansion area?

14 A. Right.

15 Q. This letter also notifies those working
16 interest owners of the change so that there is three,
17 rather than four of the six working interest owners
18 deciding important votes for the expansion area?

19 A. Yes, sir.

20 Q. Exhibit 40 is what, sir?

21 A. A letter of July 9th, certified mailing to
22 royalty owners and interest owners in Expansion Area
23 B. We certified mailed 88 royalty owners, we had a
24 few changes still coming in, and we wound up with 96
25 royalty owners. In this package was a letter, it also

1 included the royalty owners' brochure that we looked
2 at as an earlier exhibit, and it was mailed certified
3 from people in England, to people in, Germany, Texas,
4 New Mexico, all over.

5 Q. The purpose of this letter, then, by
6 certified mail, is to give the royalty owners and the
7 overriding royalty owners the opportunity to sign the
8 appropriate documents by which their interest is
9 formally committed to unit operations for the
10 expansion area?

11 A. Yes, sir, it included the ratification of
12 joinders through the unit.

13 Q. Exhibit 41, what does that represent?

14 A. This was a notice that went out to all
15 owners in the existing unit and expansion area. There
16 were 459 of these mailed out and certified. It
17 advised them of the date of the hearing. It was
18 mailed at least 30 days before the hearing, which
19 comes from Section 4 of the unit agreement.

20 It tried to explain some of the history or
21 it did explain briefly the history of the unit, the
22 response to the flood so far in the existing unit
23 area, and it explained that the two units will be
24 operating, in essence, under one common unit operating
25 agreement but the production will be held separate,

1 and invited them to attend this hearing if they had
2 any objections to anything.

3 Q. What was attached as enclosures to this
4 notice letter of July 15th?

5 A. A reduction of Exhibit A, which is on the
6 wall, our Exhibit No. 1; also Exhibit B, which is a
7 tabulation of ownership by tract within the unit,
8 working interest and royalty interests and the
9 participation allocated to each tract. This was based
10 upon all the updated current information from the
11 various working interest owners.

12 Q. Your July 15th letter was sent out
13 certified mail?

14 A. Yes, sir.

15 Q. The purpose of your letter was to provide,
16 once again, additional notification of the hearing
17 today?

18 A. Right.

19 Q. And was to provide in a clear, nontechnical
20 way, a summary so that particularly an overriding
21 royalty owner that didn't deal in these matters on a
22 regular basis could read this and hopefully understand
23 what it is that you sought to do?

24 A. That was our intent.

25 Q. Have you had anyone complain to you that

1 you did not understand what it is that Chevron was
2 trying to accomplish?

3 A. We have had no complaints or objection.
4 The letter stated if there was an objection to let us
5 know and we would respond to them. Again, this is in
6 Section 4 of the unit agreement. We did have four or
7 five calls complaining about interest, and we
8 explained how it was calculated. In some cases we
9 went back to the working interest owner and made
10 corrections.

11 Q. These owners then, if they desired to do
12 so, could take the tabulation and understand how you
13 believed their interest to be calculated, and they
14 could contact you for corrections and some have taken
15 advantage of that opportunity?

16 A. In the notice letter we asked them to
17 contact the people paying them, so it was easier to
18 contact us. We worked both sides.

19 Q. When we get down to Exhibit 42, what is
20 this?

21 A. Notice to all the owners. This was the
22 same notice we were just talking about. That was our
23 certified copies. Whether it was included in that, we
24 took the certified mailings to the mail room.

25 Q. I'm looking at Exhibit 42. When you take

1 your notice letter, Exhibit 41 of July 15th to your
2 mail room, they record what you're doing with your
3 certified mailings?

4 A. Right. They took them to the post office
5 stamp and initialed it. It was actually mailed on
6 this date. We have a computerized listing of all
7 owners with owner numbers, so this is the 457 that
8 were mailed, and in double-checking it last night I
9 realized we had only given you half of them, so this
10 goes with that exhibit.

11 Q. Does he need one of these or two of these
12 attached to it?

13 A. Just one. So we actually did a mailing of
14 No. 239 through No. 698.

15 Q. If Mr. Stovall this evening desires to
16 check the list of parties to notify that are shown on
17 Exhibit No. 41, and he does that by looking at your
18 company's documentation to show left Chevron, they all
19 match?

20 A. Yes, sir.

21 Q. Everybody got one sent to them?

22 A. Yes, sir.

23 Q. What have you done to determine that they
24 received it?

25 A. Well, the next exhibit, No. 43, is proof of

1 receipt. Of the 457, we had 391 returned. We don't
2 know where the others are.

3 Q. This is as good as it gets, doesn't it,
4 Mr. Vaden?

5 A. That's it.

6 Q. These are the copies of the green cards for
7 those that of filtered back to you at this point?

8 A. Right.

9 Q. When we go to the question of preliminary
10 approvals by the Bureau of Land Management and the
11 Commissioner of Public Lands for the State of New
12 Mexico for the expansion area, am I correct in
13 understanding from Exhibit No. 1 that we have both
14 federal, fee and state lands in this expansion area?

15 A. Yes, sir, we do.

16 Q. Have you obtained preliminary approval from
17 the Bureau of Land Management?

18 A. Yes, sir. Exhibit No. 44 is a copy of the
19 Bureau of Land Management's preliminary approval, as
20 well as the State of New Mexico, Commissioner of
21 Public Land's preliminary approval.

22 Q. All right, sir. When we look at Exhibit
23 No. 45, what are we looking at?

24 A. It's our Exhibit C-1, which is the working
25 interest ownership within the expansion area. It

1 shows, in essence, that there are six working interest
2 owners in the 11 tracts.

3 The first column is our internal control
4 owner number for the working interest owner, the
5 second column is the tract in which they own, the
6 third column is the unit participation, the fourth is
7 their percentage of that participation, and the
8 CR Tract P is simply the same as the next column,
9 which is the overall participation assigned to that
10 tract.

11 So, for instance, in Tract 102, Amerada
12 Hess has 1.76 percent unit participation and they have
13 100 percent of it, so that's all allocated to them.

14 Q. Working interest owners in the original
15 unit area are shown on Exhibit 45?

16 A. Yes, sir. The original unit area is
17 Exhibit 46, Exhibit C. The expansion area is Exhibit
18 C-1.

19 Q. I'm confused. What's Exhibit 45?

20 A. Our Exhibit 45 is the expansion area
21 working interest owners.

22 Q. All right. 46 now?

23 A. Working interest owners in the existing
24 unit. We have 33 working interest owners in the
25 existing unit, and eight of those own 97.14 percent.

1 Q. Let's turn now to Exhibit 47. What does
2 this show?

3 A. A tabulation of the ratification of
4 joinders that went out. It shows we're
5 still--apparently we had 19.52 percent ratifications
6 returned from working interest owners, which is
7 Chevron's, but we should be getting the others soon.
8 It shows that we have--

9 Q. Let's look how to read the display. When
10 we start on the first page and we look at the tract
11 number, we can read it horizontally and find a working
12 interest owner?

13 A. Right.

14 Q. We can also see a royalty owner?

15 A. Right.

16 Q. We get over to a percentage?

17 A. Yes, sir.

18 Q. It says "yes." What does yes mean?

19 A. Based on preliminary approval of the BLM in
20 this case, that is and will be a committed tract.

21 Q. Committed as to both working interest and
22 royalty?

23 A. Yes, sir. But as to royalty on this
24 column, we did not count the interest committed at
25 this point.

1 Q. I'm looking on Exhibit 47 of the committed
2 royalty owners?

3 A. Right.

4 Q. When I read down the column and I find a
5 "Yes," I can look over and see that royalty owner is
6 committed?

7 A. Right.

8 Q. When I look on page 2, the yes column
9 represents committed royalty owners. If it's blank,
10 they're not yet committed?

11 A. Right.

12 Q. At this point what percentage of the
13 royalty owners do you have committed?

14 A. 90.59.

15 Q. And the working interest owners?

16 A. 19.52.

17 Q. Within the period prescribed by the
18 Statutory Unitization Act, do you anticipate in your
19 opinion, Mr. Vaden, that you'll have the necessary
20 minimum percentages of working interest and royalty
21 owners, the 75 percent, in order to give you effective
22 and efficient control of unit operations?

23 A. Yes, sir. We would anticipate much more
24 than that.

25 MR. KELLAHIN: That concludes my

1 examination of Mr. Vaden. We would move the
2 introduction of his Exhibits 32 through 47.

3 EXAMINER CATANACH: Exhibits 32 through 47
4 will be admitted as evidence.

5 EXAMINATION

6 BY EXAMINER CATANACH:

7 Q. Mr. Vaden, you do anticipate that you will
8 have the required 75 percent working interest signed
9 up?

10 A. Much more than that.

11 EXAMINATION

12 BY MR. STOVALL:

13 Q. Mr. Vaden, in conversations you and I have
14 had, is there any delay? There was some concern as to
15 when, under the statute, participating owners should
16 be signing, before or after the hearing, is that not
17 correct?

18 A. There was, yes, sir.

19 Q. Is that any part of the reason you don't
20 have others besides Chevron signed up, or did you
21 resolve that?

22 A. That was part of it. Part of it has been
23 after two months of review Amoco wanted changes to the
24 addendum. We've made that. After the initial one
25 ARCO still wanted changes. We made that.

1 Most of the parties are here. They're all
2 virtually ready to execute the ratifications. What we
3 finally decided to do was ratify it twice. We'll do
4 ratifications of joinders as we've always done. After
5 you get the order we will try to determine the
6 effective date that we would work toward, send your
7 order and the date, the proposed effective date out to
8 all these people again for ratification.

9 Q. Including all these royalty owners?

10 A. It's on computer. It's just money and
11 postage.

12 Q. Have you determined whether that will cause
13 any confusion on their part, receiving that twice?
14 You joined once, would you like to join again?

15 A. It will be one page and a different
16 styling, and we'll try to make it clear that they're
17 simply reviewing your order to see that they agree,
18 and they're acknowledging the effective date of the
19 agreement.

20 EXAMINER CATANACH: The witness may be
21 excused.

22 Anything further in Cases 10059, 10060 or
23 10061?

24 MR. KELLAHIN: That concludes our
25 presentation, Mr. Examiner. We appreciate you staying

1 over to hear us.

2 MR. STOVALL: Mr. Carr, anything to add?

3 MR. CARR: Nothing to add.

4 EXAMINER CATANACH: If I may, I would like
5 to get three rough draft orders from you.

6 MR. KELLAHIN: I would be happy to.

7 EXAMINER CATANACH: Therefore, Cases 10059,
8 10060 and 10061 will be taken under advisement.

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1 CERTIFICATE OF REPORTER

2

3 STATE OF NEW MEXICO)
 4 COUNTY OF SANTA FE) ss.

5

6 I, Carla Diane Rodriguez, Certified
 7 Shorthand Reporter and Notary Public, HEREBY CERTIFY
 8 that the foregoing transcript of proceedings before
 9 the Oil Conservation Division was reported by me; that
 10 I caused my notes to be transcribed under my personal
 11 supervision; and that the foregoing is a true and
 12 accurate record of the proceedings.

13 I FURTHER CERTIFY that I am not a relative
 14 or employee of any of the parties or attorneys
 15 involved in this matter and that I have no personal
 16 interest in the final disposition of this matter.

17 WITNESS MY HAND AND SEAL August 31, 1990.

18

19

20

Carla Diane Rodriguez
 CARLA DIANE RODRIGUEZ
 CSR No. 91

21

My commission expires: May 25, 1991

22

23

24

25

I do hereby certify that the foregoing is
 a complete record of the proceedings in
 the Examiner hearing of Case No. 10059, 10060, 10061
 heard by me on August 20 1990.

David R. Catant, Examiner
 Oil Conservation Division