

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

STATE OF NEW MEXICO
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
OIL CONSERVATION DIVISION
CASE 10108

EXAMINER HEARING

IN THE MATTER OF:

Application of Yates Petroleum Corporation
to Amend the Special Pool Rules for the
South Dagger Draw-Upper Pennsylvanian
Associated Pool, Eddy County, New Mexico.

TRANSCRIPT OF PROCEEDINGS

BEFORE: JIM MORROW, EXAMINER

STATE LAND OFFICE BUILDING
SANTA FE, NEW MEXICO
October 3, 1990

ORIGINAL

A P P E A R A N C E S

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

FOR THE DIVISION:

ROBERT G. STOVALL, ESQ.
Counsel to the Division
Post Office Box 2088
State Land Office Building
Santa Fe, N.M. 87504-2088

MICHAEL E. STOGNER
OCD Examiner/Engineer
Post Office Box 2088
State Land Office Building
Santa Fe, N.M. 87504-2088

FOR THE APPLICANT:

ERNEST L. CARROLL, ESQ.
Losee, Carson, Haas &
Carroll, P.A.
Post Office Drawer 239
Artesia, N.M. 88210

FOR SANTA FE ENERGY
OPERATING PARTNERS:

JAMES BRUCE, ESQ.
The Hinkle Law Firm
500 Marquette, NW, Suite 800
Albuquerque, N.M. 87102

	I N D E X	
		Page Number
1		
2		
3	Appearances	2
4	KATHY PORTER	
5	Examination by Mr. Carroll	4
6	DENISE FLY	
7	Examination by Mr. Carroll	10
8	Examination by Hearing Examiner	15
9	PINSON McWHORTER	
10	Examination by Mr. Carroll	17
11	Examination by Hearing Examiner	29
12	Certificate of Reporter	37
13	E X H I B I T S	
14	APPLICANT'S EXHIBITS:	
15	Exhibit 1	6
16	Exhibit 2	11
17	Exhibit 3	13
18	Exhibit 4	19
19	Exhibit 5	21
20	Exhibit 6	22
21	Exhibit 7	24
22	Exhibit 8	27
23	Exhibit 9	35
24		
25		

1 EXAMINER MORROW: Call Case #10108. This
2 is the application of Yates Petroleum Corporation to
3 amend the special pool rules for the South Dagger
4 Draw-Upper Pennsylvanian Associated Pool, Eddy County,
5 New Mexico.

6 Call for appearances.

7 MR. CARROLL: Mr. Examiner, my name is
8 Ernest Carroll of the Artesia Law Firm of Losee,
9 Carson, Haas & Carroll. I'm here representing the
10 Applicant, Yates Petroleum, and I will have three
11 witnesses.

12 MR. BRUCE: Mr. Examiner, my name is Jim
13 Bruce from the Hinkle Law Firm, representing Santa Fe
14 Energy Operating Partners, L.P. I have no witnesses
15 and will present no testimony.

16 EXAMINER MORROW: All right. Will the
17 witnesses please stand and be sworn at this time.

18 KATHY PORTER
19 the witness herein, after having been first duly sworn
20 upon her oath, was examined and testified as follows:

21 EXAMINATION

22 BY MR. CARROLL:

23 Q. Would you please state your name and
24 occupation for the record.

25 A. My name is Kathy Porter. I'm employed as a

1 landman by Yates Petroleum Corporation.

2 Q. Have you testified before this Commission
3 as a petroleum landman at prior hearings?

4 A. Yes, I have.

5 Q. And your credentials have been accepted as
6 a professional petroleum landman?

7 A. Yes, they have.

8 MR. CARROLL: I tender Ms. Porter as an
9 expert witness in the area of petroleum land work.

10 EXAMINER MORROW: We accept her
11 qualifications.

12 Q. Ms. Porter, are you familiar with the
13 application that Yates Petroleum has filed in this
14 cause number?

15 A. Yes, I am.

16 Q. Would you briefly state what the purpose of
17 that application is?

18 A. In Case 10108, Yates Petroleum Corporation
19 seeks a revision of the special rules and regulations
20 for the South Dagger Draw-Upper Pennsylvanian
21 Associated Pool as set by Division Order No. 5353 as
22 amended, to provide that each well be located no
23 closer than 660 feet to the outer boundary of the
24 proration unit, nor closer than 330 feet to any
25 quarter-quarter section or subdivision inner boundary,

1 to increase the gas/oil ratio to 10,000 cubic feet of
2 gas for each barrel of oil, and for a special depth
3 allowable for oil wells on a 320-acre proration unit
4 of 700 barrels of oil per day.

5 Q. Ms. Porter, have you prepared a land plat
6 showing the South Dagger Draw Field in relation to the
7 North Dagger Draw Field and with respect to the areas
8 wherein Yates was required to give notice?

9 A. That's correct, Exhibit No. 1.

10 Q. All right. Would you please describe the
11 colored lines? And there are, apparently, two colors
12 of dots that are shown with respect to the wells.
13 Would you explain those to the Examiner?

14 A. Yes. Exhibit No. 1 is the land plat of the
15 area that contains the Dagger Draw pools in Eddy
16 County, New Mexico. The green outline to the north
17 reflects the boundaries of the North Dagger Draw-Upper
18 Pennsylvanian Associated Pool. The red outline
19 defines the South Dagger Draw pool.

20 The red dots show the Yates Petroleum
21 Corporation operated wells that are in the South
22 Dagger Draw Pool. The one-mile boundary around this
23 South Pool is shown in yellow.

24 Blue dots are wells operated by other
25 companies within the South Dagger Draw Pool or within

1 the one-mile boundary. All operators and unleased
2 mineral owners within this area were given
3 notification of our application.

4 MR. CARROLL: Mr. Examiner, prior to this
5 hearing we did file the required certificate of
6 mailing in compliance with Rule 12-07, and that should
7 be on file along with the copies of the letters and
8 the green cards, return receipt cards.

9 Q. With respect to this notice that was sent
10 out, Ms. Porter, were any waivers actually received
11 from the persons that were required to be given
12 notice?

13 A. We have actually received written waivers
14 from four of the parties that were notified. These
15 parties are Conoco, Cathy Cone Auvenshine, Clifford
16 Cone and the D. C. Trust.

17 Q. Conoco is the only other operator, is it
18 not, of the wells in this area?

19 A. Within the pool, yes.

20 MR. CARROLL: Mr. Examiner, I have for the
21 file at this time the four original waivers which Ms.
22 Porter just spoke of.

23 Q. With respect to the other parties listed
24 which were operators on that list which was part of
25 the certificate of mailing, and they are the Graham

1 Royalty, the Estate of Kathleen Cone, Kenneth G. Cone,
2 Texas Oil & Gas and McKay Oil Corporation, have you
3 received any correspondence in return for your notices
4 which were mailed to them?

5 A. No, we have not.

6 Q. You're not aware of any opposition from
7 those parties, though, are you?

8 A. No, I'm not.

9 Q. With respect to the specific rules which
10 Yates is wishing to have amended, could you go over
11 those and list them for the Examiner?

12 A. These two Dagger Draw pools are currently
13 operated under separate rules and regulations by a
14 series of Orders, R-4691 and R-5565. The Commission
15 had established special rules and regulations for the
16 North Dagger Draw Pool that covered, among other
17 things, 160-acre spacing allowable of 350 barrels of
18 oil per day, and a gas/oil ratio of 10,000 cubic
19 feet.

20 In January 1977, the Commission, in their
21 Orders R-5353 and R-5353-A, set special rules and
22 regulations for the South Dagger Draw. In part, these
23 rules set out 320-acre spacing, an allowable of 267
24 barrels of oil per day, and the gas/oil ratio was set
25 at 8,000 cubic feet.

1 In the geological and engineering testimony
2 to be given today, we will show that the North Dagger
3 Draw and the South Dagger Draw Associated Pools are
4 actually one pool. The pool rules are dramatically
5 different. 267 barrels of oil per day on the
6 320-spacing in the south compared to 350 barrels of
7 oil per day allowable on the 160-spacing in the
8 north.

9 We do believe the two pools are actually
10 one reservoir and should be governed by one set of
11 rules. Our testimony will show that there's no reason
12 not to treat these two pools equally.

13 Q. So basically, the purpose of this
14 application of Yates today is to bring these two pools
15 under a like set of rules, one set of rules, rather
16 than the differing rules which now exist?

17 A. Right. We want to amend the rules for the
18 South Dagger Draw Pool to be essentially the same as
19 the rules for the North Dagger Draw Pool, without down
20 spacing.

21 Q. In your opinion, would the granting of this
22 application be in the interest of conservation,
23 protect correlative rights and prevent waste?

24 A. Yes.

25 MR. CARROLL: I have no other questions of

1 this particular witness. I would move the admission
2 of her Exhibit 1.

3 EXAMINER MORROW: Exhibit 1 is admitted.

4 I don't believe I have any questions. The
5 witness may be excused.

6 MR. CARROLL: We would next call Denise
7 Fly.

8 DENISE FLY

9 the witness herein, after having been first duly sworn
10 upon her oath, was examined and testified as follows:

11 EXAMINATION

12 BY MR. CARROLL:

13 Q. Would you please state your full name,
14 occupation, and by whom you're employed for the
15 record?

16 A. My name is Denise Fly. I'm a geologist
17 with Yates Petroleum Corporation.

18 Q. Have you previously testified and had your
19 credentials accepted as an expert in the field of
20 petroleum geology by this Commission?

21 A. Yes, I have.

22 MR. CARROLL: I would tender Ms. Fly as an
23 expert in the field of geology.

24 EXAMINER MORROW: She's accepted.

25 Q. Ms. Fly, you're here in support of the

1 application which Yates has filed in this cause
2 number, are you not?

3 A. Yes.

4 Q. In preparation for this hearing, you have
5 prepared for this hearing two exhibits, have you not?

6 A. Yes, sir.

7 Q. Would you please, starting with your
8 Exhibit No. 2 which I have placed on the wall--and if
9 you need to go up and help explain them--would you
10 please start with that? And I guess you might want to
11 give an overview of the geologic makeup that we have
12 out here in the South Dagger Draw. And please do it
13 as you feel most comfortable.

14 A. Okay. First of all I would like to state a
15 little bit about the well site work I've done in these
16 two fields. I've set numerous wells out there within
17 the past year and a half, and both the Dagger Draw
18 North and South fields seem to exhibit very similar
19 characteristics in regard to sample and oil and gas
20 show parameters in the respective pay intervals.

21 Lithologically they both are comprised of a
22 characteristic tan, sucrosic dolomite (phonetic) which
23 exhibits a well-developed medium crystalline
24 orthorhombic texture in the porous zones.

25 Hydrocarbon shows in both fields are

1 generally characterized by a subtle but obvious gas
2 kick through the pay interests. And Exhibit 2 is my
3 map. This exhibit is a map of both the Dagger Draw
4 North and South oil fields, and both fields can
5 produce from a combined stratigraphic and hydrodynamic
6 trap consisting of a band of porous and permeable
7 dolomite pinching out updip, which is towards the west
8 on this map, into a tight-sealing limestone.

9 Production in both fields is essentially
10 identical in composition, composed in various
11 quantities of a sweet oil, sour gas and sulfa water.
12 The downdip producing limit is constrained by
13 economics related to a substantial increase in the
14 water production. There's no water-free production in
15 these two fields. However, there is a
16 hydrodynamically tilted surface below which the
17 dolomite reservoir is virtually all waterfilled. This
18 waterfilled part is referred to by Yates as the Big
19 Water.

20 Due to an eastward directed hydrodynamic
21 water flow, the Big Water surface tilts predominantly
22 in the eastward direction. The map shows a combined
23 canyon dolomite structure top and a top structure top
24 of the Big Water.

25 The blue lines show the structural

1 configuration of the dolomite dipping towards the east
2 and in 100-foot contours. And the red contour show
3 the structural configuration of the tilted Big Water
4 surface in a 50-foot contour interval.

5 Both sets of contours are limited on the
6 east and west by zero dolomite pinchput lines that are
7 shown there in purple. The wells that are circled on
8 the map are canyon or deeper penetration, with the
9 green-highlighted ones being canyon dolomite
10 producers.

11 I know it's kind of busy, but can you pick
12 up all of that?

13 EXAMINER MORROW: I didn't get it all, but
14 I got some.

15 A. I would like to go on to the next exhibit.

16 Q. That's fine. Exhibit No. 3.

17 A. Exhibit No. 3 here is a cross-section that
18 adds a third dimension to my map. I have this
19 highlighted in kind of--supposed to be yellow here.
20 It should run along strike of the Dagger Draw South up
21 to the North field.

22 It does seem apparent in this cross-section
23 that the reservoirs in both fields are actually one
24 continuous lithologically identical interval. Here is
25 my structure of the Big Water. We tend to perforate

1 above that.

2 Q. Okay, thank you. Ms. Fly, with respect to
3 the conclusions that one can draw from these two
4 exhibits that you have prepared, what is the basic
5 conclusion that one may draw with respect to the issue
6 at hand as to whether or not these North Dagger Draw
7 and South Dagger Draw are one reservoir?

8 A. Well, I feel like this map and
9 cross-section show that both the North and South
10 Dagger Draw oil fields are in the same reservoir
11 system, and the dolomite reservoir is continuous from
12 the north to the south as seen there in the map, with
13 the same updip pinchout into the impermeable
14 limestone.

15 Not only are the lithological relationships
16 the same in both fields, but the fluid characteristics
17 are essentially the same, both quantitatively and
18 qualitatively. In addition, Yates feels that the
19 pressure regime is the same in both fields also, and
20 that aspect will be covered in a little more detail by
21 our reservoir engineer.

22 Q. From a geologic standpoint, Ms. Fly, is
23 there any evidence which would--any geologic evidence
24 which would dictate against the Commission granting
25 the application of Yates?

1 A. No. I don't see any.

2 Q. With respect to the issue of the prevention
3 of waste, do you feel that the granting of this
4 application would prevent waste?

5 A. Yes.

6 Q. With respect to the issue of the protection
7 of correlative rights, do you feel that the granting
8 of this application, at least from your point of view,
9 a geologic standpoint, would the granting of this
10 application protect correlative rights?

11 A. Yes, I feel that way.

12 Q. The two exhibits which you have testified
13 to, Exhibits 2 and 3, were those exhibits prepared by
14 yourself or under your direction for presentation
15 here?

16 A. Yes, they were.

17 MR. CARROLL: Mr. Examiner, I would move
18 the admission of Exhibits 2 and 3.

19 EXAMINER MORROW: Exhibits 2 and 3 are
20 accepted.

21 MR. CARROLL: I have no further questions
22 of Ms. Fly, Mr. Examiner.

23 EXAMINATION

24 BY EXAMINER MORROW:

25 Q. Ms. Fly, the wells in between the South

1 Dagger Draw and the North Dagger Draw, are there some
2 completions there in the same zone as produces from
3 these two fields?

4 A. In that one-mile interval there?

5 Q. Yes, ma'am.

6 A. I think there are. Let's see here on my
7 map. That would fall in Section 11. All those
8 completions there are in the Morrow gas.

9 Q. It looks like there's some up in Section 2
10 and 3 also, some acreage at least. I can't make it
11 out. There's some sort of completion there?

12 A. Yes, there is one here, the Ceniza, in the
13 southern portion.

14 Q. Do you know what field those are assigned
15 to?

16 A. I think they might be in an undesignated
17 field right now. I'm not sure. I can clarify that
18 with my petroleum engineer.

19 Q. All right. You indicated you thought this
20 would prevent waste. How do you perceive that it
21 will?

22 A. Right now I feel like we're leaving a lot
23 of oil in the subsurface by not lifting out as much as
24 we can. And with the technique of our production,
25 which the reservoir engineer will speak of, it would

1 help to be able to lift out a larger quantity of oil
2 and, therefore, it would leave less in the
3 subsurface.

4 MR. CARROLL: Mr. McWhorter will address
5 that issue directly in his testimony, Mr. Examiner.

6 EXAMINER MORROW: Ms. Fly, you may be
7 excused. Thank you.

8 MR. CARROLL: We will be calling Pinson
9 McWhorter next, Mr. Examiner.

10 PINSON McWHORTER

11 the witness herein, after having been first duly sworn
12 upon his oath, was examined and testified as follows:

13 EXAMINATION

14 BY MR. CARROLL:

15 Q. Would you please state your full name,
16 occupation, and by whom you're employed?

17 A. My name is Pinson McWhorter. I work for
18 Yates Petroleum Corporation. I'm a petroleum
19 engineer.

20 Q. Mr. McWhorter, you have not previously
21 testified before this Commission, have you?

22 A. That is correct.

23 Q. Mr. McWhorter, would you please briefly go
24 over your educational and work experience background
25 as a petroleum engineer?

1 A. I have a Bachelor of Science in petroleum
2 engineering from the University of Texas at Austin. I
3 was employed as a reservoir engineer with Tenneco Oil
4 Company for eight years. I have been employed with
5 Yates Petroleum as a petroleum engineer for about 15
6 months.

7 The basis of my experience has been the
8 Permian Basin, West Texas and Southeast New Mexico,
9 which has been 90 percent of my experience.

10 Q. With respect to the application that Yates
11 has before the Commission today, do you have personal
12 experience and knowledge of this particular field, the
13 South Dagger Draw, and this part of Southeastern New
14 Mexico?

15 A. Yes, I do.

16 MR. CARROLL: Mr. Examiner, we would tender
17 Mr. McWhorter as an expert in the field of petroleum
18 engineering.

19 EXAMINER MORROW: His qualifications are
20 accepted.

21 Q. Mr. McWhorter, you are familiar with this
22 application, are you not?

23 A. Yes, I am.

24 Q. Mr. McWhorter, could you briefly summarize
25 the need that has been felt by Yates and why it has

1 presented this application, as an overview, so that
2 the Commission will understand just exactly where we
3 stand and where we're going?

4 A. Surely. Yates Petroleum views this pool as
5 being really part of all of the same continuous
6 dolomite system that runs from Indian Basin, north.
7 We look at it as the pools were developed separately,
8 by separate operators, in the mid-60s, early 70s. As
9 continual development has gone on, the added
10 information has indicated that they are, in fact, part
11 of the same reservoir system and that they are
12 hydrologically communicated systems.

13 We feel that there is a disparity in the
14 field rules, and that in order to protect the
15 correlative rights of interest owners in the southern
16 part, that there needs to be more equity in the way
17 the rules are partitioned between the north and the
18 south.

19 Q. Mr. McWhorter, you have prepared certain
20 exhibits to aid in your presentation, have you not?

21 A. Yes, I have.

22 Q. Turn to your Exhibit No. 4. If you would
23 explain what that exhibit is, what it purports to
24 portray and any conclusions that one might draw from
25 that exhibit?

1 A. Yes. Exhibit No. 4 is a tabulation of
2 original reservoir pressure in the South Dagger Draw
3 Upper Penn and in the North Dagger Draw Upper Penn. I
4 have tabulated them according to the particular area.
5 South Dagger Draw is at the top and the north Dagger
6 Draw is at the bottom.

7 I've identified the well names and the
8 locations of the wells. Some of the wells Yates
9 Petroleum has taken over operation of. I've indicated
10 the current name--we changed the names on them--and
11 the former name of the well.

12 In addition, I've indicated the date that
13 these pressure tests were taken, and I've referenced
14 everything to a subsea datum of minus 3900 feet, and
15 referenced everything to absolute pressure.

16 What this shows is that the average
17 original pressure in Dagger Draw South, measured
18 pressure, was 2976 PSIA, and in the North Dagger Draw
19 it was 2969 PSIA, about two-tenths of a percent
20 difference. The conclusion from that is that this is
21 evidence of hydraulic communication in that the
22 reservoir pressures were the same.

23 Q. With respect to the issue before the
24 Commission and that is making a determination that the
25 South Dagger Draw and North Dagger Draw are, in fact,

1 one reservoir, does the data or the conclusions which
2 you've drawn support that?

3 A. Yes, it does. It shows that the reservoir
4 not only is lithologically and geologically the same,
5 but also there's hydraulic communication. It's the
6 same reservoir.

7 Q. All right. Would you turn to your Exhibit
8 No. 5 and likewise describe what it is, the material
9 contained thereon, and any conclusions that you're
10 able to draw from it?

11 A. Yes, this is a similar exhibit. This is a
12 tabulation of current reservoir pressure, South Dagger
13 Draw and North Dagger Draw. The wells that I've
14 selected are wells that are representative sample from
15 the South and the North portion. Again, I've
16 identified the location and the date of the sampling
17 of these pressure measurements. I've referenced it to
18 minus 3900 foot subsea datum.

19 The average pressure in Dagger Draw South
20 currently is 2449 PSIA; the average reservoir pressure
21 in North Dagger Draw currently is 2429 PSIA; again,
22 less than a one-percent difference currently. Again,
23 this is indicative of these two being the same
24 reservoir.

25 Q. All right. Would you turn to Exhibit No. 6

1 and likewise explain any conclusions that you might
2 draw from it?

3 A. Yes. Exhibit No. 6 is a comparison of the
4 Upper Penn formation waters between the South Dagger
5 Draw and the North Dagger Draw. I've basically listed
6 wells from the South Dagger Draw, some wells from the
7 North Dagger Draw, and shown the similarities of the
8 formation waters, that being an indication again of
9 the hydraulic connectivity of the two reservoirs.

10 The thing that makes it more unique is the
11 total dissolved solids on these waters run usually
12 less than 10,000. There are a couple that are greater
13 than 10,000. This is an extremely fresh water
14 system. Chlorides run anywhere from 3,000 to 6,000
15 parts per million. It's an extremely fresh water
16 system indicative of hydrodynamic traps and recharge.

17 You'll see that water is fresh water in the
18 South, formation water, and the water in the North
19 Dagger Draw is a fresh formation water, again
20 indicating the fact that these are the same reservoir
21 system.

22 Q. Mr. McWhorter, with respect to your study
23 of this particular reservoir, are you aware of any
24 other evidence that you have not presented to the
25 Commission which would be contrary to the conclusion

1 which you have at least presented to the Commission
2 that this is one reservoir system? Is there anything
3 out there that you believe dictates, or that you're
4 aware of that dictates that your conclusion is
5 incorrect?

6 A. No. The studies I've done as reservoir
7 engineer and the reservoir fluid studies that I've
8 done and the reservoir pressure study and production
9 studies that I've done, indicate that this is one
10 reservoir system here and there's not any evidence
11 that I've come across to indicate otherwise.

12 Q. Mr. McWhorter, with respect to your field
13 of expertise, is there any reason that you can think
14 of for having differing pool rules at this period of
15 time for the North Dagger Draw field as opposed to the
16 South Dagger Draw field?

17 A. No. I can think of none.

18 Q. Mr. McWhorter, as we've alluded to earlier
19 in the testimony, especially with respect to the issue
20 of waste, does Yates have, or yourself, do you have an
21 opinion as to why there is a need at this time to
22 change the field rules?

23 A. Yes. We believe, and studies have shown,
24 that with regard to waste that there is such a
25 tremendous demand on lift in this pool, these two

1 pools, as far as lifting large volumes of fluid, that
2 if we run submersible pumps in all these wells and
3 those wells that have restrictions on the pumping
4 rates do not produce the oil rates of the wells that
5 are unrestricted--and the restrictions and the
6 unrestrictions I mean there is that if a well can
7 produce and keep a bottom-hole flowing pressure or
8 pump intake pressure of 8- to 900 pounds, and it is
9 pumped off, and it is a considerably different well
10 from one where we might have to run a pump somewhere
11 in the neighborhood of 1,500 to 1,600 pounds of pump
12 intake pressure, we have a lot of back pressure from
13 the water, the excessive amount of water, and we see
14 dramatic decreases in our oil cut. The things that
15 would necessitate keeping that much back pressure
16 would be lower allowables, where we either have to cut
17 the pump rate back or we have to actually shut the
18 well in for a given amount of days.

19 Q. With respect to the testimony that you just
20 gave, you have prepared an exhibit which shows a case
21 in point which illustrates what has happened, and that
22 is Exhibit 7, is it not?

23 A. Yes, it is.

24 Q. Would you explain what is contained on
25 Exhibit 7, what well and where that well is located

1 that we're using for an example?

2 A. Okay. This well is the Roden GD Fed Com
3 #2. It's actually a well in the North Dagger Draw.
4 It's in Section 25 of North Dagger Draw. This plot
5 shows gas and water, and on the left-hand axis it
6 shows oil production and the right-hand axis is
7 monthly production. Oil's in green, gas and Mcf is
8 in red and water is in blue, and it shows the history
9 of the well, and it shows that--this example shows the
10 effects of what I was talking about.

11 When this well was actually curtailed not
12 for allowable reasons but for some other reasons, we
13 could not keep pump intake pressure at 8- to 900
14 pounds. We had quite a bit of high intake pressure
15 and we had to shut the well in and bring it back down
16 and lift all the water back off again. Once we were
17 out of those conditions and were able to pump the well
18 off, we were able to substantially increase our oil
19 production, even though the water production didn't
20 increase quite as dramatically as the oil production.

21 Q. Mr. McWhorter, is it your opinion if the
22 allowable were raised from the present 267 to bring it
23 up to, I believe it would be, 700 barrels per day for
24 a 320-acre, do you believe that the wells in the South
25 Dagger Draw would be able to be produced or would

1 bring up their production of oil as illustrated by
2 this Roden GD Federal Com #2?

3 A. Yes, I believe that that would maximize the
4 pumping efficiency for this particular reservoir, and
5 lifting of the 267 per day top allowable for a
6 320-acre spacing unit, which is the equivalent to 133
7 barrels per day per 160, as compared to 350 barrels
8 per day for 160 in the North, would give us the
9 operating room to more efficiently lift these wells
10 and, really, produce more oil.

11 Q. In that conjunction, then, is it your
12 opinion that the granting of this application would
13 prevent waste?

14 A. Yes.

15 Q. The reason it would prevent waste is the
16 basis of the discussion you have just given to the
17 Commission?

18 A. That is correct.

19 Q. With respect to the issue of protection of
20 correlative rights, do you believe that the granting
21 of this petition will protect correlative rights?

22 A. Yes, I do. I think that having the more
23 reasonable and just and equitable allowable between,
24 essentially, two pools that are of the same reservoir
25 system, would better protect the correlative rights of

1 those in the South Dagger Draw.

2 Q. You were aware, Mr. McWhorter, that last
3 week the OCD held an open meeting in Santa Fe to
4 discuss potential methods for increasing oil
5 production, were you not?

6 A. Yes.

7 Q. At that particular meeting, Conoco Oil made
8 a statement to Mr. LeMay that one of the ways to
9 accomplish this might be to up the allowable in the
10 South Dagger Draw Field, is that correct?

11 A. Yes, that is correct.

12 Q. And apparently the increasing of production
13 without affecting correlative rights and causing of
14 waste seems to be a very important issue within the
15 state in oil producers, and this is also a very
16 important problem for Yates Petroleum, is it not?

17 A. It is.

18 Q. Exhibit 8 is a letter which the land
19 manager of Yates Petroleum wrote to Mr. LeMay and
20 discusses this particular field, does it not?

21 A. Yes, it does.

22 Q. In that letter there are certain, I guess,
23 predictions made about how much oil or how much oil
24 production could be increased down there. You've seen
25 those figures and actually were the source of those

1 figures, were you not?

2 A. Yes, that is correct.

3 Q. And exactly what kind of increase in
4 production are we talking about which was conveyed in
5 this letter by Mr. Patterson to Mr. LeMay?

6 A. Currently we're producing approximately
7 4500 barrels of oil per day in the North Dagger Draw
8 and South Dagger Draw combined. That is on Yates
9 Petroleum Corporation operated wells only.

10 We project that if we could have--our
11 letter asks or proposes a doubling of the allowable
12 and also supposes that the current application for
13 fuel oil changes would be approved.

14 Under those two suppositions, we could
15 increase, just for the current wells we have, to 5100
16 barrels a day, which would be a 600 barrel per day
17 increase in production. With further drilling in the
18 South Dagger Draw, further drilling could result in
19 6500 hundred 7000 barrels per day of Yates Petroleum
20 operated production, which would be about 2000 to 2500
21 barrel per day increase of what we currently make.

22 Q. With respect to the exhibits that you've
23 testified to, Mr. McWhorter, were these exhibits
24 prepared under your direction and control?

25 A. Yes, they were.

1 MR. CARROLL: Mr. Examiner, we would move
2 the admission of the remainder of Yates exhibits,
3 which I believe would be Exhibits 4 through 8.

4 EXAMINER MORROW: Exhibits 4 through 8 are
5 admitted.

6 MR. CARROLL: I would have no further
7 questions of Mr. McWhorter.

8 EXAMINATION

9 BY EXAMINER MORROW:

10 Q. Mr. McWhorter, my memory of the discussion
11 of the hearing on September 24th was that Conoco
12 proposed an increase in the North Dagger Draw. They
13 may have gotten around to the South later, but if that
14 increase was obtained, would you then propose another
15 increase to catch up with the North Dagger Draw, or do
16 you know yet?

17 A. Well, sir, what I would propose is that the
18 two pools always be kept equitable in the ways that we
19 can produce and the allowables that we can produce.

20 Q. Are there any wells in the field now that
21 will produce at the rates that any wells or any
22 320-acre producing units that will produce at the
23 rates which are requested here today?

24 A. Currently, sir, there certainly are. There
25 are some wells--well, only in the North part. We have

1 not really done enough drilling in the South part to
2 really have any combinations or a particular well on a
3 320 that would come up to the 700 barrel a day.
4 Although we do have a well, the John AGU which is
5 listed on the current reservoir pressure exhibit, and
6 its location is given, and also on the comparison of
7 water and the formation of water there, also. The
8 John AGU has a capacity of about 450 barrels per day
9 right now, and the allowable for that proration unit
10 is 267. So, that one particular well substantially
11 has a lot of capacity in excess of the current
12 allowable.

13 Q. To meet the 700, then, would you anticipate
14 that additional wells would be drilled where there's
15 already a well on the 320, in order to get two or more
16 wells to produce at the rate requested?

17 A. Yes, sir. That is part and parcel of these
18 numbers that were referred to in this letter to Mr.
19 LeMay. That development drilling program is set upon
20 the idea of drilling more 320-spacing units and
21 drilling second wells within a given 320-spacing
22 unit.

23 MR. CARROLL: Mr. Examiner, if I might
24 interrupt and address that issue, the drilling on the
25 320? In the past that was a problem that we have

1 faced in other places in New Mexico, and the
2 Commission has, through Mr. LeMay, has always voiced a
3 preference not to go back and readjust these
4 old--certainly it would be the best to have 160-acre
5 proration units like the North Dagger Draw, but these
6 wells, a number of them have been drilled for a number
7 of years and going back and adjusting the equities for
8 the different royalty owners and what have you, almost
9 presents an insurmountable problem.

10 So the solution which we've seen the
11 Commission take in the past is the one that we
12 propose, is to go ahead and leave it at 320, allow us
13 to drill on 160s, which would then necessitate the
14 cutting in half of the allowable, which would then
15 make it the same as the North, 350 on each 160 acres.

16 That's why we've presented the application
17 like it is and it's based on our perception of what
18 the Commission's policy has been in the past and that
19 overwhelming problem of trying to protect the
20 interests of these royalty interest holders. Like I
21 say, these wells, as Mr. McWhorter stated, they have
22 been drilled back into the 60s. This field has been
23 slow in developing, and these rights have been
24 developed over a long time, and it would be hard to
25 untangle them.

1 Q. (BY EXAMINER MORROW) You indicated there
2 were some 320s that aren't developed in the South
3 Dagger Draw area, or did I miss that?

4 A. That is correct, sir. There are some that
5 haven't been drilled, such as the South 320 in Section
6 26 there has not been drilled on to date in the Upper
7 Penn.

8 Q. With the gas limit increase up to seven
9 million a day for each 320-acre unit, how much
10 additional gas would you anticipate would be produced
11 from the South Dagger Draw area?

12 A. Looking at the current production versus
13 what we could really incrementally increase, looking
14 somewhere in the neighborhood of 8 to 9 million a day.

15 Q. Increase?

16 A. Increase, actually incremental volumes of
17 gas.

18 Q. That's just on your wells in the unit?

19 A. Yes, sir.

20 Q. What percentage of the field does Yates
21 control?

22 A. Of the South Dagger Draw, we control all
23 except one 640, which Conoco has in Section 35.

24 Q. Are sales facilities available for the
25 additional gas production? Would there be any problem

1 with processing and marketing that gas?

2 A. No, sir, we have ample facilities to gather
3 the gas, deliver it, sweeten the gas, and sell it at
4 this time.

5 Q. Ms. Fly talked about the water in relation
6 to the oil interval?

7 A. Yes, sir.

8 Q. Do you know if there's a gas cap in the
9 field at this time, or was there one originally?

10 A. Since this field is cover by 5353, it was
11 surmised in the initial development of the field that
12 it seemed to be a gas cap type field. My studies of
13 it indicate that the gas is significantly displaced,
14 the gassier portion of the reservoir is significantly
15 displaced in the updip western edge of the field along
16 the dolomite pinchout. Much of that is due to the
17 hydrodynamic nature of the packing mechanism itself.

18 Just the pure physics of it would
19 necessitate that if you have moving water that the oil
20 is going to migrate to a different location within the
21 reservoir than the gas will, and as we've drilled this
22 up, we have found higher gas ratio wells on the
23 western edge of the dolomite, but we have not found a
24 true gas cap that overlies an oil column and would
25 give a lot of energy through gas cap expansion to the

1 completion of the oil column.

2 Q. Do you know what the original solution GOR
3 was?

4 A. Original solution GOR was around a
5 thousand. We have sampled a well, the State CO #2,
6 which is in Section 36 of 19/24, and we picked up a
7 sample out of there and we measured like a 990 GOR in
8 that well. That was in the north part. I do not have
9 any PVT fluid analyses for the South Dagger Draw.

10 Q. The July-December proration schedule shows
11 three Yates completions, and the information you
12 submitted requesting the hearing had seven or eight or
13 more than that on there. Are those recently drilled
14 wells or recompletions or what?

15 A. They're recently drilled and there are some
16 that are recent reenters of some wells that were part
17 of the original drilling of South Dagger Draw when
18 Roger Hanks was the operator and drilled it up and
19 Conoco later acquired that, and we have subsequently
20 acquired it from Conoco and have reentered some of
21 those Upper Penn wells in recent months. And we're
22 also doing some additional drilling. We have ongoing
23 completions and drilling going on at this very time.

24 Q. You may have covered it and I missed it,
25 but would you go over the reason for requesting the

1 change from 1980 to 660 from the lease line?

2 A. All right. The 1980 rule, of course, is
3 based upon a 320-spacing unit. We feel that to
4 properly drill up this field in a fashion similar to
5 how we're drilling the North Dagger Draw, since these
6 are really one in the same, that we need to have well
7 spacing requirements that will allow us to better spot
8 locations and be more in compliance with the North
9 Dagger Draw.

10 EXAMINER MORROW: You may be excused, sir.

11 MR. CARROLL: We have no further evidence
12 to put on before the Commission today, Mr. Examiner.

13 EXAMINER MORROW: All right.

14 MR. STOVALL: Mr. Carroll, I have waivers
15 here. Do you wish to have those admitted, too?

16 MR. CARROLL: I intended just to file them
17 with the Commission for filing in the file, but
18 however you wish to do that. I have no objection to
19 them being treated as exhibits or as just a filing.

20 MR. STOVALL: Why don't you go ahead and
21 mark them and submit them that way. It's easier to
22 refer to them that way. Just mark them all as one
23 exhibit, I think.

24 MR. CARROLL: They would be Exhibits 9-A
25 through -D.

1 EXAMINER MORROW: All right. Case 10108
2 will be taken under advisement.

3 (Thereupon, the proceedings concluded.)

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

STATE OF NEW MEXICO
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
OIL CONSERVATION DIVISION

CASE 10,108

EXAMINER HEARING


IN THE MATTER OF:

In the matter of Case 10,108 being reopened pursuant to the provisions of Division Order Number R-5353-L, as amended, which order amended the special rules and regulations for the South Dagger-Upper Pennsylvanian Associated Pool in Eddy County

TRANSCRIPT OF PROCEEDINGS

ORIGINAL

BEFORE: DAVID R. CATANACH, EXAMINER



STATE LAND OFFICE BUILDING

SANTA FE, NEW MEXICO

December 3rd, 1992

A P P E A R A N C E S

FOR THE DIVISION:

ROBERT G. STOVALL
Attorney at Law
Legal Counsel to the Division
State Land Office Building
Santa Fe, New Mexico 87504

FOR YATES PETROLEUM:

LOSEE, CARSON, HAAS & CARROLL, P.A.
Attorneys at Law
By: ERNEST L. CARROLL
300 American Home Building
Post Office Drawer 239
Artesia, New Mexico 88211-0239

FOR MARATHON OIL COMPANY AND CONOCO, INC.:

KELLAHIN & KELLAHIN
Attorneys at Law
By: W. THOMAS KELLAHIN
117 N. Guadalupe
P.O. Box 2265
Santa Fe, New Mexico 87504-2265

* * *

I N D E X

	Page Number
Appearances	2
Exhibits	4
DAVID F. BONEAU	
Direct Examination by Mr. Carroll	6
Cross-Examination by Mr. Kellahin	22
Examination by Examiner Catanach	26
Examination by Mr. Stovall	29
Further Examination by Examiner Catanach	32
Certificate of Reporter	34

* * *

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

E X H I B I T S

YATES EXHIBITS:

Exhibit 1	10
Exhibit 1A	10
Exhibit 2	11
Exhibit 3	14
Exhibit 4	14
Exhibit 5	15
Exhibit 6	15
Exhibit 7	16
Exhibit 8	16
Exhibit 9	16
Exhibit 10	16
Exhibit 11	16
Exhibit 12	21

* * *

1 WHEREUPON, the following proceedings were had
2 at 10:04 a.m.

3
4 EXAMINER CATANACH: Call the hearing back to
5 order, and at this time we'll call Case 10,108.

6 MR. STOVALL: In the matter of Case 10,108
7 being reopened pursuant to the provisions of Division
8 Order Number R-5353-L, as amended, which order amended
9 the special rules and regulations for the South Dagger-
10 Upper Pennsylvanian Associated Pool in Eddy County.

11 EXAMINER CATANACH: Are there appearances in
12 this case?

13 MR. CARROLL: Mr. Examiner, my name is Ernest
14 Carroll of the Artesia law firm of Losee, Carson, Haas
15 and Carroll.

16 I'm here today representing Yates Petroleum,
17 and I will have one witness.

18 EXAMINER CATANACH: Other appearances?

19 MR. KELLAHIN: Mr. Examiner, I'm Tom Kellahin
20 of the Santa Fe law firm of Kellahin & Kellahin,
21 appearing today on behalf of Marathon Oil Company and
22 Conoco, Inc.

23 EXAMINER CATANACH: Additional appearances?

24 Will the witness please stand and be sworn
25 in?

1 DAVID F. BONEAU,

2 the witness herein, after having been first duly sworn
3 upon his oath, was examined and testified as follows:

4 DIRECT EXAMINATION

5 BY MR. CARROLL:

6 Q. Would you please state your name and
7 employment for the record?

8 A. My name is David Francis Boneau. I'm
9 employed by Yates Petroleum in Artesia, New Mexico as a
10 reservoir engineering supervisor.

11 Q. Mr. Boneau, have you previously testified
12 before the Oil Conservation Division and had your
13 credentials accepted with respect to the field of oil
14 reservoir engineering?

15 A. Yes, sir.

16 MR. CARROLL: Mr. Examiner, I tender Mr.
17 Boneau as an expert in the field of reservoir
18 engineering.

19 EXAMINER CATANACH: Mr. Boneau is so
20 qualified.

21 Q. (By Mr. Carroll) Mr. Boneau, today you're
22 here on behalf of Yates Petroleum with respect to the
23 reopening of Case 10,108; is that correct?

24 A. Yes, sir.

25 Q. You are familiar with the matters that that

1 case dealt with in the past, are you not?

2 A. That's correct.

3 Q. Would you briefly state for the record and
4 this Examiner the position that Yates Petroleum takes
5 with respect to the reopening of this case?

6 A. I think it would help to take a minute or two
7 to review where we are and what we -- how we got here
8 and what we want, what we need.

9 Case 10,108 was heard October 3rd, 1990, by
10 Jim Morrow and resulted in Order 5353-L.

11 At that time Yates asked that the special
12 pool rules for South Dagger Draw field be made
13 equivalent or parallel to those for the North Dagger
14 Draw-Upper Penn field, and we put on engineering and
15 geological testimony at that time which showed that
16 North and South Dagger Draw-Upper Penn Pools are in
17 geological and pressure communication and are in fact
18 both part of the same pool, and one of the findings in
19 Order 5353-L states that.

20 MR. STOVALL: Dr. Boneau, if I might
21 interrupt you, just to get my -- I don't know what --
22 orientation.

23 Is this the one where you've got a 160 and a
24 320 pool adjacent to each other, and you're --

25 THE WITNESS: That's correct.

1 MR. STOVALL: -- and that was originally to
2 balance the allowables and GORs so they could produce
3 at a common rate with different spacing?

4 THE WITNESS: You're thinking the right
5 place, yes, sir.

6 MR. STOVALL: Oh, good, I know where I am
7 now. Please continue. I'm sorry to interrupt you.

8 THE WITNESS: Yeah, I was hoping to get to
9 that point pretty quickly.

10 MR. STOVALL: Got you there quick.

11 THE WITNESS: Before October, 1990, the rules
12 were, in North Dagger, 160-acre spacing with 350-
13 barrel-a-day allowable and 10,000 GOR.

14 And the rules in South Dagger before this
15 hearing in October of 1990 were 320-acre spacing, 267
16 barrels of oil a day and an 8000 GOR.

17 And in the case we asked, along with some
18 other operators, that South Dagger Draw be made
19 equivalent or parallel or -- you know, not exactly the
20 same, retain the 320-acre spacing, but raise the
21 allowable to 700 barrels of oil per day, per 320 acres,
22 with a 10,000 GOR, and the space -- the well locations
23 were changed so that wells could be 660 from an outer
24 boundary and no closer than 330 to a quarter quarter
25 section.

1 And that's what was granted. In the Order of
2 October 26th, 1990, the 700-barrel-a-day allowable and
3 the 10,000 GOR were granted on a temporary basis with
4 the case to be re-opened late in 1992, which is now.

5 One other factor, then, in February of 1991,
6 just a couple of months after this, Conoco came and
7 asked that the allowable in North Dagger Draw be
8 doubled, and at the same time Yates came and asked that
9 the allowable in South Dagger Draw be kept equivalent
10 and also doubled.

11 And that resulted in an Order 5353-L-1, which
12 doubled the allowable temporarily till now, is how it
13 was stated. So it modified the October Order to be
14 1400 barrels a day in South Dagger Draw.

15 So the present rules in South Dagger Draw are
16 320-acre spacing, 1400 barrels a day allowable, 10,000
17 GOR, and the wells 660 from the outer boundary and 330
18 from the quarter quarter section.

19 And we are here today asking that these rules
20 be retained and made permanent.

21 Q. (By Mr. Carroll) Now, Mr. Boneau, you have
22 prepared certain exhibits to substantiate this request
23 of the Commission to make these rules permanent; is
24 that correct?

25 A. That's correct, yes, sir.

1 Q. Would you turn to your first two exhibits,
2 which is -- they are marked 1 and 1A -- and would you
3 identify for the record what these exhibits are and
4 then explain their significance.

5 A. At the time of these earlier hearings, the
6 main findings in my mind were that the two pools were
7 in communication; they really are part of the same
8 reservoir.

9 And secondly, we essentially promised that
10 the new rules would result in increased production from
11 South Dagger Draw.

12 Exhibit Number 1 shows the average daily
13 production for the last month that's available, which
14 is September, and the oil production in South Dagger
15 Draw has gone from about 500 barrels a day in October
16 of 1990 to 6565 barrels of oil per day in the fall of
17 1992. The gas production is now 40 million a day, and
18 water production is 18,732 barrels of water per day.

19 Kind of as a point of interest, the combined
20 pools are producing about 22,000 barrels of oil per
21 day, which is the largest production from any field in
22 New Mexico.

23 Q. So basically the operator's promise to make
24 more -- or create more production, they have at least
25 followed through with that promise, have they not?

1 A. There were about ten wells in South Dagger
2 Draw. There are now 57.

3 It's a big thick dolomite reservoir with up
4 to -- as Exhibit 1 says, up to 236 feet of net pay. We
5 estimate there are around 50 million barrels of oil in
6 place and 100 BCF of gas in place in South Dagger Draw,
7 and in the past two years there's been a lot of
8 activity to develop these resources.

9 Exhibit 1A simply breaks down the production
10 by operator, and it basically just shows that Yates
11 operates 80 to 90 percent of the production in South
12 Dagger Draw. The other operators there are Nearburg,
13 McKay, Conoco, and also Marathon, who has started a
14 well or two in the recent past.

15 Yates is not so much the dominant operator in
16 North Dagger Draw, but in South Dagger Draw we are the
17 largest part of the operation.

18 Q. All right, Mr. Boneau, would you turn now to
19 your Exhibit Number 2 --

20 A. Okay.

21 Q. -- and describe it and --

22 A. The two things I'm trying to show the
23 Examiner are that the 10,000 GOR is reasonable and that
24 the 1400-barrel-a-day allowable is being used and is --
25 ought to be maintained.

1 So Exhibit Number 2 is a map, and it's the
2 only map I brought, and so it's -- going to be the map
3 we refer to from time to time.

4 Q. This map does cover Townships 19 South and 20
5 South of Range 24 East of Eddy County, New Mexico, does
6 it not?

7 A. Well, it covers the south part of 19 and 24,
8 and the --

9 Q. -- north part of 20?

10 A. Pretty much all of 20-24.

11 Q. All right.

12 A. To kind of help orient people, South Dagger
13 Draw is the field south of the dashed line that goes
14 through Sections 9, 10, 11 and 12. The field continues
15 up into 20-24, and continues five or so miles further
16 up to the northeast. The Indian Basin-Upper Penn Pool
17 is in the township to the south.

18 Dagger Draw South consists of a -- is an
19 associated pool, and it consists of a strong oil leg,
20 where most of the black dots are, down through Sections
21 11, 14, 23 and 26. And to the west there is a gas cap,
22 and the gas wells out in Sections 15, 16, 22, et cetera
23 are in the gas cap of the South Dagger Draw-Upper Penn
24 Pool. Also the Conoco gas well in Section 35 of 20-24,
25 the Preston Federal, is in the gas cap of the South

1 Dagger Draw-Upper Penn Pool.

2 What's shown on this figure, the numbers next
3 to each dot is the GOR for the particular well in
4 September of 1992, and they range from, a few of them,
5 around a thousand, up to 8000 and 10,000 and 12,000 for
6 the oil wells. And then out in the gas cap, of course,
7 the GORs are 100,000, very large.

8 If you go down the wells that are on the east
9 side of Sections 11, 14, 23 and 26, those GORs average
10 about 3800.

11 If you go one set of 40s west, the GORs
12 average about 5000.

13 And if you go down that line of wells that
14 are essentially 1980 feet in from the west of 11, 14,
15 23 and 26, the average GOR is about 11,000.

16 And it increases as you go west. The field
17 is heterogeneous, and so it's not -- every well doesn't
18 follow what I'm saying. But the GORs increase to the
19 west.

20 And in the oil leg -- you can see the
21 numbers, but they're 2000s, 4000s, 6000s and some
22 8000s, and you're -- that's the GOR that occurs.

23 And the operators are trying to produce the
24 oil and keep the gas down, because the oil is what's
25 valuable.

1 But the GORs that occur are, in my opinion,
2 consistent with a GOR of 10,000. This is the data.

3 Q. All right. Would you turn now to your
4 exhibits, and I think Exhibits 3 and 4 can be talked
5 about concurrently, if you would describe what they are
6 and their significance.

7 A. Exhibits 3 and 4 are a history of production
8 and GOR in the South Dagger Draw-Upper Penn Pools,
9 starting from 1981 to -- through the first nine months
10 of 1992, and the -- Exhibit 4 is a plot of the GOR over
11 that time period.

12 There was not a whole lot of activity in
13 South Dagger Draw from 1981 to -- through 1989. If you
14 look at the oil production, it sort of decreased from
15 that 40,000 barrels a year down to almost nothing. And
16 the GORs were in the 20,000, 30,000, 40,000 range. The
17 main production during that time was from the Conoco
18 Preston Federal well.

19 Then in 1990, 1991 and 1992, occurred the
20 development that we talked about, and the GORs during
21 that time period have been 11,000 in 1990, 6875 in 1991
22 and about 5300 on average during 1992.

23 A real strong effort's been made to develop
24 the oil and stay away from the gas cap, and so we've
25 tried and the other operators have tried to drill oil

1 wells and minimize the GOR. And with all that effort,
2 the GOR is 5300.

3 The plot in Exhibit 4 shows exactly those
4 numbers, and the GORs in the last several years has
5 been in the 5000-to-10,000 range.

6 Q. All right. Would you next go to your
7 Exhibits 5 and 6?

8 A. Exhibits 5 and 6 are similar pictures for
9 North Dagger Draw, and the -- Again, there's been a big
10 upsurge in development in North Dagger Draw, but North
11 Dagger Draw does not have the gas cap, it has a little
12 better water support, and it's always had lower GORs.

13 So the GORs in North Dagger Draw are shown in
14 the right-hand column from 1976 to 1992. Actually, the
15 number for the 1984 is incorrect. It really should be
16 about 2500. But the GOR in North Dagger Draw has been
17 between 2500 and 4000 over the last ten years,
18 basically.

19 Q. Mr. Boneau, let me ask at this point, has
20 anything developed since the original hearing of this
21 case back in -- which resulted in the first Order
22 granting the special pool rules, has there been
23 anything come to your attention which would cause you
24 to change your opinion as to whether or not the North
25 and the South Dagger Draw fields are actually one field

1 geologically and are in communication?

2 A. No, there's nothing happened to change that.
3 In fact, the development has confirmed that. The map
4 in Exhibit 2 shows that wells have been developed right
5 across the boundary between the pools, and the wells
6 behave similarly and are clearly in pressure
7 communication.

8 Q. All right. Your next set -- group of
9 exhibits, 7 through 11, are individual proration unit
10 case histories, are they not?

11 A. Yes, sir, and what I had in mind for showing
12 that 1400 barrels a day is an acceptable allowable are
13 really two kinds of arguments.

14 First argument simply is that in the oil leg,
15 the field has been developed on what you would call 40-
16 acre spacing. You look at the map, and there's a well
17 on every 40 acres.

18 The depth bracket allowable for these wells
19 at 7500 feet is 187 barrels a day on a -- for a 40-acre
20 well, and you multiply that by eight wells in a 320-
21 acre spacing unit and you get 1496, which to me is
22 consistent with the 1400-barrel-a-day allowable that we
23 now have and that we're asking for.

24 So my first argument is that the field has in
25 fact been developed on 40 acres in the oil leg, and the

1 plain vanilla rules for 40-acre spacing at 7500 foot
2 would result in something very close to 1400 barrels of
3 oil per day.

4 MR. STOVALL: Except for the GOR. Pardon me.

5 THE WITNESS: Yes, sir. You've heard my
6 comments about the GOR in earlier exhibits, and now I'd
7 like to talk about the oil wells.

8 MR. STOVALL: Right, got you. I understand.

9 THE WITNESS: Yes, sir.

10 My other argument for the reasonableness of
11 the oil allowable is simply that the 1400-barrel-a-day
12 allowable is being used by proration units both in
13 South Dagger Draw and in nearby parts of North Dagger
14 Draw, and I have five exhibits which show specific
15 proration units and what their production has been.

16 Do you want to proceed to those?

17 Q. (By Mr. Carroll) Yes, just go right -- if
18 you would, starting with Exhibit Number 7 and proceed
19 through 11.

20 A. Exhibit Number 7 is a plot of monthly oil
21 production from the proration unit that consists of the
22 north half of Section 14 of 20-24, and that's in South
23 Dagger Draw.

24 The lines -- The black lines, the black
25 horizontal lines indicate -- the upper one indicates

1 the 1400-barrel-a-day allowable, approximately 43,000
2 barrels of oil per month. And the lower black line is
3 70 percent of that top allowable, just to indicate that
4 it's reasonably close to the top allowable.

5 The production from these wells in the north
6 half of 14 -- and there are five wells in that spacing
7 unit -- was around 15,000 barrels a day.

8 And when the other -- the wells were drilled
9 to bring it up to five wells, the production increased,
10 and it increased, as you can see, in early 1992, past
11 the allowable. And there was a month it was over
12 60,000 barrels, and it's dropped back down. But
13 through 1992 it's been producing mostly over 30,000
14 barrels a month and still producing 25,000 barrels a
15 month.

16 So it's using a really good part of that 1400
17 barrels a day allowable. And Yates will -- is
18 attempting to get two more wells drilled in that
19 proration unit. So this proration unit is capable of
20 producing over 1000 barrels of oil per day.

21 The second example is in Exhibit 8, and it
22 shows the spacing unit which is the east half of
23 Section 23, again in South Dagger Draw, and in that
24 spacing unit there are seven wells drilled. And since
25 mid-1991, the production has been over 25,000 barrels a

1 month, and mostly over 30,000 barrels a month. And
2 those seven wells are producing, again, approximately a
3 thousand barrels of oil per day out of that spacing
4 unit.

5 Exhibit 9 is the third example from South
6 Dagger Draw, and it consists of the east half of
7 Section 26 of 20-24. There, there are -- Six wells
8 exist on the map. There are actually five of them that
9 are producing. One of them is an old Roger Hanks well
10 from 20 or 25 years ago which is not producing very
11 much.

12 Again, those wells have just been drilled in
13 1992, and in the last half of 1992 they've been
14 producing above 30,000 barrels a month, so that those
15 five wells are producing approximately 1000 barrels of
16 oil per day from that spacing unit.

17 So pretty much throughout and in different
18 parts of South Dagger Draw, there are 320-acre spacing
19 units that are using this 1400 -- a very good part of
20 this 1400-barrel-a-day allowable, and they're capable
21 of producing that.

22 Exhibit 10, then, and Exhibit 11 are two
23 examples from North Dagger Draw. And there's a lot of
24 examples from North Dagger Draw we could bring up, but
25 I brought two that are fairly close to South Dagger

1 Draw.

2 Exhibit 10 is the 160 acres consisting of the
3 northeast quarter of Section 36 of 19-24, and that's at
4 the very top right of the map in Exhibit 2. This
5 spacing unit contains four wells, so it's fully
6 developed. And here for the 160-acre spacing unit, the
7 allowable is now 700 barrels a day, and these four
8 wells have been producing right at 700 barrels of oil
9 per day, or you can see some months have been over the
10 allowable.

11 And the final example is quite close to
12 Dagger Draw. It's the northeast quarter -- It's quite
13 close to South Dagger Draw. The spacing unit in
14 Exhibit 11 consists of the northeast quarter of Section
15 11, 20-24. It's immediately adjacent to South Dagger
16 Draw. There are three wells and one undrilled location
17 in this spacing unit.

18 In 1991, the production was between 18,000
19 and 22,000, 25,000 barrels of oil per month, and it's
20 decreased to about 15,000 barrels of oil per month.
21 And there will probably be a fourth well drilled in
22 this. But this spacing unit just offsetting South
23 Dagger Draw has been using the 700-barrel-a-day
24 allowable in North Dagger Draw.

25 So 160 acres -- There are many examples where

1 160 acres can produce very close to the 700 barrels a
2 day, and a number of examples are shown where the 320-
3 acre proration unit can produce near 1400 barrels of
4 oil per day. And we think that production should be
5 allowed to continue.

6 Q. All right. Mr. Boneau, your last exhibit is
7 Exhibit number 12. Would you describe what that
8 exhibit is?

9 A. Exhibit Number 12 is a letter faxed from a
10 man representing Nearburg Exploration, and it simply
11 says that they agree with keeping the rules the way
12 they are and they support all we're saying this
13 morning.

14 Q. All right. Mr. Boneau, is it your opinion
15 that the making permanent of the present temporary
16 rules that were put into effect by Order R-5353-L, as
17 amended, and R-5353-L-1 -- is it your opinion that the
18 making permanent of those special pool rules would
19 prevent waste and protect correlative rights?

20 A. Yes, sir.

21 Q. Is there any other issue that you'd like to
22 bring before the -- or bring to the attention of the
23 Examiner that I've overlooked to ask you about, Mr.
24 Boneau?

25 A. I don't believe so. I've assumed that the

1 well location part of the previous Order is really
2 what's standard, and I don't see any reason for
3 controversy about that.

4 I've tried to talk about the GOR and the oil
5 allowable, which are large numbers for an oil pool in
6 New Mexico, and I've shown what evidence there is to
7 show about how reasonable they are.

8 MR. CARROLL: All right, thank you, Mr.
9 Boneau.

10 At this time, Mr. Examiner, I would move
11 admission of Yates Exhibits 1 through 12.

12 EXAMINER CATANACH: Exhibits 1 through 12
13 will be admitted as evidence.

14 MR. CARROLL: Mr. Examiner, I would pass the
15 witness at this time.

16 EXAMINER CATANACH: Mr. Kellahin?

17 MR. KELLAHIN: Thank you.

18 CROSS-EXAMINATION

19 BY MR. KELLAHIN:

20 Q. Let me ask you about projections of future
21 expansions of the pool.

22 As we move south into 35 and into the next
23 township, do you anticipate that the oil will continue
24 to be productive in the pool as the pool is extended
25 further south, or have we determined and found the

1 limits of the oil production?

2 A. You're getting my opinion for your money --

3 Q. Yes, sir.

4 A. -- and that's what I'll tell you.

5 We are close to the limits of oil production
6 in the pools. There may be some oil production in the
7 north half of 35, there may be some oil production in a
8 decent part of 36, in the north half of 36, say.

9 There is probably no oil production
10 associated with South Dagger Draw in the township to
11 the south or in anything west of what we've talked
12 about.

13 Most of it -- mostly to the east -- Yates is
14 looking to go as far west as we can go and still get
15 oil. And you see on this exhibit there's a couple
16 wells in that westernmost column that have 22,000 GOR
17 and 67,000 GOR, but you also see in Section 14 there's
18 a well in the west half of the west half of Section 14
19 that still has a low GOR. So Yates is exploring moving
20 towards the gas cap and still getting oil.

21 People who have leases on the edge of the
22 pool are exploring to the south that we've talked
23 about.

24 And there still may be some wells, a few
25 wells to the east, but I think that's as far as the oil

1 can go.

2 Q. I'm curious in how the rules are going to
3 address the transition areas between the oil and the
4 gas production.

5 Under the associated pools, we currently are
6 precluded from having a 320 spacing unit that's
7 simultaneously dedicated to a gas well and to an oil
8 well in this pool. Is that yet a problem for anyone?
9 And if so, how do we handle it?

10 A. To my knowledge, that is not yet a problem
11 for anyone.

12 Well, the real answer to the problem is that
13 the -- in my mind, the gas is more valuable as energy
14 to produce the oil than it is as produced gas, and --

15 Q. If the operator is unfortunate enough,
16 though, in the first well in that spacing unit to have
17 drilled a gas well, then he needs to either not produce
18 the gas well and try again for an oil well --

19 A. Yes, and the reason there's not been a
20 problem like that to date is that Yates has the
21 majority of the oil and the majority of the gas leases.
22 If different people had the gas and the oil, that would
23 be a problem right now.

24 Q. So you don't see any problem in continuing
25 the associated rules as to this pool in terms of that

1 limitation?

2 A. No, I don't see a problem. I see that the
3 field cries to be unitized at some time in the not real
4 distant future.

5 Q. Okay. Are you satisfied that there is a gas
6 cap in the South Dagger Draw, that the gas zone is
7 going to be in communication with this oil zone?

8 A. Yes, definitely.

9 Q. What is the explanation for the limitation on
10 production as we move to the east?

11 A. Two limitations: You run out of dolomite.
12 But before you run out of dolomite, you run into water,
13 because it's downdip and the wells get wetter and
14 wetter. And not very far out there you run out of
15 dolomite, but you hit the water and -- excessive water.

16 Q. Within this fairway of oil, then, I don't see
17 any dry holes in the oil production. Has every well
18 that's been drilled in here been able to produce oil?

19 A. Yeah, there are four or five examples of
20 stinker wells in amongst good wells where it may be a
21 5- or 10-barrel-a-day well, surrounded by 200-barrel-a-
22 day wells. There are a couple of examples of things
23 like that.

24 But the Dolomite and the pay zone is
25 continuous through that fairway. It's very

1 heterogeneous, as low-porosity carbonates often are,
2 but it's all through there for sure.

3 Q. And the operators thus far have been
4 generally successful in maximizing the oil production
5 and minimizing the water?

6 A. Been fairly successful, yes. On a scale of 1
7 to 1, we've been 8 1/2 or 9, or something like that,
8 but not perfect.

9 MR. KELLAHIN: Okay. Thank you, Mr.
10 Examiner.

11 EXAMINATION

12 BY EXAMINER CATANACH:

13 Q. Mr. Boneau, in the North Dagger Draw Pool,
14 what is the GOR in that pool?

15 A. What is the --

16 Q. What is the GOR?

17 A. The allowed GOR is 10,000. The actual
18 producing GOR is about 3000.

19 The 10,000 that has been in effect in South
20 Dagger, and we're asking to continue in effect, arose
21 from North, from North Dagger Draw. And I don't know
22 all that history, but we took the GOR from North Dagger
23 Draw and said, Sounds like it would be good in South
24 Dagger Draw too.

25 Q. Do you know if the allowable and the GOR in

1 the north pool, are those subject to a review in the
2 near -- in the future?

3 A. My understanding is that they are not.

4 Q. Those are permanent rules?

5 A. Those are permanent rules, that's my
6 understanding.

7 MR. CARROLL: Mr. Examiner, if I might help,
8 in Case Number 10,221 and Order Number R-4691-D, it set
9 -- it made specific findings about when the gas/oil
10 ratio was set at 10,000, which was set November 1,
11 1977, by Order Number R-5565.

12 And with respect to the Order of the -- the
13 Order I just -- the 4691-D, it made no mention in the
14 Order that such was a temporary or special. And I
15 would suggest that from my reading of it, that it is a
16 permanent order with respect to the north pool.

17 Q. (By Examiner Catanach) It was my
18 understanding that the allowable was bumped up in the
19 pool fairly recently; is that correct?

20 A. November of 1991.

21 MR. CARROLL: That's correct, and that is the
22 Order R-4691-D --

23 EXAMINER CATANACH: Okay.

24 MR. CARROLL: -- and it recited all the
25 earlier orders. That bumped just the allowable, but

1 the gas/oil ratio had been set back in 1977 --

2 EXAMINER CATANACH: I see.

3 MR. CARROLL: -- and those other things, and
4 they were all apparently permanent orders of the
5 Commission.

6 EXAMINER CATANACH: So as far as you can
7 tell, that Order does not have a reopening provision?

8 MR. CARROLL: It does not have a reopening
9 position. It just has the standard statement that
10 jurisdiction of this cause is retained for entry of
11 such further orders as the Division may deem necessary.

12 EXAMINER CATANACH: Okay.

13 Q. (By Examiner Catanach) Mr. Boneau, are there
14 wells on any given proration unit that are capable of
15 producing more than a standard 40-acre allowable of 187
16 today?

17 A. Yes.

18 Q. Do you have an opinion as to whether
19 producing in excess of 187 barrels per day per 40 is in
20 any way detrimental to the reservoir?

21 A. You may or may not recall, in the hearings
22 that we're talking about in February of 1991, Yates
23 appeared and asked that the spacing be set at 80 acres,
24 that one well per 80 acres be allowed and not one well
25 per 40 acres.

1 higher concentration of wells in the oil leg with lower
2 GORs to negate the effect of the few wells that were in
3 the gas cap.

4 There used to be two wells in the gas cap and
5 eight wells in the oil leg, and now there are three
6 wells in the gas cap and 50 wells in the oil leg, and
7 the GOR goes down.

8 Q. So it's not an effect of the mechanism,
9 what's happening in the reservoir; it's more of an
10 indication of what operators have done as far as how
11 they're producing the reservoir?

12 A. Yes, if you look at a particular well, the
13 GOR has probably gone up a little for a particular well
14 in the oil leg.

15 Q. You stated earlier that you thought the
16 field, probably the best operations for the field would
17 be under unitized operations to avoid -- specifically
18 the concern Mr. Kellahin has is the operator who
19 doesn't have an oil leg is going to want his gas for
20 sale since he doesn't have any -- can't use it to get
21 oil.

22 A. Yeah, and in my opinion -- What I said to Mr.
23 Catanach, the rules are okay, but what needs to happen
24 to increase production is maintaining reservoir energy
25 by not blowing down the gas cap.

1 Q. Does -- Is the logical extension of that to
2 do some pressure maintenance?

3 A. Yes, sir.

4 Q. So in other words, it could be unitized for
5 secondary operations?

6 A. It sure needs to be looked at for that, yes.

7 Q. What's the time frame. In your opinion, is
8 it approaching that stage now, or are you looking at
9 some more production to maximize ultimate oil recovery?

10 A. It's approaching that stage, and Yates has
11 initiated on our own a fairly elaborate reservoir study
12 of most of our part of South Dagger Draw with the idea
13 of trying to answer some of the questions you brought
14 up about pressure maintenance and with the idea of
15 getting with -- with the idea that if that's
16 encouraging, getting with the other operators and
17 trying to get something started in the first quarter or
18 first half of 1993.

19 Q. I rarely venture into engineering, but every
20 once in a while I get tempted.

21 Am I correct in my understanding that it
22 isn't necessarily right to wait until you pretty well
23 deplete a primary well before you start pressure
24 maintenance? In this type of -- in a gas-cap-type
25 reservoir, you do better by maintaining pressure

1 earlier in the life of the reservoir?

2 A. As a general rule, you're ahead to maintain
3 pressure rather than to dissipate it and try to
4 regenerate it somehow, yes.

5 MR. STOVALL: That's enough for now.

6 FURTHER EXAMINATION

7 BY EXAMINER CATANACH:

8 Q. Is that the primary drive in the reservoir,
9 is the gas cap?

10 A. There are clearly three significant drive
11 mechanisms in the reservoir, and I'm unable to rank
12 them, really -- Well, solution gas drive is a -- is one
13 of the three primary mechanisms in South Dagger Draw.

14 The gas cap is important, and in South Dagger
15 Draw water is important, but probably not as important
16 as the other two.

17 In North Dagger Draw, solution gas drive is
18 important and water is, in my opinion, important, and
19 the gas cap is the least important of the three in
20 North Dagger Draw.

21 But all three of those mechanisms are
22 significant, and that's why the -- what to do with the
23 field is not obvious without really close study.

24 EXAMINER CATANACH: I believe that's all I
25 have.

1 Anything further of this witness?

2 MR. CARROLL: Nothing.

3 EXAMINER CATANACH: If not, he may be
4 excused.

5 MR. CARROLL: Mr. Examiner, that completes
6 our presentation.

7 EXAMINER CATANACH: Okay, there being nothing
8 further, case 10,108 will be taken under advisement.

9 Thereupon, these proceedings were concluded
10 at 10:48 a.m.)

11 * * *

12

13

14

15

16

I do hereby certify that the foregoing is
a complete and correct report of the proceedings in
the Examination hearing of Case No. 10108,
heard by me on December 3, 1992.

18

David R. Catanach, Examiner
Oil Conservation Division

19

20

21

22

23

24

25

