

NEW MEXICO OIL CONSERVATION DIVISION
STATE LAND OFFICE BUILDING
STATE OF NEW MEXICO
CASE NO. 10145

IN THE MATTER OF:

Case 10145 being reopened pursuant
to the provisions of Division Order
No. R-6368-B, which order promulgated
a temporary gas-oil ratio limitation
of 4,000 to 1 for the Avalon-Delaware
Pool in Eddy County, New Mexico.

BEFORE:

DAVID R. CATANACH

Hearing Examiner

State Land Office Building

June 25, 1992

REPORTED BY:

DEBBIE VESTAL
Certified Shorthand Reporter
for the State of New Mexico

ORIGINAL

A P P E A R A N C E S

FOR THE NEW MEXICO OIL CONSERVATION DIVISION:

ROBERT G. STOVALL, ESQ.

General Counsel

State Land Office Building

Santa Fe, New Mexico 87504

FOR THE APPLICANT:

CAMPBELL, CARR, BERGE & SHERIDAN, P.A.

Post Office Box 2208

Santa Fe, New Mexico 87504-2208

BY: **WILLIAM F. CARR, ESQ.**

I N D E X

Page Number

Appearances

2

WITNESSES FOR THE APPLICANT:

1. ROBERT S. FANT

Examination by Mr. Carr

5

Certificate of Reporter

18

E X H I B I T S

Page Identified

1		
2		
3		
4	Exhibit No. 1	7
5	Exhibit No. 2	8
6	Exhibit No. 3	9
7	Exhibit No. 4	10
8	Exhibit No. 5	12
9	Exhibit No. 6	13
10	Exhibit No. 7	14
11	Exhibit No. 8	15
12		
13		
14		
15		
16		
17		
18		
19		
20		
21		
22		
23		
24		
25		

1 EXAMINER CATANACH: At this time we'll
2 call Case 10145.

3 MR. STOVALL: In the matter of Case
4 10145 being reopened pursuant to the provisions
5 of Division Order No. R-6863-B, which order
6 promulgated a temporary gas-oil ratio limitation
7 of 4,000 to 1 for the Avalon-Delaware Pool in
8 Eddy County, New Mexico.

9 EXAMINER CATANACH: Are there
10 appearances in this case?

11 MR. CARR: May it please the Examiner,
12 my name is William F. Carr with the Santa Fe law
13 firm, Campbell, Carr, Berge & Sheridan. I
14 represent Yates Petroleum Corporation in this
15 matter, and I have one witness.

16 MR. STOVALL: I bet I can guess who it
17 is too.

18 ROBERT S. FANT

19 Having been duly sworn upon his oath, was
20 examined and testified as follows:

21 EXAMINATION

22 BY MR. CARR:

23 Q. Will you state your name for the
24 record, please?

25 A. Robert S. Fant.

1 Q. Where do you reside?

2 A. Artesia, New Mexico.

3 Q. By whom are you employed and in what
4 capacity?

5 A. Yates Petroleum as a petroleum
6 engineer.

7 Q. Mr. Fant, have you previously testified
8 before this Division and had your credentials as
9 a petroleum engineer accepted and made a matter
10 of record?

11 A. Yes, I have.

12 Q. Are you familiar with the
13 Avalon-Delaware Pool and the temporary pool rules
14 promulgated therefor?

15 A. Yes, sir.

16 Q. What are the provisions of these
17 temporary pool rules that depart from statewide
18 rules?

19 A. The temporary pool rules established a
20 GOR limitation for the Avalon-Delaware Pool of
21 4,000 standard cubic feet per barrel. That along
22 with the 80 barrel per day standard allowable,
23 which comes from the statewide rules, yields a
24 daily gas allowable for each well of 320 Mcf per
25 day.

1 Q. And what is the purpose of Yates'
2 presentation here today?

3 A. I intend to show evidence that the pool
4 rules should be -- the temporary pool rules
5 should be established as permanent and that the
6 findings that Dr. Boneau presented in the
7 original hearing were true.

8 MR. CARR: Are the witness'
9 qualifications acceptable?

10 EXAMINER CATANACH: They are.

11 Q. (BY MR. CARR) Mr. Fant, have you
12 prepared certain exhibits for presentation here
13 today?

14 A. Yes, sir, I have.

15 Q. Would you refer to what has been marked
16 as Yates Exhibit No. 1, identify this, and review
17 it for the Examiner?

18 A. This is a copy of a land map with a
19 bold outline showing the Avalon-Delaware Pool.
20 This is essentially the same map as was presented
21 as Exhibit 1 in the original hearing.

22 Q. And this shows the development in this
23 area?

24 A. Yes, sir.

25 Q. Have you reviewed the testimony that

1 was presented in the original hearing by Yates in
2 support of special rules for this pool?

3 A. Yes, sir, I have.

4 Q. And basically what were the points that
5 Dr. Boneau made at that time?

6 A. Dr. Boneau asserted that basically
7 three things -- effects would be created by
8 this: Number one, the allowance of the higher
9 GOR would increase oil production for the pool.
10 Number two, that the reservoir energy within the
11 pool would be utilized just as efficiently at the
12 higher GOR as at the statewide rules. And,
13 number three, that correlative rights would be
14 protected.

15 Q. Let's go to Exhibit No. 2. Would you
16 identify that, please?

17 A. Exhibit No. 2 is a plot of the oil and
18 gas production in the Avalon-Delaware Pool and
19 also a well count.

20 Q. And what does this show you?

21 A. This shows that in approximately
22 January of 1991, at which time the temporary
23 field rules went into effect, you can notice a
24 significant increase in the oil production within
25 the pool.

1 Q. And this is what Dr. Boneau in fact
2 predicted would happen?

3 A. Yes, sir.

4 Q. What also happened to the GOR at that
5 time?

6 A. Well, the GOR throughout the history of
7 the field had been rising, and the GOR was
8 continuing to rise in the pool.

9 Q. Okay. Let's move to Yates Exhibit No.
10 3. Explain what this is to Mr. Catanach.

11 A. Exhibit No. 3 is a plot of the pool GOR
12 for all the wells within the field versus the
13 cumulative oil production. I plotted it versus
14 cumulative oil production because this takes out
15 the effects of time and demonstrates whether or
16 not the reservoir energy will be utilized
17 effectively.

18 This particular plot runs out to the
19 time period of the original hearing. So this is
20 the data before the increase in the GOR. I have
21 drawn a line through it giving a best estimate of
22 the regression of this data.

23 I did not use the final few points on
24 this plot primarily because, as you can see with
25 the well count data, this well count is producing

1 wells. That's not just wells within the field,
2 just producing wells. Some wells were shut-in.
3 In fact, the high GOR wells were shut-in.

4 And that was part of the reason for the
5 original hearing, was that those wells were
6 overproducing and were shut-in. Consequently
7 those do not reflect a true GOR for the pool
8 because the data is insufficient.

9 Q. So basically what the line that you've
10 placed on this graph is is a best fit of the data
11 points shown on the graph?

12 A. Yes, sir.

13 Q. Are you ready to go to the next
14 exhibit?

15 A. Well, I would just like to say on this
16 one, based upon this data at a cumulative
17 production of approximately 2.9 million barrels,
18 based upon this line, we would expect about a
19 3300 to 3400 standard cubic feet per barrel GOR
20 in the field.

21 Q. Go to your next exhibit and explain how
22 the information on this graph compares to the
23 information on the preceding exhibit.

24 A. Basically it's the same graph except it
25 has the additional data up through March of

1 1992. And what it shows is that the GORs rose
2 for a while, but that was because the wells were
3 turned back on. And ones the wells were -- once
4 the production was evened out, as you can see,
5 the last two points fall very close to this line,
6 certainly within the scatter of the data to begin
7 with.

8 My point here is that we are basically
9 right where we would be in terms of GOR if the
10 GOR were only at 2,000 cubic feet per barrel.
11 The line suggests that this is where we would be
12 no matter whether we were producing at 4,000 to 1
13 GOR or a 2,000 to 1 GOR or in essence the
14 reservoir energy is being utilized just as
15 effectively at this GOR as the original GOR
16 limitations.

17 Q. What you've done here really is tied
18 the GOR to a production rate?

19 A. To a cumulative production.

20 Q. And you don't see a waste of reservoir
21 energy as a result of the faster producing rate?

22 A. No, sir. This shows an independence
23 between the two.

24 Q. There was some concern at the last
25 hearing about some production under a solution

1 gas drive. Could you refer to Exhibit No. 5 and
2 explain what you have done to review that and see
3 how the reservoir in fact is performing?

4 A. There was, as you said, there was an
5 assertion that some of the stringers within the
6 Avalon-Delaware Pool were producing under
7 solution gas drive. And there was a concern that
8 these type of stringers would indeed be harmed by
9 the faster production.

10 What I did was on this graph we have
11 two different fields' GORs plotted. One of them,
12 the small squares, is the Avalon-Delaware Pool
13 GOR versus cumulative production. The other I
14 researched into textbooks and from one of my
15 textbooks called Applied Petroleum Reservoir
16 Engineering, by Craft and Hawkins, I pulled the
17 data for a field called the Gloyd-Mitchell Zone
18 of the Rodessa Field. And I plotted those along
19 on this plot also. And I will also show evidence
20 that the Gloyd-Mitchell Zone is a classic
21 solution gas drive reservoir.

22 And, as you can see, the production of
23 these -- the GOR rise in these two reservoirs
24 versus cumulative production is almost identical
25 certainly within the scatter of the data.

1 Q. What does that tell you?

2 A. It basically tells me that these
3 reservoirs will be -- are producing under the
4 same basic mechanism, solution gas drive
5 reservoir.

6 Q. Let's go to what has been marked Yates
7 Exhibit 6. Yates Exhibit 6 is an actual copy and
8 excerpt from the Applied Petroleum Reservoir
9 Engineering textbook. There is a section in the
10 chapter -- in this chapter, and it's Section 11.
11 And it's defined as the "Maximum Efficient
12 Rate." It's on the right-hand side of the
13 exhibit, or the MER.

14 And I'd like to cover the first three
15 sentences of this first full paragraph. The
16 first one is, "Many studies indicate that the
17 recovery from true solution gas drive reservoirs
18 by primary depletion is essentially independent
19 of both individual well rates and total or
20 reservoir production rates."

21 The second sentence, "Kelly Tracin Rowe
22 has shown that this is true even for reservoirs
23 with severe permeability stratification where the
24 strata are separated by impermeable barriers and
25 are hydraulically connected only at the wells."

1 Dr. Boneau in the original testimony in
2 this case asserted that we have different
3 stringers within this field and that they are
4 separated.

5 And finally, the third sentence, "The
6 Gloyd-Mitchell Zone of the Rodessa Field is an
7 example of a solution gas drive reservoir which
8 is essentially not rate sensitive, i.e. the
9 recovery is unrelated to the rate at which the
10 reservoir is produced."

11 And by this analogy between the two, I
12 believe that the data has shown that this
13 reservoir is not rate sensitive either.

14 Q. The Avalon-Delaware?

15 A. The Avalon-Delaware, yes, sir.

16 Q. Let's go now to Exhibit No. 7. Would
17 you identify that?

18 A. Exhibit No. 7 is an update, primarily
19 for informational purposes, of one of Dr.
20 Boneau's exhibits. It has the wells plotted by
21 hand and production cumulative volumes on it. In
22 thousands of barrels of oil and thousands of
23 barrels of water and millions of cubic feet of
24 gas. And it is just an update of the original
25 exhibit.

1 Q. Mr. Fant, this exhibit is hand-drawn
2 and the wells are not placed on this to scale?

3 A. The wells are not perfectly placed on
4 this well. They're placed in a relative sense to
5 show within the unit the ABC Unit that they're
6 on.

7 Q. Let's go now to Exhibit No. 8.

8 A. Exhibit No. 8 is also an update of one
9 of Dr. Boneau's exhibits. And it shows two
10 things beside the wells. It shows the interval,
11 as Dr. Boneau described them: Middle, Lower, and
12 Upper; and it also shows the 1991 GOR for that
13 well illustrating that high GORs exist in many
14 wells within the field.

15 Q. Based on your study of the field and in
16 particular on how the field has performed under
17 the temporary rules, are you prepared to make a
18 recommendation to the Examiner as to the pool
19 rules that should apply to this pool?

20 A. Yes, sir. I feel that the temporary
21 pool rules should be made permanent for this
22 field.

23 Q. Has Dr. Boneau predicted in fact higher
24 gas or there was an increase in oil production
25 with the higher gas-oil ratios; is that not

1 correct?

2 A. That is correct, yes.

3 Q. And in your opinion you testified that
4 there appears to be no reservoir harm from the
5 increase in gas-oil ratios and the resulting
6 increase in production rates?

7 A. Yes, sir.

8 Q. And you see no evidence of reservoir
9 energy as being wasted?

10 A. No evidence.

11 Q. Will adoption of these rules on a
12 permanent basis in your opinion be in the best
13 interests of conservation?

14 A. Yes, sir.

15 Q. The prevention of waste?

16 A. Yes, sir.

17 Q. And the protection of correlative
18 rights?

19 A. Yes, sir.

20 MR. CARR: At this time, Mr. Catanach,
21 we would move the admission of Yates Exhibits 1
22 through 8.

23 EXAMINER CATANACH: Exhibits 1 through
24 8 will be admitted as evidence.

25 MR. CARR: That concludes my

1 examination of Mr. Fant.

2 EXAMINER CATANACH: I guess I don't
3 have any questions.

4 MR. CARR: Mr. Examiner, we have
5 nothing further.

6 EXAMINER CATANACH: Do you have any
7 questions, Bob?

8 MR. STOVALL: I have no questions.

9 EXAMINER CATANACH: There being nothing
10 further, Case 10145 will be taken under
11 advisement.

12 MR. CARR: Thank you, Mr. Catanach.

13 [And the proceedings were concluded.]
14
15
16

17 I do hereby certify that the foregoing is
18 a complete record of the proceedings in
the Examiner hearing of Case No. 1045,
19 heard by me on June 25 19 92.

20 David K. Catant, Examiner
Oil Conservation Division
21
22
23
24
25


1 CERTIFICATE OF REPORTER

2
3 STATE OF NEW MEXICO)
4) ss.
COUNTY OF SANTA FE)

5
6 I, Debbie Vestal, Certified Shorthand
7 Reporter and Notary Public, HEREBY CERTIFY that
8 the foregoing transcript of proceedings before
9 the Oil Conservation Division was reported by me;
10 that I caused my notes to be transcribed under my
11 personal supervision; and that the foregoing is a
12 true and accurate record of the proceedings.

13 I FURTHER CERTIFY that I am not a
14 relative or employee of any of the parties or
15 attorneys involved in this matter and that I have
16 no personal interest in the final disposition of
17 this matter.

18 WITNESS MY HAND AND SEAL JULY 7, 1992.
19
20

21 
22 _____
23 DEBBIE VESTAL, RPR
24 NEW MEXICO CSR NO. 3
25