

STATE OF NEW MEXICO
ENERGY, MINERALS AND NATURAL RESOURCE DEPARTMENT
OIL CONSERVATION DIVISION

IN THE MATTER OF:)
APPLICATION OF MERRION OIL & GAS)
CORPORATION FOR A HORIZONTAL DIRECTIONAL) CASE NO. 10196
DRILLING PILOT PROJECT, SPECIAL)
OPERATING RULES THEREFOR, NONSTANDARD)
OIL SPACING AND PRORATION UNIT, AND AN)
UNORTHODOX OIL WELL LOCATION, MCKINLEY)
COUNTY, NEW MEXICO)
-----)

REPORTER'S TRANSCRIPT OF PROCEEDINGS

EXAMINER HEARING

BEFORE: Michael E. Stogner, Examiner

February 7, 1991
8:40 a.m.

Santa Fe, New Mexico

This matter came on for hearing before the Oil Conservation Division on February 7, 1991, at 8:40 a.m. at the Oil Conservation Conference Room, State Land Office Building, 310 Old Santa Fe Trail, Santa Fe, New Mexico, before Susan G. Ptacek, a Certified Court Reporter No. 124, State of New Mexico.

FOR: OIL CONSERVATION BY: SUSAN G. PTACEK
DIVISION Certified Court Reporter
CCR No. 1224

I N D E X

February 7, 1991
Examiner Hearing
Case No. 10196

	PAGE
APPEARANCES	3
MERRION WITNESS:	
STEVEN DUNN	
Direct Examination by Mr. Roberts	4
Examination by Mr. Stovall	17
Examination by Examiner Stogner	18
REPORTER'S CERTIFICATE	27

* * *

E X H I B I T S

	ID	Admtd
MERRION EXHIBIT		
1	6	16
2	8	16
3	10	16
4	12	16
5	16	16

A P P E A R A N C E S

FOR THE DIVISION: ROBERT G. STOVALL, ESQ.
General Counsel
Oil Conservation Division
State Land Office Building
Santa Fe, New Mexico 87504

FOR THE MERRION OIL TOMMY ROBERTS, ESQ.
& GAS CORPORATION Attorney at Law
Farmington, New Mexico

* * *

1 EXAMINER STOGNER: Proceeding on now to the second
2 page, we will call Case No. 10196.

3 MR. STOVALL: Application of Merrion Oil & Gas
4 Corporation for a horizontal directional drilling pilot
5 project, special operating rules therefor, nonstandard oil
6 spacing proration unit, and an unorthodox oil well
7 location, McKinley County, New Mexico.

8 EXAMINER STOGNER: Calling for appearances.

9 MR. ROBERTS: Mr. Examiner, I'm Tommy Roberts. I'm an
10 attorney in Farmington, New Mexico, and I'm appearing on
11 behalf of the applicant, Merrion Oil & Gas Corporation. I
12 have one witness to be sworn.

13 EXAMINER STOGNER: Are there any other appearances in
14 this matter? Will the witness please stand to be sworn.

15 EXAMINER STOGNER: Mr. Roberts, you may proceed.

16 STEVEN DUNN,
17 the Witness herein, having been first duly sworn, was
18 examined and testified as follows:

19 DIRECT EXAMINATION

20 BY MR. ROBERTS:

21 Q. Would you please state your name and residence?

22 A. Steven Dunn, Farmington, New Mexico.

23 Q. What is your occupation?

24 A. I am a petroleum engineer and operations manager
25 for the Merrion Oil & Gas Corporation.

1 Q. How long have you been employed by Merrion Oil &
2 Gas Corporation?

3 A. Approximately 10 years.

4 Q. Are you familiar with the operations of Merrion
5 in the area which is the subject of this application?

6 A. Yes, I am.

7 Q. Have you testified before the Oil Conservation
8 Division on prior occasions?

9 A. Yes, I have.

10 Q. In what capacity?

11 A. As a petroleum engineer.

12 Q. Are you familiar with the application of Merrion
13 Oil & Gas Corporation that is before the Oil Conservation
14 Division today?

15 A. Yes, I am.

16 MR. ROBERTS: Mr. Examiner, I would tender Mr. Dunn as
17 an expert in the field of petroleum engineering.

18 EXAMINER STOGNER: Mr. Dunn is so qualified.

19 Q. (By Mr. Roberts) Mr. Dunn would you briefly
20 explain the purpose of this application?

21 A. Merrion Oil & Gas seeks approval for a
22 horizontal directional drilling pilot project in the Ojo
23 Encino-Entrada fields in McKinley County, New Mexico.
24 Along with that approval we also seek authority or approval
25 for an unorthodox surface and bottomhole well location for

1 the same well, namely the Federal 28 No. 1 well. We seek
2 approval for a nonstandard 80-acre spacing and proration
3 unit for the same well, and for a target window in which to
4 drill. We also seek approval for a special allowable
5 provision for a double-sized proration unit, and finally we
6 seek approval to produce both the vertical and/or
7 horizontal wellbores.

8 Q. Would you refer to what's marked as Exhibit
9 No. 1 and identify that exhibit?

10 A. Exhibit No. 1 is a well and lease ownership map
11 in the vicinity of the Ojo Encino field, McKinley County,
12 New Mexico, namely Sections 21 and 28 of Township 20 North,
13 Range 5 West.

14 Q. Would you briefly summarize the data illustrated
15 on this exhibit?

16 A. The exhibit shows the outline of the Ojo Encino
17 field as a dashed line and the wells therein, also
18 neighboring wells in the vicinity of the field, and the
19 proposed horizontal well, the Federal 28 No. 1, along with
20 its proposed 80-acre proration unit, and the leases that
21 are located in the vicinity of this project and their
22 ownership.

23 Q. Mr. Dunn, would you describe or indicate what
24 the ownership of the pertinent leases is? Particular
25 reference to the interest of Merrion Oil & Gas Corporation

1 and those leases.

2 A. Shown in yellow are all leases in which Merrion
3 Oil & Gas holds an interest, and you will note that all
4 wells located on the exhibit and in the field are operated
5 by Merrion Oil & Gas Corporation; and the ownership -- the
6 ownership under the project area is within a single lease
7 is common and drilling on this project area is directed
8 within the lease or away from the exterior boundaries of
9 the lease.

10 Q. The proposed location of the Federal 28-1 well
11 is outside the boundaries of the Ojo Encino-Entrada oil
12 pool. Are you treating this as an extension of that pool?

13 A. Yes, we are.

14 Q. What is standard spacing in the Ojo
15 Encino-Entrada oil pool?

16 A. 40-acre spacing, statewide spacing is standard.

17 Q. What is the surface location -- or what is the
18 surface ownership of the surface at which the well is
19 located?

20 A. I believe it is federal.

21 Q. And do you have all necessary permits to
22 commence drilling activities there?

23 A. We have filed our federal permits, and they're
24 in the process of working through their system. They will
25 approve those permits once we receive state approval for

1 the project.

2 Q. Is ownership of the Entrada formation common
3 within the proposed spacing unit?

4 A. Yes, it is.

5 Q. Are there offset leases to the proposed location
6 which are not owned by Merrion Oil & Gas?

7 A. There is one lease in particular shown as the
8 east half of the east half of Section 21, lease NM8582
9 which is owned by Yates Petroleum. That is an offset lease
10 to the proposed project unit.

11 Q. Now, turn to what's been marked as Exhibit No. 2
12 and identify that exhibit?

13 A. Exhibit No. 2 is an Entrada structure map
14 covering the same sections as in Exhibit No. 1 in the
15 vicinity of the Ojo Encino field.

16 Q. Would you summarize the data illustrated on this
17 exhibit?

18 A. Again shown on this map is the outline of the
19 existing Ojo Encino field and also the proposed project
20 area. The outline of the project area or within the
21 outline of the project area shown are proposed target area
22 which comprises a rectangle 1320 feet wide by 1200 feet
23 long. The proration unit comprises the west half of the
24 northeast quarter of Section 28, and the purpose of the --
25 of showing the structure is to identify the reason we wish

1 to locate the horizontal well where it is shown. And that
2 is namely to drill on the top of the structure of the
3 Entrada.

4 Q. That's the reason for locating the surface
5 position of the well as you have proposed it to be located?

6 A. That's correct.

7 Q. How was the target area defined?

8 A. The target area was defined basically to give us
9 as much flexibility as possible to stay within our
10 proration -- proposed proration unit and still allow us
11 to -- for some flexibility in the direction that we may end
12 up going. The control of directional drilling is not an
13 absolute thing so we need some flexibility there.

14 Q. Why do you ask for 80-acre spacing?

15 A. The proposed configuration of the wellbore will
16 leave the 40-acre tract, that is the northern half of that
17 proposed 80, and enter into the southern half and therefore
18 we feel it's appropriate to dedicate 80 acres.

19 Q. As illustrated on Exhibit No. 2, it would appear
20 that the bottomhole location would be nonstandard. Is that
21 the case?

22 A. That is the case. Both the surface and
23 bottomhole locations are nonstandard.

24 Q. Why do you select a nonstandard bottomhole
25 location?

1 A. The purpose of selecting the bottomhole location
2 nonstandard is -- well, I guess should say it's the result
3 of trying to optimize the location of the wellbore within
4 the structure. An unorthodox bottomhole location is the
5 result of that.

6 Q. Now refer to what you have marked as Exhibit 3
7 and identify that Exhibit.

8 A. Exhibit No. 3 is a horizontal wellbore schematic
9 of the proposed well.

10 Q. Would you summarize the data illustrated on this
11 exhibit?

12 A. This exhibit shows the basic configuration that
13 we expect will result when we drill this well. We have
14 considered several options. This is the most likely
15 scenario. It depicts our plans to drill the well in two
16 phases. Phase 1 would involve drilling a vertical wellbore
17 through the Entrada to confirm the geology. Along with
18 confirming the geology, we want to make sure the oil is
19 there, and it will help us define our target.

20 Phase 2 will encompass plugging back, milling a
21 casing section, drilling our curve and our lateral across
22 the structure in a southeasterly direction. The purpose
23 there, of course, is to maximize the development and
24 drainage of that structure.

25 Q. Subsequent to the time that you penetrate the

1 Entrada formation with your vertical drilling would it be
2 possible upon evaluation that you would decide not to
3 continue with to phase 2 of the project?

4 A. That is possible if we should find that either
5 the structure does not exist or that there is no oil
6 present, we would obviously not continue with the project
7 beyond that point.

8 Q. What would be the horizontal distance of the
9 wellbore?

10 A. The total or gross horizontal distance is
11 approximately 1252 feet across the structure of which
12 approximately 880 feet would be within the Entrada pay
13 zone.

14 Q. How do you propose to monitor the direction of
15 the hole as drilling occurs?

16 A. The directional control will be with a wire line
17 steering tool setup that will be provided by the
18 directional drilling company or contractor.

19 Q. Is there anything else reflected in Exhibit
20 No. 3 that you would want to call to the examiner's
21 attention?

22 A. I would mention that the footage or the surface
23 locations are shown, and they are 750 feet from the north
24 line and 2,450 feet from the east line of Section 28.

25 Q. Now refer to what you have marked as Exhibit No.

1 4 and identify that exhibit.

2 A. Exhibit No. 4 is a listing of reasons supporting
3 the drilling of the Federal 28 No. 1 horizontal well.

4 Q. Would you summarize those reasons?

5 A. The first reason for drilling the well is to
6 maximize oil recovery for one well and the field, and what
7 I have shown on the exhibit is a simple table comparing
8 horizontal to vertical wellbores. We believe we can get a
9 threefold increase in potential recoverable reserves from
10 200,000 barrels on average from a vertical well up to
11 600,000 barrels of oil. We believe the drilling costs will
12 be less than twofold. Estimate a rough cost for the
13 horizontal well of \$700,000. A vertical well of
14 approximately \$400,000, and those are completed costs ready
15 to produce. The basis for those estimates of reserves, in
16 the vertical case I looked at our experience in the
17 existing fields that we operate, and on average that is the
18 calculated reserve number. In the case of the horizontal
19 wellbore, that was a volumetric calculation of the
20 reserves -- or actually the oil in place and then using a
21 34 percent recovery factor and an estimated drainage area.

22 Q. What is the basis for your cost estimates?

23 A. In the case of the vertical well, that's actual
24 experience. In the case of the horizontal well, we have
25 drilled one horizontal well and it -- although not

1 identical to this proposal, it costs somewhat in that
2 range.

3 Q. Is there -- do you anticipate any problem with
4 water production in the vertical drilling phase?

5 A. Well, one of the purposes, which is listed as
6 number two -- one of the purposes of this project is to
7 reduce water production, and the Entrada reservoir is a
8 bottom-water-drive reservoir wherein the oil is very thick,
9 viscous and there is a -- no free gas. And when you drill
10 a vertical well and perforate into the oil zone, the
11 mobility of the oil is so poor that the water tends to cone
12 up through the oil and you have to produce water with the
13 oil. The oil bleeds in as you produce the water. So you
14 have to handle large volumes of water along with the oil.

15 By changing the configuration from a vertical
16 wellbore to a horizontal wellbore you accomplish a couple
17 of things. One, you reduce the pressure tendencies to pull
18 the water up in the wellbore, and thereby help the
19 water/oil ratio or the water cut, and therefore you have to
20 handle less water. And by handling less water you don't
21 have to dispose of as much water which cuts the operating
22 cost, extends the economic life and thereby the recovery of
23 the oil. So it increases the reserves indirectly.

24 The third reason that we feel this project is
25 important, we operate several other Entrada fields. As I

1 said earlier, we have already drilled one horizontal well
2 and are encouraged. However, this project being the first
3 time we have used it as somewhat of an exploration tool,
4 had -- has a lot of applicability in our other Entrada
5 fields for stepout-type drilling and perhaps developing
6 additional reserves. So the project will help us assess
7 that viability.

8 Q. What depth bracket allowable has been
9 established for wells drilled in the Ojo Encino-Entrada oil
10 pool?

11 A. The depth bracket allowable is 750 barrels of
12 oil per day.

13 Q. Do you have a recommendation for a depth bracket
14 allowable for this 80-acre nonstandard proration unit?

15 A. Yes, we would recommend a double depth bracket
16 allowable.

17 Q. What's the basis for that recommendation?

18 A. The proration unit -- the special proration unit
19 would comprise double the normal proration unit.

20 Q. Is there anything else illustrated in Exhibit 4
21 that you wish to call to the attention of the examiner?

22 A. No.

23 Q. In your opinion will the granting of this
24 application be in the interest of conservation and result
25 in the protection of correlative rights?

1 A. Yes, it will.

2 Q. Are you familiar with the notice requirements of
3 the rules that have been established by the Oil
4 Conservation Division?

5 A. Yes, I am.

6 Q. Have those requirements been satisfied in this
7 case?

8 A. Yes, they have.

9 Q. How have they been satisfied?

10 A. We have notified the offset lease owners in this
11 case by certified mail prior to -- 20 days prior to this
12 hearing of our proposed project, and advised them that they
13 may enter an appearance in this case.

14 Q. Do you have return receipts indicating receipt
15 of that notification?

16 A. Yes, I do.

17 Q. Were Exhibits 1 through 4 either prepared by you
18 or at your direction and under your supervision?

19 A. Yes, they were.

20 MR. ROBERTS: Mr. examiner, I move the admission of
21 Exhibits 1 through 4.

22 EXAMINER STOGNER: Exhibits 1 through 4 will be
23 admitted into evidence.

24

25 (Merrion Exhibits 1 through 4

1 were admitted in evidence.)

2 MR. ROBERTS: I have no other questions of this
3 witness.

4 EXAMINER STOGNER: Would you please pass forward the
5 notification, since I don't believe those were handed to
6 us, were they?

7 MR. STOVALL: They're not part of the exhibits that
8 you submitted, are they?

9 THE WITNESS: No, they're not.

10 MR. STOVALL: Would you like to mark this as Exhibit
11 5?

12 MR. ROBERTS: Yes.

13 EXAMINER STOGNER: I will mark this as Exhibit 5.

14 MR. ROBERTS: We will move the admission of Exhibit 5.

15 MR. STOVALL: Do you have the originals?

16 MR. ROBERTS: Do you have the original receipts?

17 THE WITNESS: Let me look. Yes, I do.

18 MR. STOVALL: Do you mind submitting those?

19 EXAMINER STOGNER: I will return to you the copy.

20 MR. STOVALL: Let me ask you a couple questions while
21 we're getting all this taken care of.

22 (Merrion Exhibit 5 was admitted
23 in evidence.)

24

25 EXAMINATION

1 BY MR. STOVALL:

2 Q. One question is, do you know whether the federal
3 leases or lease upon which you are drilling is a sliding
4 scale royalty lease?

5 A. I do not know that.

6 Q. Looking at your Exhibit 4, on your increased
7 production, out of curiosity, how do you rate your
8 production comparing horizontal versus vertical?

9 A. As I said, we've drilled one well so we've got
10 very limited experience. In that case we were drilling in
11 a depleted reservoir which is not the case here. We expect
12 the rates of production will be fixed by the size of the
13 pump we put in the well, but the oil production should
14 probably approximate a threefold increase.

15 Q. The rate as well as the total recovery?

16 A. Right. In other words, I guess what I am saying
17 is if we normally produce 200 barrels a day in a vertical
18 well, we would be in the 600-barrel a day range in a
19 horizontal well. That is kind of a guess based on my
20 experience in this other wellbore. We don't know exactly.

21 Q. You actually shorten your payout -- even though
22 you increase your cost, you reduce your payout because of
23 the higher production rates?

24 A. That's correct, acceleration economics are very
25 attractive.

1 MR. STOVALL: I don't have any other questions.

2 EXAMINER STOGNER: Thank you, Mr. Stovall.

3 EXAMINATION

4 BY EXAMINER STOGNER:

5 Q. Mr. Dunn, for clarification what did you say the
6 depth bracket allowable was for this pool?

7 A. 750 barrels a day.

8 Q. Is that a special depth bracket allowable?

9 A. Yes, it is.

10 Q. Could you relate to me what order or is that in
11 a special pool rule? If you don't have an order.

12 A. It's order No. R-5420, approving a special depth
13 bracket allowable for the Ojo Encino-Entrada oil pool,
14 McKinley County, New Mexico, May 1, 1977.

15 Q. Do you know if any of these wells ever produced
16 or pumped close to that particular allowable?

17 A. In the early days of these wells they did. The
18 limit on producing the oil volumes is the production
19 equivalent which you put in the well. It's not the ability
20 of the reservoir to give up the fluid. It will give up
21 literally thousands of barrels a day. It's a very high
22 permeability reservoir, especially by San Juan Basin
23 standards, 400 to 500 millidarcy sand with porosities in
24 the range of 26 to 30 percent. It's very clean sand and it
25 will give up a lot of fluid.

1 Usually the early fields, they would put a
2 pumping unit on it and produce until they started making so
3 much water that they had to put in submersible pumps,
4 electric pumps, and then they would start moving thousands
5 of barrels of water per day. And they were making large
6 volumes of oil along with it. So you are really limited by
7 casing size and the production equipment.

8 In a horizontal well of this nature, we would
9 put in a submersible pump shortly after completion, and we
10 would anticipate approaching depth bracket allowable that
11 we propose.

12 Q. 1500 barrels of oil per day?

13 A. Yes.

14 Q. And on that, like you said, 40 acres has 750,
15 and essentially since you have two 40 acres put together
16 you are wishing to reflect an acreage factor of 2, thereby
17 giving you 1500 barrels of oil; is that correct?

18 A. That's correct.

19 Q. You said you were going to run a submersible
20 pump?

21 A. Yes.

22 Q. Where would that be located? I'm referring to
23 your Exhibit 3.

24 A. That would be located in the vertical portion of
25 the wellbore. The reservoir pressures in these wells are

1 high enough to where you can run the pump back in the
2 vertical portion, in fact quite a ways up the hole, and
3 still unrestricted volumes of fluid.

4 Q. When I refer to both your Exhibits 1 and 2,
5 there is another rectangular box represented in Section 21.
6 Was that where your previous horizontal project was?

7 A. No. That rectangular box -- you are referring
8 to the dashed line?

9 Q. Yes, I am.

10 A. That is the outline of the Ojo Encino-Entrada
11 oil pool as I determine from looking in the nomenclature
12 rules.

13 Q. Merrion has -- and I believe you were in here
14 for that hearing for a horizontal project similar to this
15 several months ago; is that correct?

16 A. Yes, I was here.

17 Q. Is that in this area?

18 A. It's about eight miles south of here. It's
19 close.

20 Q. But not in the same pool?

21 A. Not in the same pool, no.

22 Q. On Exhibit No. 2, could you please explain a
23 little more about the geology of this area and what the
24 deposit is and such?

25 A. The Entrada formation is a windblown sand dune

1 deposit, and what we're dealing with here are the remnants
2 of these ancient sand dunes. They're of Jurassic geologic
3 age. The oil is trapped in the tops of these old sand dune
4 features and underlaying by waters that is moving through
5 that formation like an aquifer. And we have tilted oil
6 water contacts, and what we look for is a dune feature that
7 is high enough to overcome the hydrodynamic gradient and
8 trap that oil in place.

9 Q. Again, referring to Exhibit No. 3, I show that
10 the horizontal portion is not really horizontal but
11 actually slanting a little bit. Does this contour with the
12 top or the crest of your sand dune being dipped, or what is
13 the reason you don't go pure horizontal?

14 A. The reason is that what we're trying to do is
15 maximize the amount of horizontal wellbore within the pay
16 zone and it's kind of a process where we've set ourselves a
17 limited target at the top. We're going to go in about
18 seven-foot below the top of the sand, which should be
19 level, and we want to stay at an angle that will
20 approximate intersecting roughly a 40-foot oil column at
21 the terminus of wellbore, and that will be about the point
22 where we leave the Entrada.

23 In other words, we would expect to drill out of
24 the Entrada at the some point into the overlying Tadiito
25 (phonetic approximation) limestone, that's where we will

1 quit but we don't want to be -- we don't want to be in an
2 oil column thickness less than 40 feet.

3 Based on our experience in these fields, if you
4 get down to 20-foot of oil column thickness, they're
5 uneconomic. The water comes through so badly that you have
6 very short lives on the wells, and 40 feet is a good
7 compromise. We're anticipating 60-foot of total oil
8 column. So I've slanted the wellbore to try to maximize
9 the amount of wellbore in the Entrada and yet stay above
10 that 40-foot cutoff.

11 Q. Also with Exhibit 3, that's where I'm staying on
12 now, the curve portion of the hole, you have an external
13 packer cement fill. Are you proposing once you get the
14 curved portion and the casing -- or the liner I should say
15 for the curved portion of the well, will that be cemented
16 back to the point of the start of your directional drilling
17 operation?

18 A. What we're proposing to do is to inflate the
19 external packer with cement at the top of the Entrada where
20 it intersects with the Tadiolto line, the overlying
21 limestone. And by inflating that packer we will create a
22 seal between our pay zone which will be uncemented with a
23 preperforated liner running through it. We will be
24 isolating that from anything above. We are proposing to
25 set a packoff liner hanger back inside the seven-inch

1 casing, which will provide a seal at the top. And we're
2 proposing to leave blank liner uncemented through the
3 Morrison.

4 The kickoff point shown on Exhibit 3 at 5,480
5 feet is in the Morrison formation, and the only interval
6 that would be uncemented and exposed in the backside would
7 be the Morrison, the only interval of any porosity. The
8 Tadilto lime and high dry sequence immediately above the
9 Entrada has no porosity or permeability.

10 Q. Are there any production or water bearing zones
11 in that Morrison formation?

12 A. There are no production zones. There are some
13 sands that have porosity and probably would make some
14 produced water.

15 Q. Do you know if that would be fresh, or is there
16 any history of fresh waters?

17 A. It would be saline water.

18 Q. Brings me up to once this well reaches its
19 economic limits and the well is plugged and abandoned,
20 could you please discuss how such a well would be
21 permanently plugged back?

22 A. What we would do -- it would be a simple matter
23 to place cement down in the wellbore in the horizontal
24 section. One of the options that we would like to have as
25 part of this application, and one of the reasons we've

1 configured it the way we have, is that we can place -- we
2 can cut off the four-and-a-half blank liner inside the
3 seven-inch casing, and then cement off our lateral; clean
4 that cement back out and actually have a cement casing that
5 would allow us to produce the vertical well or even use it
6 for some sort of enhanced recovery project or injection.
7 It would give us maximum flexibility.

8 Q. When you say "produced from the vertical
9 portion," the Entrada would be permanently plugged, both
10 the vertical and the horizontal portion. You're talking
11 about producing possible formations back up hole?

12 A. I'm talking about producing the Entrada itself.
13 There's a number of possibilities here. One possibility is
14 to drill the vertical well, produce vertical portion in the
15 Entrada. You could produce it to an economic limit and
16 then do the horizontal project.

17 Another option that we thought about was to
18 produce it long enough to test it, then plug back and do
19 the horizontal wellbore. The final option would be rather
20 than produce it at all, set casing through it, leave it,
21 drill the horizontal wellbore, produce that to depletion
22 and then plug back the horizontal wellbore and produce the
23 vertical portion.

24 The reason for that being that the build
25 interval requires distance out from the vertical well

1 before you actually intersect the Entrada. So there would
2 remain an area around the vertical wellbore that would not
3 necessarily be drained by the horizontal well. That would
4 give us the option to come back and get that oil later.

5 Q. Notwithstanding, you're in the middle of this --
6 what appears to be a dune when I look at Exhibit No. 2.
7 Could it be possible to come back up and drill another
8 horizontal in a northerly direction?

9 A. We believe that another well will be required.
10 If this one pans out, I think we will be drilling either
11 another new well, or another option that we've discussed is
12 the Federal 21-4 shown in the southeast of the southwest of
13 21, using that wellbore as a candidate for horizontal
14 drilling. If we did so, then we would be crossing lease
15 lines of different ownership and some sort of cooperative
16 or unitization would be required.

17 EXAMINER STOGNER: I have no other questions of this
18 witness. Are there any other questions?

19 MR. ROBERTS: No.

20 MR. STOVALL: If not, Mr. Dunn, you may be excused.
21 Is there anything further this in case? Case No. 10196
22 will be taken under advisement.

23

24 (Whereupon, the hearing was concluded at the
25 approximate hour of 9:15 a.m.)

* * *

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25


1 STATE OF NEW MEXICO)
) ss.
 2 COUNTY OF SANTA FE)


3 REPORTER'S CERTIFICATE

4
 5 I, Susan G. Ptacek, a Certified Court Reporter and
 6 Notary Public, do HEREBY CERTIFY that I stenographically
 7 reported the proceedings before the Oil Conservation
 8 Division, and that the foregoing is a true, complete and
 9 accurate transcript of the proceedings of said hearing as
 10 appears from my stenographic notes so taken and transcribed
 11 under my personal supervision.

12 I FURTHER CERTIFY that I am not related to nor
 13 employed by any of the parties hereto, and have no interest
 14 in the outcome thereof.

15 DATED at Santa Fe, New Mexico, this 11th day of March,
 16 1991.

17
 18 
 SUSAN G. PTACEK
 Certified Court Reporter
 Notary Public
 19 My Commission Expires:
 December 10, 1993

20
 21 I do hereby certify that the foregoing is
 a complete record of the proceedings in
 22 the Examiner hearing of Case No. 10196,
 heard by me on 7 February 1991.
 23 , Examiner
 24 Oil Conservation Division

25