

NEW MEXICO OIL CONSERVATION COMMISSION

EXAMINER HEARING

SANTA FE, NEW MEXICO

Hearing Date

JANUARY 24, 1991

Time: 8:15 A.M.

NAME	REPRESENTING	LOCATION
James Bruce	Huhle Law Firm	Albq.
ED OMAR	BRAVO OPERATING Co	HOBBS
J. D. Kellum	Kellum Kellum Ankeny	Santa Fe
William L. Jan	Campbell and Black, P.A.	Santa Fe
Shari Jan	DOE	Reno
Shari Hamilton	Yates Energy	"
Burr Bell	Yates Energy	"
Bryan Jones	Hartman	Midland
Joanne Reuter	Hartman	Santa Fe
Ernst L. Kadell	Kadell + Snyder	Santa Fe
Kenny Howell	DOI	Santa Fe
Loo Vo	Mobic	Midland
T. R. Moore	Phillips Petrol	Farmington
Richard T. Y	Richard T. C. Tully, P.A.	Farmington
MICHAEL CUNNINGHAM	"	"

NEW MEXICO OIL CONSERVATION COMMISSION

EXAMINER HEARINGSANTA FE, NEW MEXICOHearing Date JANUARY 24, 1991 Time: 8:15 A.M.

NAME	REPRESENTING	LOCATION
M.E. Cuba	Amoco	Denver
Jack McAney	Amoco	Denver
Bill Hawkins	Amoco	"
Eric Nitcher	"	"
Sweetfall	MILLER LAW FIRM	SF
Richard Virtue	NASSAU RESOURCES	SF
(Satin Thayer) Borne	Gas Research Inst.	Chicago, IL
Richard McBarré	GIANT Exploration	Farmington, NM
John Corbett		

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

STATE OF NEW MEXICO
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
OIL CONSERVATION DIVISION

IN THE MATTER OF THE HEARING)
CALLED BY THE OIL CONSERVATION)
DIVISION FOR THE PURPOSE OF)
CONSIDERING:)
APPLICATION OF CROSS TIMBERS OIL) CASE NO. 10216
COMPANY)
_____)

REPORTER'S TRANSCRIPT OF PROCEEDINGS

EXAMINER HEARING

BEFORE: JAMES MORROW, Hearing Examiner
January 24, 1991

Santa Fe, New Mexico

This matter came on for hearing before the Oil Conservation Division on January 24, 1991, at 10:40 a.m. at Oil Conservation Division Conference Room, State Land Office Building, 310 Old Santa Fe Trail, Santa Fe, New Mexico, before Freda Donica, RPR, Certified Court Reporter No. 417, for the State of New Mexico.

FOR: OIL CONSERVATION DIVISION BY: FREDA DONICA, RPR
Certified Court Reporter
CCR No. 417

(ORIGINAL)

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

I N D E X

January 24, 1991
Examiner Hearing
CASE NO. 10216

PAGE

APPEARANCES

3

CROSS TIMBERS OIL COMPANY WITNESSES:

EDWIN S. RYAN, JUNIOR

Direct Examination by Mr. Bruce

5

LEE M. PETERSON

Direct Examination by Mr. Bruce

9

JOHN MARK O'RIER

Direct Examination by Mr. Bruce

16

BRAVO WITNESS:

ED OMAR

Examination by Mr. Stovall

48

Cross-Examination by Mr. Bruce

53

REPORTER'S CERTIFICATE

66

* * *

E X H I B I T S

ID ADMTD

Applicant's 1

6 8

Applicant's 2 & 3

7 8

Applicant's 4

10 15

Applicant's 5

11 15

Applicant's 6

12 15

Applicant's 7

13 15

Applicant's 8 & 9

14 15

Applicant's 11 & 12

20 35

Applicant's 13

21 35

Applicant's 14, 15 & 16

22 35

Applicant's 17, 18 & 19

28 35

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

A P P E A R A N C E S

FOR THE DIVISION: ROBERT G. STOVALL, ESQ.
 General Counsel
 Oil Conservation Commission
 State Land Office Building
 310 Old Santa Fe Trail
 Santa Fe, New Mexico 87501

FOR THE APPLICANT: HINKLE LAW FIRM
 Albuquerque, New Mexico
 BY: JAMES BRUCE, ESQ.

Also Present: Ed Omar

1 HEARING EXAMINER: Now call case 10216.

2 MR. STOVALL: Application of Cross Timbers Oil Company
3 to amend Division Order Number R-6849, Lea County, New
4 Mexico.

5 HEARING EXAMINER: Call for appearances at this time.

6 MR. BRUCE: Mr. Examiner, my name is Jim Bruce from the
7 Hinkle law firm in Albuquerque, representing the applicant.
8 I have three witnesses to be sworn.

9 MR. OMAR: My name is Ed Omar, and I represent Bravo
10 Operating Company. And I'm here to oppose the application.

11 HEARING EXAMINER: Do you plan to testify?

12 MR. OMAR: Yes, sir.

13 HEARING EXAMINER: Any other appearances? The
14 witnesses will please stand and be sworn.

15 (Witnesses sworn.)

16 HEARING EXAMINER: Mr. Omar, what firm do you
17 represent?

18 MR. OMAR: Bravo Operating Company.

19 MR. STOVALL: Are you an attorney?

20 MR. OMAR: No, I'm a petroleum engineer.

21 MR. STOVALL: Off the record for a minute.

22 (Off the record discussion.)

23 HEARING EXAMINER: Go ahead, Mr. Bruce.

24 EDWIN S. RYAN, JUNIOR

25 the witness herein, having been first duly sworn to testify,

1 testified as follows:

2 DIRECT EXAMINATION

3 BY MR. BRUCE:

4 Q. Would you please state your full name and city of
5 residence?

6 A. Edwin S. Ryan, Junior, Fort Worth, Texas.

7 Q. And who do you work for and in what capacity?

8 A. For Cross Timbers Oil Company as a landman.

9 Q. And have you previously testified before the OCD
10 as a landman?

11 A. No, I have not.

12 Q. Would you outline your educational background and
13 work experience for the Examiner?

14 A. I graduated from Washington & Lee University with
15 a bachelor of arts in 1981. I went to work as a lease
16 broker for Steele and Associates for a year, and then for
17 Getty and Texaco for five years after that, and have been
18 with Cross Timbers Oil Company for three years. I've also
19 testified before the Oklahoma Corporation Commission.

20 Q. And are you familiar with the land matters
21 involved in this case?

22 A. Yes, I am.

23 Q. And your area of responsibility includes
24 southeast New Mexico?

25 A. Yes.

1 MR. BRUCE: Mr. Examiner. I tender Mr. Ryan as an
2 expert.

3 HEARING EXAMINER: We'll accept his qualifications.

4 Q. (By Mr. Padilla) Briefly, Mr. Ryan, what does
5 Cross Timbers seek in this case?

6 A. Cross Timbers is seeking to increase the gas-oil
7 ratio in the West Nadine-Blinebry Pool from a current level
8 of 4,000 to 1 to 10,000 to 1, and also to cancel the
9 overproduction in the McCallister Number 4 well, which is
10 operated by Cross Timbers.

11 Q. Would you please refer to Exhibit Number 1 and
12 describe it for the Examiner?

13 A. Exhibit 1 is an outline of the pool which is
14 located within Township 20 South, Range 38 East. It also --
15 and that is within the orange outline. The green outline is
16 all acreage within a mile of the pool, and the yellow
17 acreage -- the acreage colored in yellow is acreage owned by
18 Cross Timbers.

19 Q. Was notice sent to the operators in the pool and
20 outside the pool?

21 A. Yes, it was.

22 Q. And who did you send it to?

23 A. We sent it to all operators, lessees and unleased
24 mineral owners within the pool, and all operators within a
25 mile of the pool.

1 Q. Is Exhibit 2 a copy of your notice letter and a
2 listing of the interest owners?

3 A. Yes, it is.

4 Q. And this notice was sent by first class mail, was
5 it not?

6 A. Yes.

7 Q. When was this listing prepared?

8 A. The last week of December 1990.

9 Q. So it's current then, or at least current at the
10 time of the application?

11 A. That's correct.

12 Q. Have any operators inside or outside the pool
13 waived objection to this application?

14 A. Yes.

15 Q. And who is that?

16 A. Sirgo Operating, Inc.

17 Q. Is a copy of their waiver letter marked Exhibit
18 3?

19 A. Yes.

20 Q. In your opinion, is the granting of this
21 application in the interest of conservative and the
22 prevention of waste and the protection of correlative
23 rights?

24 A. Yes.

25 Q. And were Exhibits 1 through 3 prepared by you,

1 under your direction, or compiled from company records?

2 A. Yes.

3 MR. BRUCE: Mr. Examiner, I move the admission of
4 Exhibits 1 through 3.

5 HEARING EXAMINER: Exhibits 1 through 3 are admitted.

6 Mr. Omar, do you have any questions of Mr. Ryan?

7 MR. OMAR: Not at the present time.

8 MR. BRUCE: For the record, I would object to Mr. Omar
9 cross-examining my witnesses.

10 MR. STOVALL: I think Mr. Omar can certainly testify.
11 We'll allow the testimony. I think that's a valid
12 objection.

13 I have a question, however. Was any notice sent
14 by certified mail, return receipt cards?

15 THE WITNESS: No.

16 MR. BRUCE: Under the pool rules, Mr. Stovall, I think
17 they just require first class mail under the OCD rules.

18 MR. STOVALL: I want to confirm that. Some notices do
19 require --

20 HEARING EXAMINER: I'll ask Mr. Bruce to submit the
21 pool rules and show us where that applies.

22 MR. BRUCE: I will do that.

23 MR. OMAR: May I ask a question, please?

24 HEARING EXAMINER: I believe we agreed that we'd offer
25 you an opportunity to testify but that you wouldn't be able

1 to ask questions of witnesses. You can ask a question of
2 Bob or myself, if you'd like to.

3 MR. OMAR: I'd just like to see some kind of
4 justification for request of cancelling that allowable. I
5 don't see any --

6 MR. STOVALL: I assume they're going to testify to
7 that.

8 HEARING EXAMINER: Go ahead, Mr. Bruce.

9 MR. BRUCE: Call Mr. Peterson to the stand.

10 LEE M. PETERSON

11 the witness herein, having been first duly sworn, testified
12 as follows:

13 DIRECT EXAMINATION

14 BY MR. BRUCE:

15 Q. Would you please state your full name and city of
16 residence?

17 A. My name is Lee M. Peterson. I live in Richland
18 Hills, Texas.

19 Q. And who do you work for and in what capacity?

20 A. I'm employed by Cross Timbers Oil Company as a
21 district geologist for the Permian district.

22 Q. And have you previously testified before the Oil
23 Conservation Division?

24 A. No, sir.

25 Q. Would you please outline your educational

1 background and work experience?

2 A. I hold a bachelor of science degree in geology
3 from Brigham Young University in Utah, granted in 1981.
4 Since that time, I have practiced petroleum geology for ten
5 years, seven of those years for Cities Service Oil and Gas
6 Corporation and three years for Cross Timbers Oil Company.
7 In addition, I have been established as an expert witness
8 before the Texas Railroad Commission.

9 Q. And does your area of responsibility include
10 southeast New Mexico?

11 A. It does. And, in fact, I have had this field and
12 the surrounding area under study or under my responsibility
13 for most of those ten years of my experience.

14 Q. Not only with Cross Timbers but with your prior
15 employer?

16 A. Yes, sir.

17 Q. And thus you are intimately familiar with this
18 pool and this area?

19 A. Yes, sir.

20 MR. BRUCE: Mr. Examiner, I tender the witness as an
21 expert.

22 HEARING EXAMINER: We'll accept his qualifications.

23 Q. (By Mr. Bruce) Mr. Peterson, will you refer to
24 Exhibit 4 and describe its contents for the Examiner?

25 A. Mr. Examiner, Exhibit 4 is a structure map

1 contoured on the top of the Blinebry formation with Cross
2 Timbers' acreage marked in yellow. As a result of a
3 subsurface study of the Blinebry formation in West Nadine
4 Pool, including whole cores, sidewall cores, drill cuttings
5 and electric logs and mud logs, it has been determined that
6 the Blinebry formation with pool is extremely heterogeneous
7 and that, in fact, it consists of not one pool but several
8 pools. I would like to submit Exhibit Number 5.

9 Q. Would you please move on to Exhibit 5 then, Mr.
10 Peterson? What is that, for the record?

11 A. Exhibit 5 is a type log of the section in the
12 area. This happens to be the Cross Timbers Oil Company
13 Christmas Number 2 well located in the northeast quarter of
14 the northeast quarter of the northeast quarter of Section 7,
15 in Township 20 South, 38 East. And for your reference,
16 includes the top of the Glorieta formation above the
17 Blinebry and the top of the Tubb formation below, and the
18 Blinebry formation in between.

19 As you can see from this exhibit, as a result of
20 the subsurface geological study, we have zoned the Blinebry
21 formation into five different producing zones. And I found
22 it interesting in earlier testimony today on docket number
23 10220 that Conoco, in speaking of the McKey Pool, which is
24 one township to the south of us, came to the same conclusion
25 in their study of the Blinebry formation, that there's also

1 five different vertical producing zones.

2 These five different producing vertical zones,
3 Mr. Examiner, are the result of cyclic sedimentation when
4 the Blinebry formation was deposited in a tidal flat
5 environment. And the colors on this type log represent
6 different things. The purple coloring in the density curves
7 were the -- where the density is showing indicated negative
8 porosity are the anhydritic portions of the reservoir,
9 whereas the yellow and orange are those portions of the
10 density and neutron curves respectively showing the
11 porosity.

12 I guess the significance of this illustration and
13 subsequent exhibits will be to show that the Blinebry
14 reservoir is vertically stratified and that these five
15 separate reservoirs are not in vertical communication with
16 each other.

17 Q. Would you please move on then to Exhibit Number 6
18 also and describe its contents?

19 A. Mr. Examiner, Exhibit 6 then is a structure map
20 contoured on the top of Zone 5 in the Blinebry, as defined
21 by Exhibit 5. The reason I choose to focus on Exhibit 5 at
22 this time is that this is the zone from which the
23 McCallister Number 4 well in Section 5 is producing from at
24 the current time from which we wish to cancel the
25 overproduction.

1 HEARING EXAMINER: That's on Exhibit 5?

2 THE WITNESS: Yes, sir. Zone 5 is defined on Exhibit
3 5, and Exhibit 6 is the structure map showing the location
4 of not only the McCallister 4 but also all other wells in
5 the West Nadine Pool are marked that are currently producing
6 from Zone 5.

7 HEARING EXAMINER: McCallister 4 is the one that you
8 want to hold the production?

9 THE WITNESS: Yes, sir.

10 Q. (By Mr. Bruce) What is Exhibit 7, Mr. Peterson?

11 A. Mr. Examiner, Exhibit 7 is a net porosity isopach
12 of Zone 5 in the West Nadine Pool. The significance of this
13 exhibit is to show that not only is the Blinebry formation
14 vertically stratified and separated, but is also
15 horizontally separated as well. And from this isopach map
16 which I have made I conclude that there are at least three
17 and possibly more separate reservoirs in just Zone 5 of the
18 Blinebry formation.

19 I would call your attention again to those wells
20 which are circled as producing from Zone 5, particularly the
21 McCallister Number 3 well in the northeast quarter of the
22 northwest quarter of Section 8. This well although -- has
23 an indicated 17 feet of net pay from electric log analysis,
24 which is more feet of net pay than McCallister 4, is only
25 capable of making five barrels a day from the Zone 5

1 Blinebry, which is much, much less than the production
2 capable of the McCallister Number 4.

3 I point this out to illustrate the fact that the
4 pay in the Blinebry formation is not always continuous or
5 not always permeable, even if it's indicated porosity. And
6 there's a great deal of risk involved in completing these
7 wells in Zone 5 that even if there's indicated porosity
8 there may not be commercial production due to low
9 permeability.

10 Q. Would you please move on to Exhibits 8 and 9 and
11 describe their contents for the Examiner and discuss the
12 continuity of Zone 5 further?

13 A. Mr. Examiner, Exhibit 8 is a stratigraphic
14 cross-section hung on the top of Zone 5 that passes through
15 the McCallister Number 4, the well in question. And I think
16 this cross-section will show the Examiner that the porosity
17 which is productive in the McCallister Number 4 there near
18 the top is not present in either the Tamarack Petroleum well
19 on the east, or the Bravo Antweil -- excuse me, Bravo Louie
20 Number 2 well to the northwest, and that these wells are
21 40-acre offsets but yet the separation of these reservoirs
22 is such that the reservoir is not present on 40 location
23 away on either side.

24 I'd also like to apologize to the Examiner for
25 labeling on these cross-sections and maps all the wells

1 which are currently operated by Bravo Operating Company as
2 Antweil. We were working from base maps which were not
3 up-to-date, so anywhere that you read "Antweil" you should
4 read "Bravo" on these exhibits.

5 In addition, Exhibit 9, Mr. Examiner, shows a
6 similar picture to Exhibit 8. It is an east-west
7 stratigraphic cross-section also hung in the top of Zone 5,
8 going through the southern part of Cross Timbers'
9 leasehold. And it shows also that in one 40-acre location
10 away between the Cross Timbers McCallister Number 2 and the
11 Cross Timbers McCallister Number 3, that most of the pay is
12 gone.

13 Q. So from these you draw a conclusion that Zone 5,
14 the one in particular interest today, is not continuous
15 across the pool; is that correct?

16 A. That is correct.

17 Q. In your opinion, is the granting of this
18 application in the interest of conservative, the prevention
19 of waste and the protection of correlative rights?

20 A. It is.

21 Q. Were Exhibits 4 through 9 prepared by you or
22 under your direction?

23 A. Yes, sir, they were.

24 MR. BRUCE: Mr. Examiner, I move the admission of
25 Exhibits 4 through 9.

1 HEARING EXAMINER: 4 through 9 are admitted.

2 Mr. Peterson, are any wells except number 4,
3 McCallister Number 4, exceeding the current GOR limit?

4 THE WITNESS: No, sir.

5 HEARING EXAMINER: That's the only well that needs the
6 relief?

7 THE WITNESS: Yes, sir. The other wells are such poor
8 wells that they don't require that relief.

9 HEARING EXAMINER: Are Zones 1 through 4, do they
10 produce at a high gas-oil ratio or not?

11 THE WITNESS: Mr. Examiner, I'm not sure I'm qualified
12 to answer that. I may, if I could, defer that question to
13 the reservoir engineer who will testify after me.

14 HEARING EXAMINER: All right.

15 Bob, do you have anything?

16 MR. STOVALL: I don't think so at this time.

17 HEARING EXAMINER: The witness may be excused.

18 JOHN MARK O'RIER

19 The witness herein, having been sworn to testify the truth,
20 the whole truth, and nothing but the truth, testified as
21 follows:

22 DIRECT EXAMINATION

23 BY MR. BRUCE:

24 Q. Would you please state your name for the record?

25 A. My name is John Mark O'Rier.

1 Q. And where do you reside?

2 A. I reside in Fort Worth, Texas.

3 Q. And who are you employed by?

4 A. Cross Timbers Oil Company.

5 Q. What is your job at Cross Timbers?

6 A. I'm a reservoir engineer.

7 Q. Have you previously testified before the OCD?

8 A. No, I have not; but I've been submitted as an
9 expert witness to the Oklahoma Corporation Commission and
10 the Texas Railroad Commission.

11 Q. Would you briefly discuss your educational
12 background and work background also?

13 A. Yes, I have a BS in petroleum engineering from
14 the University of Texas, obtained in December of 1980. I
15 worked for Cities Service Oil and Gas subsequent to that.

16 Q. As a reservoir engineer?

17 A. As a production and as a reservoir engineer.
18 Between '80 and '84 I obtained an M.B.A. from SMU subsequent
19 to that time period and then worked for Texas American Bank
20 as a reservoir engineer and loan officer. Then I've been
21 working for Cross Timbers for three years since that time.

22 Q. And does your area of responsibility at Cross
23 Timbers include southeast New Mexico?

24 A. Yes, it does.

25 Q. Are you familiar with the engineering matters

1 involved in this case?

2 A. Yes, I am.

3 MR. BRUCE: Mr. Examiner, I tender the witness as an
4 expert.

5 HEARING EXAMINER: We accept his qualifications.

6 Q. (By Mr. Bruce) Mr. O'Rier, would you please
7 discuss briefly what brought about this application?

8 A. What brought about this application was primarily
9 our recompletion of the McCallister Number 4, which
10 originally was completed in what we're calling Zones 1 and
11 Zones 2 in 4 of '83. And we went back in in 4 of '90 to
12 open additional pay. At that time, we opened additional pay
13 in Zones 3 and Zones 5, Zone 4 not being well developed in
14 this location.

15 When we were testing, we perforated Zone 3 and
16 Zone 5 and then set a packer above Zone 5 to test it
17 individually. And to our surprise, it, after acid only,
18 kicked off flowing at very high rates of oil. And at first
19 we thought that the oil allowable would be our problem, but
20 the oil production quickly fell off, and at the same time
21 the gas production started increasing to the point at which
22 we were exceeding our maximum GOR allowable. And so we --
23 through testing of the McCallister 4 and trying to determine
24 the effects of producing a gas rate at or below the 568
25 maximum allowable, we determined that the best way for us to

1 produce our correlative oil rights in this location would be
2 to get the GOR increased.

3 Q. And, briefly, in testing the well, did producing
4 gas below the allowable affect oil production?

5 A. Yes, it did. When we tried to reduce the gas
6 rate to below the 568 limit, our oil production went from on
7 the order of 70 to 90 barrels to the order of 10 barrels a
8 day.

9 Q. Referring to Exhibit Number 10, would you
10 describe the production history of the pool and some
11 production from the wells in the pool in a little more
12 detail?

13 A. The initial Blinebry -- well, Exhibit 10 is a
14 current rate and cumulative production map of all the wells
15 in the Blinebry pool. The discovery well for the Blinebry
16 -- West Nadine Blinebry Pool is the Tamarack Number 1
17 Speight over in Section 9, in the northwest quarter of
18 Section 9. The total wells completed in the pool are 42,
19 including the Speight, and those wells were drilled between
20 1980 and 1986. Cumulative production through July of 1990
21 is 2.2 million barrels and 5.2 BCF.

22 As you can see from this map, each well has a
23 pinwheel on it which indicates which zone it is producing
24 from. I'll point out a couple of things to you, one of
25 which is that the majority of the wells in the pool are

1 producing from what we're calling Zones 1 and Zones 2. And
2 I also point out that of the seven completions in Zone 5,
3 five of them are on our own leasehold interest.

4 From studying the reservoir in general, we've
5 determined that the drive mechanism for Zone 1 is purely
6 solution gas drive. We're also determined that Zone 2 has a
7 combination gas cap and solution gas drive mechanism. And
8 Zone 5, we have determined, has a combination in particular
9 areas, especially ours. We've found that it has a
10 combination gas cap and solution gas drive, and that Zones 3
11 and 4 have not been tested adequately to know exactly what
12 the drive mechanism is.

13 Q. Now, you mentioned five of the seven Zone 5 wells
14 are in Cross Timbers lease. The other two which are to the
15 southeast of Cross Timbers lease, are those, in your
16 opinion, in a separate reservoir?

17 A. Yes, they are.

18 Q. Why was the 4,000 to 1 GOR initially adopted for
19 this pool? And I would refer you to Exhibits 11 and 12.

20 A. Exhibit 11 presents one of the original exhibits
21 in case 7419 in which Antweil was trying to get the limit
22 increased from 2,000 to 4,000. And as you can see from this
23 exhibit and testimony indicated in the records, the purpose
24 for increasing the allowable at that time from 2,000 to
25 4,000 was to allow specific production from one well, that

1 being the Albert Number 1, which at that point in time
2 exceeded the maximum GOR limit of 2,000 to 1.

3 Exhibit 12 was also presented in that case, and
4 it indicated other GORs of other pools in this district.
5 I'll note that of those pools, two of them have GORs greater
6 than 9,000, which is close to what we're asking for, and one
7 of them has a GOR in excess of 31,000. So the primary
8 evidence presented in the original limiting GOR hearing to
9 increase it from 2,000 to 4,000 was an analogy with other
10 pools and the need to change the limit to produce one
11 specific well.

12 Q. How does the GOR in the McCallister Number 4
13 well, the one you seek to cancel overproduction on, compare
14 with the GOR for other wells in this pool? And I would
15 refer you to Exhibit 13.

16 A. Exhibit 13 is a GOR comparison of all the wells
17 in the West Nadine Blinbry Pool. As you can see, they're
18 listed in order by operator. And you notice under Cross
19 Timbers and McCallister Number 4 we're showing a GOR at this
20 point in time of 8,000, which is less than some of the other
21 wells in the pool. Several -- many of the wells are
22 producing GORs in excess of the current limit, and some of
23 which are producing at higher GORs than what we're asking
24 for. I would like to point out that it just happens to be
25 that our well is the only well in the pool that has

1 production capable of exceeding the maximum limit.

2 Q. And how does the requested 10,000 to 1 GOR
3 compare with actual GORs from other Blinebry pools in
4 southeast New Mexico?

5 A. Exhibit 14 is a GOR comparison of other Blinebry
6 pools as of August 1990. And you'll see that there's a
7 variety of different producing GORs, several of which exceed
8 the 10,000 to 1 we're asking for, and one of which is almost
9 added, and several others are in excess of the current limit
10 that we are under right now, the 4,000 to 1.

11 Q. And the Blinebry oil and gas pool was the subject
12 of the prior Conoco case today, was it not?

13 A. I believe it was.

14 Q. Referring to Exhibits 15 and 16, would you
15 discuss in a little more detail what zones are productive in
16 the wells in this pool? And I would also ask you to refer
17 to Exhibit Number 6 to some extent.

18 A. Yes, it would be helpful in the discussion of
19 Exhibits 15 and 16 to have ready Exhibit 6, which is the
20 structure map of the top of the Blinebry fifth zone. The
21 purpose of this exhibit is basically to show, according to
22 our zonation, where the wells in Cross Timbers' leasehold
23 interest are completed and to help the Examiner understand
24 our position that each zone acts independently of one
25 another and that production from one zone does not affect

1 the production from another zone. You can see most all the
2 wells are producing from Zone 1 with the exceptions of
3 Christmas 2 and McCallister 2, which is on Exhibit 15. And
4 I will also point out that the development of these upper
5 zones occurred early in the 1980s, yet when we completed
6 Zone 5 in the McCallister 4 in 4 of '90, it had virgin
7 pressure.

8 HEARING EXAMINER: Would you say that again, that last
9 sentence?

10 THE WITNESS: I'm saying even though the upper zones
11 had been developed in the early eighties and had been
12 producing for long periods of time prior to our recompletion
13 of the McCallister 4, we found virgin pressure in Zone 5 in
14 McCallister 4, which also indicated -- let me just go
15 through the history of the development of Zone 5, both by
16 the previous operator to this acreage, which was Crown
17 Central, and then our own development since we have assumed
18 operations of it.

19 The original completion in Zone 5 was the
20 McCallister 1 in 6 of '83, and that's on Exhibit 16, and
21 it's labeled number 5 across the top. Zone 5 --

22 MR. STOVALL: Exhibit 15, I believe.

23 HEARING EXAMINER: I think it is 15.

24 THE WITNESS: I'm sorry. I marked them backwards.

25 Exhibit 15, well number 5 across, going from left to right,

1 there at the bottom you see Zone 5 was tested in McCallister
2 1 in 6 of '83. I would like to point out that this
3 particular well was an old well bore that had a liner run in
4 it and had a very poor cement job. So getting individual
5 tests in this was difficult. However, they were able to
6 ascertain with some reasonable degree of certainty that Zone
7 5 was a gas -- was gas productive in that location. So it
8 was plugged back and then only produced from Zones 1 and
9 Zones 2 and, to some degrees, Zone 3.

10 The next well that was completed in this pool in
11 Zone 5 was the Moran 2 in 11-84, and that is number 4 on the
12 same exhibit. Zone 5 on the Moran 2 was completed with
13 other zones in this well bore. It was acidized only, but
14 there was no indication of any gas production in the Moran
15 2. And I would like to refer back to Exhibit 6, and you'll
16 notice on the structure map that Moran 2 is structurally
17 high to the McCallister 4 in this location. That indicates
18 to some degree that the Moran 2 is producing from a separate
19 reservoir from McCallister 4.

20 The next well that was completed in -- by Crown
21 Central in this leasehold interest was the Turner Number 3,
22 which is number 2 on the next exhibit. It was also
23 completed with other zones and acidized only. And as with
24 the Moran 2, there was no indication of gas production from
25 that particular zone. And it also is structurally high to

1 the McCallister 4, according to our structure map. And
2 those two wells, in conjunction with what we found in the
3 McCallister 4, gave us a high degree of certainty that you
4 were dealing with more than one reservoir, even on our own
5 leasehold interest.

6 The next well that was completed after the
7 McCallister 4 was the Cross Timbers completion of the
8 McCallister 3, which is on Exhibit 16, number 4. And you
9 can see its relationship to the McCallister 4. It's
10 basically southeast of the McCallister 4. And it's also the
11 only well in our leasehold interest that's down-dipped to
12 the McCallister 4. We've completed -- although if you'll
13 recall from one of the previous cross-sections, the
14 McCallister 3, we were showing 17 feet of pay, however, the
15 pay quality didn't appear to be near the quality of the
16 McCallister 4.

17 We completed it in hopes of being able to produce
18 a well at a down-dip location to the McCallister 4 in order
19 to -- and this was subsequent to the fact that we found that
20 we were starting to produce high gas rates out of the
21 McCallister 4. So in an attempt taken to produce at a lower
22 structural position, we went to the McCallister 3.
23 Unfortunately, the pay quality was not sufficient in that
24 well -- the permeability, apparently, was not sufficient in
25 that well to give anything more than five barrels a day in

1 rate.

2 And so after the next completion that we went to
3 in this field was the Leonard 2, and it was shortly
4 thereafter the McCallister 3. And the theory behind hitting
5 the Leonard 2 in Zone 5 was that because of the Moran 2 and
6 the Turner 3 which I referred to a little bit earlier, it
7 appeared that the Leonard 2, while although still
8 structurally high to the McCallister 4, was also in a
9 separate reservoir than the McCallister 4. And this was a
10 very successful completion but also proved our theory that
11 there was not a producing gas cap over in this area. And it
12 basically defined the gas cap in this zone to a location
13 probably between McCallister 1 and perhaps the Christmas 2
14 and the McCallister 2.

15 HEARING EXAMINER: You're talking about the Leonard 2?

16 THE WITNESS: Yes. The Leonard 2 confirmed our theory
17 that we were dealing with more than one reservoir in Zone 5
18 on our own leasehold interest.

19 HEARING EXAMINER: You say 13 barrels a day?

20 THE WITNESS: Yes, pumping under a packer. And when we
21 combine it with the other zones, we found that it was
22 actually capable of producing at higher rates than that. At
23 that point in time, we were pumping it under a packer
24 because the other ones were open, and so the pump efficiency
25 was very low because there was enough GOR to inhibit the --

1 we were probably pumping it at 50 percent efficiency, I'm
2 guessing.

3 And after we finished putting all the zones back
4 together, it was apparent that Zone 5 was more than likely
5 contributing a little bit more than 13 barrels a day. But
6 at the same time, there was no indication that you were
7 producing very high volumes of gas out of it which would
8 lead you to believe that the gas cap extended all the way
9 over here.

10 Q. (By Mr. Bruce) In your opinion, would a new or
11 another Zone 5 well completion down-dip from the McCallister
12 4 be risky?

13 A. Yes. Are you talking about a new drill?

14 Q. Yes.

15 A. A new drill, in our opinion, would be very
16 risky. And we charted the McCallister 3, and the
17 indications are that you lose reservoir quality very quickly
18 when you move structurally down-dip in this particular
19 zone. And so, in our opinion, we were faced with only being
20 able to produce our correlative oil rights from that
21 particular well bore because you could not -- drilling a new
22 well would be too risky for us to assume that
23 responsibility.

24 Q. Do you have anything further on those set of
25 exhibits?

1 A. Oh, also, just as a point, it -- the poor pay
2 quality in McCallister 3 indicates it is not -- even though
3 it's not really in good communication with what you're
4 producing out of the McCallister 4, and therefore it's our
5 position that all these wells that are down-dip and in poor
6 pay quality would be dominated by solution gas drive and
7 would not really be affected by the gas cap that's in
8 contact with McCallister 4 to any degree. I mean, when
9 you're producing from such a tight reservoir, you're totally
10 dominated by solution gas drive.

11 Q. Would you now move on to Exhibits 17, 18 and 19
12 and discuss the production history from the McCallister
13 Number 4 since you recompleted it?

14 A. Okay. Exhibit 17 is a daily plot from Zone 5
15 only since its inception in April of 1990. I would like to
16 point out that at this point in time, or when this well was
17 completed and producing, during this whole period of time,
18 we were producing it with VOPs on the well with tubing six
19 feet in the air. It had a Zone 3 that was above a packer
20 that it had been perforated and never treated, so the
21 workover was not complete. And we were so surprised by
22 this, we just sat on it, trying to figure out what to do
23 with it, to be honest.

24 And so you can -- you know, going back to the
25 initial phases of it -- I'll just walk you through this

1 production plot and give you some idea what we were trying
2 to do throughout the history of this Zone 5 production. You
3 can see early in the life of the well, from days zero to
4 days 24, the well came on at about 250 barrels a day and
5 started falling off a little bit. You were producing
6 solution gas rates that would imply solution gas and not gas
7 cap production. However, between days 24 and days 60 the
8 gas started increasing very substantially and the GOR
9 started going up too substantially. At that point in time,
10 we had a very high degree of trouble producing this well.
11 We had to choke freezings off. It was hard to keep the well
12 on production. That's why you see the erratic production in
13 this area of the curve from a time period of 36 to 60.

14 At that point in time, we installed an insulated
15 and heated choke, which apparently had no effect on our
16 ability to keep it from freezing off. At that point in time
17 we just decided to open up the choke a little bit in the
18 hopes that perhaps the gas rate -- it was a temporary
19 phenomenon -- the gas rate would start falling back off
20 again, and by the fact that we'd have to shut the well in to
21 -- basically to produce it at any lower gas rate. And so
22 you can see, we held the choke constant during this period
23 of time because we were concerned about our gas rates. And
24 you can see the effect in the oil production. Just by
25 holding the choke constant at that time, the oil rates went

1 from 100 barrels a day down to over 40 or 50 barrels a day.
2 I would like to note that from days approximately a little
3 before 84 and a little after 84, which would represent the
4 time period of around July 16th and in the eight days
5 subsequent, we shut the well in for pressure buildup in
6 order to try to ascertain what kind of animal we were
7 dealing with in this zone. So that's the reason for the gap
8 in production during that time period.

9 Then we brought the well back on at the same
10 choke size. And it -- apparently, the well was loading up
11 due to low fluid velocity in the tubing because of the choke
12 size we were producing at. There's two more gaps in the
13 production which is just simply no data. We were forced to
14 use our test separator at different locations during those
15 time periods. And you can see that we held the choke
16 constant during that time, and we were producing at rates
17 that were much less than what you'll see later on in the
18 production plot.

19 If you move over to around days -- between days
20 -- around days 204 and beyond, you'll notice that at that
21 point in time we opened up the choke and our oil production
22 jumped back up from the 40 to 50 barrel-a-day range back up
23 to the 80 to 90 barrel-a-day range. And we opened up again
24 to keep it from freezing off and to maintain our oil
25 production. And you can see that the gas rates increased

1 slightly, but we had found basically through all this
2 testing our most efficient manner in which to produce at
3 least the oil production.

4 And about this time we received notification from
5 the OCD to -- that we were overproduced. And so we began
6 testing the effect of producing -- in preparation for this
7 hearing for producing the well at rates below the maximum
8 568 MCF a day.

9 And I'll refer you to the next two exhibits,
10 which would be Exhibits 18 and 19. Exhibit 18 is --
11 highlights that area in which you'll -- you see at the tail
12 end of this Exhibit 17, you see the oil production going
13 down and the GOR going up. The time period on Exhibit 18 is
14 from approximately 11-21 'til the end of December. You can
15 see the oil rate was between 80 and 90 barrels a day,
16 relatively constant. When we decrease the choke size in
17 order to reduce the gas rate, as you can see on Exhibit 19,
18 you can see the effect of the flow and tubing pressure when
19 we reduced the choke size to get our rate below 568. The
20 tubing pressure went from order of 800 pounds to the order
21 of 1,200 pounds. Our GOR approached 100 to 1, and our oil
22 rate declined substantially, almost instantaneously, from 80
23 barrels a day to the order of 10 to 20 barrels a day.

24 And after producing that way for approximately a
25 week, we opened it back up to see -- we opened it back up at

1 this point in time in preparation for running another bottom
2 hole pressure buildup, which at the end of this time period
3 the well was shut in to run a buildup. And we ran an
4 eight-day buildup in order to comply -- to shut it in to
5 comply with OCD. And we're currently testing the
6 productivity of Zone 3 just to see what it's like.

7 An interesting note on the buildup that we saw in
8 July of 1990 showed a bottom hole flowing pressure of about
9 1,800 pounds, yet six months later when we ran another
10 buildup, our flowing bottom hole pressure declined to 950
11 pounds, which further indicates -- it confirms that we are
12 dealing with a limited reservoir that's producing itself out
13 pretty quickly.

14 Q. Would you please summarize the reasons that you
15 seek to cancel the overproduction on the McCallister Number
16 4?

17 A. Well, primarily because the well has not
18 completed yet. I think I have provided evidence that we've
19 been testing this well, trying to understand what -- the
20 production capabilities of it and what's the most efficient
21 rate at which to produce it. We have kept the OCD fully
22 informed on everything that we were doing. And in the
23 beginning, we needed to open the choke and produce at these
24 rates in order to maintain any oil production, and because
25 of the fact it's a limited reservoir, we don't believe that

1 any gas production we have had out of the Zone 5 is
2 affecting any production from any other well currently
3 producing in the reservoir.

4 Q. Will increasing the GOR have an adverse effect on
5 the recovery of oil and gas from this pool or from Zone 5?

6 A. Would you repeat the question?

7 Q. Would increasing the GOR have an adverse effect
8 on recovery of oil and gas from Zone 5?

9 A. No, I do not believe so. In fact, I think it
10 would have just the opposite because -- let me -- increasing
11 the GOR would help the recovery of it because without
12 increasing the GOR we would not be capable of producing at
13 our most efficient rate, which would be somewhere where we
14 can get our 80 to 90 barrels a day out of this well bore.

15 Q. Now, you heard Mr. Peterson testify that each
16 zone is, in essence, a different pool, did you not?

17 A. Yes.

18 Q. Do you agree with that from an engineering
19 standpoint?

20 A. Yes.

21 Q. Now, instead of requesting the GOR increase, if
22 you had requested a new pool designation, what would your
23 discovery allowable be?

24 A. The discovery allowable would have been 31,000
25 barrels at 125 million.

1 Q. And would that have been sufficient to alleviate
2 your overproduction?

3 A. Very much so.

4 Q. As a result of your workover of the McCallister
5 Number 4 and of the other wells in your lease, does Cross
6 Timbers anticipate recompleting any other wells?

7 A. We believe that we have two locations that would
8 have a similar problem, that being the Christmas 2 and the
9 McCallister 2.

10 Q. Where are they located?

11 A. The Christmas 2 is the type log that we've
12 referred to, and it's in the northeast northeast of Section
13 7. And the McCallister 2 is in the northwest northwest of
14 Section 8. Both of these wells, we believe, have both --
15 have an oil column in -- you know, in the pay. There's both
16 an oil column and a gas capsule. We believe we would have a
17 similar type problem there that we're having in McCallister
18 4.

19 Q. In your opinion, will an increased GOR damage the
20 reservoir?

21 A. No, sir.

22 Q. In your opinion, is the granting of this
23 application in the interest of conservation, the prevention
24 of waste and the protection of correlative rights?

25 A. Yes.

1 Q. And were Exhibits 10 through 19 prepared by you
2 or under your direction?

3 A. Yes.

4 MR. BRUCE: Mr. Examiner, I move the admission of
5 Exhibits 10 through 19.

6 HEARING EXAMINER: Exhibits 10 through 19 are admitted.

7 Mr. O'Rier, on Exhibit 13, there was an
8 indication that well number 4 was making about 20,000
9 barrels a month; is that correct?

10 THE WITNESS: That's gas. Are you talking about our
11 McCallister Number 4?

12 HEARING EXAMINER: Right.

13 THE WITNESS: The MCF per month was 20,949 and the
14 barrels per month were 2,576.

15 HEARING EXAMINER: So at that time it was making 90
16 barrels a day?

17 THE WITNESS: Correct.

18 HEARING EXAMINER: How much is it overproduced?

19 THE WITNESS: Our calculations indicate it's
20 approximately two to two-and-a-half months overproduced.

21 HEARING EXAMINER: How many barrels is that?

22 THE WITNESS: It works out to approximately 42 million
23 overproduced.

24 HEARING EXAMINER: 43 million gas?

25 THE WITNESS: Gas. No overproduction in oil.

1 HEARING EXAMINER: Do you have a limited -- is your oil
2 allowable limited due to the GOR or not?

3 THE WITNESS: No, we're -- except for the first ten
4 days, we were never exceeding our oil allowable, and on a
5 monthly basis we never had a problem with our oil allowable
6 in this well.

7 HEARING EXAMINER: Your oil allowable is not penalized.
8 You hadn't tested it yet, I guess, or maybe a test is not
9 required in that pool. I'm not sure whether it is or not.

10 THE WITNESS: I'm not sure I understand. It was my
11 impression that the oil allowable for this pool was 142
12 barrels a day. Within a very short period of time we were
13 producing oil at rates significantly less than that. We've
14 not had a problem with overproducing on oil. It's only been
15 our gas that we've been overproducing.

16 HEARING EXAMINER: So on the proration schedule right
17 now you have written in there 142 barrels a day?

18 THE WITNESS: Correct.

19 HEARING EXAMINER: No GOR penalty?

20 THE WITNESS: Right.

21 HEARING EXAMINER: You said that the overproduction on
22 gas is 43 MMCF?

23 THE WITNESS: Correct.

24 HEARING EXAMINER: And 568, that's four times the 142,
25 I guess; is that correct?

1 THE WITNESS: Correct.

2 HEARING EXAMINER: You went through some cumulative --
3 statements about cumulative recovery when you were
4 testifying on Exhibit Number 10, and I didn't pick up on all
5 that. Would you repeat that, please?

6 THE WITNESS: We -- public data indicates the West
7 Nadine Blinbry Pool has a total cumulative production of
8 2.2 million barrels and 5.2 BCF. Is that the figures you
9 were concerned about?

10 HEARING EXAMINER: Tell me the gas again.

11 THE WITNESS: 5.2 BCF.

12 HEARING EXAMINER: That's the current cumulative
13 recovery from the pool?

14 THE WITNESS: As of July of 1990 from public data.

15 HEARING EXAMINER: Was this Antweil Albert Number 5
16 that you talked about on Exhibit 11, did it produce from
17 Zone Number 5?

18 THE WITNESS: Albert Number 1?

19 HEARING EXAMINER: Albert Number 1.

20 THE WITNESS: No, sir. Our public data indicates that
21 it produced from Zones 1 and Zones 2.

22 HEARING EXAMINER: On Exhibits 14 and -- or 15 and 16
23 there's some numbers down at the bottom of each of the bars
24 that you've drawn there to represent well bores. Tell me
25 what those mean. Like on McCallister Number 4, it says down

1 at the bottom 31 91 67 4 99 11 90.

2 THE WITNESS: On McCallister Number 4?

3 HEARING EXAMINER: No, McCallister Number 3 I was
4 looking at, as well as number 4.

5 THE WITNESS: I'm sorry, I guess we didn't define
6 that. The top left number is the current oil rate in
7 barrels per day. The top right-hand figure is the current
8 rate in MCF per day, and the bottom left figure is a
9 cumulative oil production for the well. The middle figure
10 is a cumulative gas production in MMCF, and the oil is in --
11 that 167 refers to 167,000 barrels, so 167 MBO. The bottom
12 left is the cumulative in MBO, and the bottom right-hand
13 figure is the date at which that cumulative represents. In
14 other words, this cumulative is as of 11-90.

15 HEARING EXAMINER: And the gas is MMCF?

16 THE WITNESS: Yes, sir.

17 HEARING EXAMINER: And 1, 2, 3, 4, 5 means the zones
18 they're currently open in?

19 THE WITNESS: Correct.

20 HEARING EXAMINER: And what about the pressure
21 differences in Zone 5 as compared to other zones? You've
22 talked about drives.

23 THE WITNESS: We estimate that Zones 1 and Zones 2 have
24 a pressure of approximately 1,200 PSI, yet Zone 5, we were
25 showing a static reservoir pressure in Zone 5, according on

1 our buildup in 7 of '90, approaching 2,300 pounds, which is
2 very close to what we would consider virgin pressure for
3 this zone. At that time the well produced for four months,
4 I guess.

5 HEARING EXAMINER: Do you think you'll lose any gas or
6 oil into those other zones from Zone Number 5 by having it
7 open together with those zones?

8 THE WITNESS: That was our concern, that's why we have
9 left the well the way it was. We were worried about cross
10 flow into the upper zones if we didn't set a packer and keep
11 them isolated.

12 HEARING EXAMINER: Do you have a packer in there now?

13 THE WITNESS: Yes, sir, we do. Well, right now we have
14 a bridge plug above Zone 5 to shut it off, and then we were
15 swab-testing Zone 3 to see what it would do. So Zone 5 has
16 been isolated and remains isolated.

17 HEARING EXAMINER: It's your plan to continue to do
18 that?

19 THE WITNESS: It is our plan to go back -- assuming
20 that this limit increase is approved, it is our plan to go
21 back and produce Zone 5 solely, because it's our feeling
22 that if we try to produce the other zones in conjunction
23 with Zone 5, it would have the same effect that we saw by
24 changing the choke size. In other words, this zone appears
25 to be very sensitive to flowing bottom hole pressure. And

1 any hydrostatic head you put on top of it, either by
2 reducing your choke size or by increasing your hydrostatic
3 head due to fluid falling from the other zones, we believe,
4 would have the same effect of shutting off the oil
5 production from Zone 5 as trying to produce at a lower gas
6 rate. Is that clear?

7 HEARING EXAMINER: Yes, I think I picked up on part of
8 that.

9 THE WITNESS: In other words, we feel like the fluid
10 head, by comingling all these zones, would have the same
11 effect that we showed earlier on these production tests of
12 reducing the oil rate out of this zone. So we're very
13 concerned about what we should do with this zone in relation
14 to the other ones because we think not only would comingling
15 the zones at this point in time hurt our production, but
16 choking it back would also hurt our production.

17 HEARING EXAMINER: You have comingled it in the other
18 wells where you had --

19 THE WITNESS: Where we had no indication that we had
20 this kind of production mechanism. Those other wells showed
21 no indication of having any gas productivity of any degree
22 or anything above the solution gas rates.

23 HEARING EXAMINER: See the amount of interval opened in
24 McCallister Number 4 in Zone 5 is -- looks like on Exhibit
25 15, tell me how much that is.

1 THE WITNESS: Sixty-four to 87; that's 23 feet.

2 HEARING EXAMINER: Did your log on this particular well
3 indicate that that was all one interval, or were there
4 stringers within that 23 feet?

5 THE WITNESS: In this particular zone, we think it's --
6 if there's stringers, they're real close together.

7 HEARING EXAMINER: I don't believe you submitted a log
8 for --

9 THE WITNESS: Yes, the Exhibit 8 -- no -- one of the
10 two cross-sections that Mr. Peterson presented earlier has
11 the McCallister 4 Zone 5 well log presented.

12 MR. BRUCE: I believe it's number 8, Mr. Examiner.

13 THE WITNESS: You can see that there's some minor
14 stratification through there.

15 HEARING EXAMINER: I guess -- yes, here it is.

16 THE WITNESS: If you'll compare that well with
17 McCallister 3, you'll see part of the difference between the
18 log quality. The net pay on McCallister 3, which is on the
19 other exhibit, the net pay was more broken up.

20 HEARING EXAMINER: It's hard for me to read those
21 numbers on the cross-section, but it is in the lower part of
22 the zone, I believe; is that correct, the perforations?

23 THE WITNESS: The perforations are at the very top of
24 the zone. The perforations basically extend where -- that
25 upper portion that's colored in yellow.

1 HEARING EXAMINER: All right. On Exhibits 17, 18 and
2 19, is the data there -- is that -- each of those points
3 represent a daily measured test?

4 THE WITNESS: Yes, sir. We've had a test separator on
5 this well almost from -- almost throughout its entire Zone 5
6 production history.

7 HEARING EXAMINER: Looking at those three exhibits
8 together, do they correlate there as they appear to? Let's
9 see, the -- were you measuring the bottom hole pressures
10 while you were testing?

11 THE WITNESS: No. The pressure that we have, what's
12 labeled as FTP is our measured flowing tubing pressure,
13 which is the surface pressure.

14 HEARING EXAMINER: So these two do match up like this;
15 is that correct?

16 THE WITNESS: Yes, sir.

17 HEARING EXAMINER: Is that --

18 THE WITNESS: The data is exactly the same. We just
19 highlighted it on these other sheets.

20 HEARING EXAMINER: This point here is this sinking
21 point on these other two exhibits?

22 THE WITNESS: Exactly. We thought that it was easier
23 -- would be easier to see by highlighting that particular
24 area of the curve.

25 MR. STOVALL: For the record, Mr. Examiner, I point out

1 that you're looking at, it appears to me, Exhibits 17, 18
2 and 19; is that correct?

3 HEARING EXAMINER: Correct. So the gas -- the GOR,
4 while it declined substantially when you produced at a
5 higher rate, the gas production also declined; is that
6 correct?

7 THE WITNESS: Are you referring to --

8 HEARING EXAMINER: I'm referring now to Exhibit Number
9 17.

10 THE WITNESS: Actually, the way it occurred is that we
11 reduced the gas rate to the level at which we were below the
12 maximum allowable, and in doing so our oil production was
13 affected to the degree you see on Exhibit 18.

14 HEARING EXAMINER: So the actual gas rate is the red --

15 THE WITNESS: Correct.

16 HEARING EXAMINER: -- curve.

17 THE WITNESS: And the gas rate was what was altered,
18 and the oil rate was the result of altering the gas rate.

19 HEARING EXAMINER: So both rates went down or went down
20 -- let's see, the oil went down, the gas went down, but the
21 GOR went up?

22 THE WITNESS: Correct. The gas rate went down on
23 purpose, but the oil rate did not.

24 HEARING EXAMINER: It went down --

25 THE WITNESS: But not on purpose.

1 HEARING EXAMINER: You indicated you shut in to comply
2 with OCD. You meant you were making up overproduction?

3 THE WITNESS: We received notice of overproduction, and
4 so we were trying to comply with that notice.

5 HEARING EXAMINER: That's all the questions I have.

6 EXAMINATION

7 BY MR. STOVALL:

8 Q. Looking at Exhibit 17, am I correct in
9 understanding that the overproduction started to occur
10 around day 228, which is about the 7th of December, or was
11 it prior to that that that was occurring?

12 A. I would say that the overproduction occurred
13 between day 60 and day 252. In other words, if you'll look
14 at the gas scale that is in red on the left-hand side, says
15 gas MCF per day, if you look at the first line that's going
16 across, the lower line that's going across, you'll look at
17 -- the scale there says 1,000.

18 If you'll notice, the very bottom of that scale
19 is 100. So the next mark up would be 200, then 300, then
20 400, then 500. If you take that 500 point across, you'll
21 notice when the well first started increasing in gas rate,
22 it leveled out about at what our maximum allowable gas rate
23 is, that is, 568 a day.

24 And then you'll notice almost at day 60 the gas
25 rate jumped again, and at that point in time we were

1 beginning to exceed our allowable. That's the point in time
2 when we were trying to -- you know, we decided we were -- we
3 needed to shut the well in for a buildup to see what was
4 going on. And we were holding our choke constant so that it
5 didn't get any more out of hand, hoping that it would just
6 stabilize out at a lower rate. And it became apparent as we
7 continued to produce this that that was not going to occur,
8 so that's the reason why we are here today.

9 Q. And if I'm reading that exhibit correctly, what
10 was happening starting about day 84 is your gas rate was
11 becoming constant but your oil rate was going down, which
12 resulted in greater overproduction at the same rate of gas
13 production.

14 A. It's my understanding that the overproduction of
15 gas is tied solely to the 568 a day maximum. And what was
16 happening during that time period, I believe, was because we
17 were holding the choke constant to avoid any further
18 overproduction than we were having at that point in time,
19 our oil rate was suffering. That's when we decided we
20 needed to start testing what our efficient rate would be out
21 of this. And through our pressure buildup analysis and by
22 playing around with the choke, we found that we needed to
23 have it open more, and by pulling back the gas rate to below
24 the 568, we were -- we would severely hamper our oil
25 production.

1 I believe that that time period after the buildup
2 where the oil rate was going down, the well was loading up
3 due to low fluid velocity in the tubing because we had it
4 choked back too much during that period of time. And that
5 theory is confirmed by the fact that when we opened it up,
6 more lowering the fluid velocity in the tubing, our oil rate
7 jumped back up.

8 Q. During this time period then as you were becoming
9 overproduced, you were -- do I understand that you were
10 aware of what was going on and you were trying to figure out
11 what the cause was and what the solution was?

12 A. Correct. That's -- like I say, that's why we've
13 run two buildups on this thing. And, you know, we were
14 hoping it would be a temporary phenomenon. And it didn't --
15 we finally realized that it was going to be less temporary
16 than we thought.

17 Q. If you were not allowed to -- if your
18 overproduction of -- gas overproduction were not cancelled,
19 what would you have to do to make that up?

20 A. We'd have to shut it in for two-and-a-half
21 months.

22 Q. Do you think that would damage the reservoir at
23 all?

24 A. It probably would not damage it, but you never
25 know.

1 HEARING EXAMINER: If this application weren't granted,
2 it would seem that the most efficient way to produce the
3 well would be intermittently.

4 THE WITNESS: Correct.

5 Q. (By Mr. Stovall) When I look at Exhibit 13, and
6 looking at any of the higher -- above 4,000 GOR wells,
7 you've indicated the McCallister Number 4 is the only one
8 which is overproduced; is that correct?

9 A. No, sir. What I was trying to imply when I made
10 that statement was that McCallister 4 is the only well --
11 oh, okay, yes, you're right. What I was trying to say is
12 that that's the only well in the field capable of producing
13 at rates that would exceed our maximum allowable.

14 Q. It's the only one overproduced because it's the
15 only one capable of becoming overproduced, not because the
16 others have been production limited to avoid
17 overproduction.

18 A. Correct.

19 HEARING EXAMINER: I think on that exhibit you point
20 out that the GORs were higher but they weren't making enough
21 oil to exceed the gas limit?

22 THE WITNESS: They weren't making enough gas to exceed
23 the gas limit.

24 MR. STOVALL: I don't think I've got any further
25 questions.

1 HEARING EXAMINER: All right, the witness may be
2 excused.

3 Mr. Bruce?

4 MR. BRUCE: I have nothing further in the case, Mr.
5 Examiner.

6 HEARING EXAMINER: Mr. Omar, we'll be glad to hear from
7 you at this time. We'd ask you first to tell us about your
8 qualifications and whether or not you've testified before
9 the OCD before.

10 MR. STOVALL: Perhaps it would help, Mr. Examiner, if
11 you don't have any objection, I can kind of get Mr. Omar
12 started by asking him that.

13 Mr. Bruce, do you have any objections?

14 MR. BRUCE: No, Mr. Stovall.

15 ED OMAR

16 the witness herein, having been first duly sworn to testify,
17 testified as follows:

18 EXAMINATION

19 BY MR. STOVALL:

20 Q. Would you please state your name?

21 A. My name is Ed Omar. I'm an employee of Bravo
22 Operating Company. And for the record, I have testified
23 before -- previously testified before the Oil Conservation
24 Division.

25 Q. As a petroleum engineer?

1 A. As a petroleum engineer. I would like -- if you
2 like, I will discuss -- state my qualifications.

3 HEARING EXAMINER: Go ahead.

4 MR. STOVALL: I think the Examiner -- having testified
5 before and been qualified, we can accept your qualifications
6 as an engineer. So you can proceed with your direct case,
7 whatever you want to present.

8 MR. OMAR: As is stated in that letter, we do operate
9 21 wells in the pool. And my -- our main concern is the
10 fact that the -- that the primary mechanism of the reservoir
11 is the solution gas drive, although it was stated by Mr.
12 O'Rier that they have a gas cap. But I never heard of a gas
13 cap that would produce 250 barrels of oil per day
14 initially.

15 The way it looks to me is that we have a solution
16 gas drive in that reservoir and when the reservoir reached
17 the bubble point, that's when the GOR increased and the gas
18 volume increased. And as the primary mechanism is the
19 solution gas drive, I would think if we produce the pool at
20 high GOR, the oil recovery is going to suffer mainly because
21 the primary mechanism, recovery mechanism, is solution gas
22 drive.

23 And, really, what you're doing, you're initiating
24 gas blow-down of the reservoir. We have had basically the
25 same problem on our well, Albert Number 1, in Section 5.

1 And the way we resolved the problem is by installing a
2 plunger lift, which unloads the liquids, and kept the GOR
3 within reason, within a reasonable rate. And my main
4 objection, as I said, apparently there's a conflict.

5 Sometimes they're calling it a gas cap, sometimes
6 they're calling it an oil reservoir. And you can't have
7 both cases in the same reservoir. If you have a gas cap,
8 then the well should not produce initially at 250 barrels
9 per day and then decline to 70. I think what happened, you
10 have an oil reservoir, and then when the reservoir pressure
11 dropped from 2,300 pounds down to 900 pounds, within that
12 range, you reached the bubble point and the gas proration
13 increased. And based on what I've heard from them, that's
14 really reinforced my interpretation of the pool, that we do
15 have a solution gas drive rather than a gas cap. And either
16 way you look at it, if you deplete the gas cap or the
17 solution gas drive, then you're going to leave unrecoverable
18 oil reserves. And as we are direct offset operators, we
19 feel like we will suffer.

20 I don't have anything else to add.

21 HEARING EXAMINER: Would you like to go ahead through
22 your exhibits and discuss those?

23 MR. OMAR: Exhibit Number 1, which is just the
24 ownership map, highlighted in yellow, the leases we
25 operate. As you can see, we operate 21 wells in the pool.

1 And the red dot marks the McCallister Number 4, Cross
2 Timbers. That's just to show the approximate location of
3 the well relative to our wells.

4 Exhibit Number 2 shows a performance graph of the
5 Albert Number 1, which is one of the direct offset wells.
6 And this is the one I referred to; it had a high GOR, but by
7 the wells flowing -- currently flowing with plunger lift,
8 with the plunger lift. The purpose of the plunger lift is
9 just to unload the oil. In other words, it would help
10 decrease the GOR by lifting more liquid, or oil, in this
11 case.

12 Exhibit Number 3 is Dewey Number 1, which is also
13 one of our wells. And this is just a graph showing the oil
14 production and the gas production, as you can see. The
15 stairstep is the gas production and the interconnected line
16 is the oil production. As you can see, the gas production
17 and the oil production, where the oil production declined
18 sometime during 1983 and the gas production stayed basically
19 the same. We are not talking about GORs here. We're
20 talking about volumes.

21 HEARING EXAMINER: Was that the same on the previous
22 graph, the oil is the -- gas is the stairstep on that?

23 MR. OMAR: Yes, sir, on Exhibit Number 2.

24 Exhibit Number 4 is the Huey Number 1, which is
25 another well we operate. And it's another offset well to

1 Cross Timbers McCallister Number 4, and also exhibited the
2 same production characteristics where the oil production
3 declined and the gas production stayed the same.

4 Exhibit Number 5, which is for the Louie Number
5 2. It's another well operated by Bravo, and also exhibited
6 the same characteristics which the oil declined and the gas
7 rate basically stayed the same or increased, like in the
8 year 1988 and half of 1989. This exhibit, the purpose of
9 those is just to show that what we have is really a solution
10 gas drive, and if you do not control the gas production from
11 the wells, you're going to leave oil reserve that would not
12 be produced during the primary phase of the production. And
13 based on this, we feel like, you know, if the application is
14 granted, it will not be in the interest of conservation, the
15 prevention of waste and the protection of correlative
16 rights, as it will have a direct effect on us, Bravo Energy,
17 and interest owners in the wells.

18 I don't have anything else to state.

19 HEARING EXAMINER: You'd like these admitted into the
20 record?

21 MR. OMAR: Yes, please.

22 MR. STOVALL: Before you do that, Mr. Examiner --

23 Q. (By Mr. Stovall) Who prepared these exhibits?

24 A. I have prepared the exhibits, except for the
25 production performance graph, which was extracted from

1 Dewwhite's Energy, which is public information.

2 HEARING EXAMINER: But you did put it on there?

3 MR. OMAR: Yes, sir.

4 HEARING EXAMINER: Under your supervision?

5 MR. OMAR: Yes, sir.

6 MR. STOVALL: Okay.

7 HEARING EXAMINER: We'll accept these in the case.

8 Mr. Bruce.

9 CROSS-EXAMINATION

10 BY MR. BRUCE:

11 Q. Mr. Omar, do any of the wells that Bravo operates
12 have any allowable problems?

13 A. No, we do not.

14 Q. And looking at Cross Timbers Exhibit 13 -- I
15 realize those figures are from several months ago -- are
16 those the approximate monthly producing rates for those
17 wells, to the best of your knowledge?

18 A. I have a copy of the latest C-115 production
19 report. I can compare the two, if you would like; but I
20 cannot answer without referring back to our C-115.

21 Q. Are many of your wells producing at 15 or 20
22 barrels a day?

23 A. Yes, they are.

24 Q. Like the Albert Number 1?

25 A. The Albert Number 1, yes; but we had GOR problem

1 with it, but we resolved the problem by installing a plunger
2 lift.

3 Q. Was that put on more to maximize oil production
4 than to do away with the GOR problem?

5 A. It resolved both. It increased the oil
6 production also by increasing the gas production. And
7 maintaining the gas production rate, obviously, you keep the
8 GOR lower because the gas-oil ratio is a function of the
9 two.

10 MR. BRUCE: I don't have any further questions. I may
11 put one of my witnesses back on for three or four questions.

12 HEARING EXAMINER: Are any of Bravo's wells completed
13 in this Zone 5 as it was described by Cross Timbers
14 witnesses?

15 MR. OMAR: Well, I cannot really answer that specific
16 question, but they are completed within the Blinebry zone as
17 defined by the commission vertical limits of the pool. But
18 as far as dividing the reservoir into zones, it is -- we
19 have not done that.

20 HEARING EXAMINER: The Zone 5 was at the lower portion
21 of that interval that's described as the Nadine Blinebry?

22 MR. OMAR: Yes.

23 HEARING EXAMINER: Do you have any wells -- are any of
24 your wells completed in the lower portion of that overall
25 interval?

1 MR. OMAR: I believe the Albert Number 1 in Section 5
2 is completed in that zone, but I cannot -- as I said, the --
3 we are within the -- we are producing within the vertical
4 limits of the reservoir as defined by the Oil Conservation
5 Division. But as far as specifically, I cannot answer
6 that.

7 HEARING EXAMINER: Cross Timbers' testimony indicated
8 your previous owner of the wells that you operate now had
9 requested GOR relief at an earlier time. Do you know when
10 that was requested?

11 MR. OMAR: No, I do not know.

12 HEARING EXAMINER: It's in their exhibits.

13 MR. OMAR: Yes, I know what you're talking about.
14 Bravo assumed operations of the well in 1986. And,
15 apparently, from what -- apparently that application for
16 increasing the GOR was done prior to 1986.

17 HEARING EXAMINER: Have you got anything, Bob?

18 Q. (By Mr. Stovall) You've been asked about whether
19 any wells are completed in Zone 5. You heard the testimony
20 from Cross Timbers' witnesses that they believe that these
21 five zones are really separate reservoirs and not related.
22 Did you hear that testimony?

23 A. I heard that, and I don't have any problem with
24 that. But that zone could extend or could -- probably is
25 present in our wells. And if it is not present, I cannot

1 really say that particular zone is present in our wells or
2 not, based on their interpretation.

3 Q. You don't necessarily disagree then that these
4 could be five separate zones within the pool, that there are
5 as -- that could be separate reservoirs and not
6 interconnected or communications?

7 A. I agree with that. But, again, really, our
8 objection is the fact that whether they're separate or not,
9 we're still dealing with solution gas drive reservoirs. And
10 by producing excessive gas is going to have adverse effect
11 on the ultimate recovery of the oil phase. And that is
12 really our objection to it. It is not really whether
13 they're separate or not. Zone 5 is within the vertical
14 limits of the pool as defined by the commission rules.

15 Q. And your concern is then that if Zone 5 were to
16 extend into your wells that they could be withdrawing
17 excessive gas from that?

18 A. Yes, sir.

19 Q. The only other question I've got is their
20 testimony with respect to their Exhibit 13 was that none of
21 the wells -- 13 is the tabulation of wells and monthly rates
22 of production which I think Mr. Bruce asked you about,
23 whether you could compare it or not or verify it. And he
24 stated -- or the Cross Timbers witness stated that only the
25 McCallister Number 4 was capable of overproducing the gas

1 limit because the daily oil rates, even if the GOR was high,
2 the daily oil rates were so low that they could not reach
3 the maximum.

4 Did I understand you to say that, or my
5 interpretation of your discussion with the Albert Number 1
6 correct to say that you believe that that well could, in
7 fact, overproduce if you didn't have the plunge lift on it
8 to pull up the liquids without pulling additional gas?

9 A. That is correct, yes. That is my conclusion.

10 Q. Are there any other wells that are in a similar
11 situation that would be likewise able to -- faced with the
12 problem of producing higher GORs if you didn't do something
13 to keep the GOR down?

14 A. No, not that I'm aware of, no.

15 MR. STOVALL: I have no further questions.

16 HEARING EXAMINER: You may be excused, Mr. Omar.

17 MR. BRUCE: I'd like to, if I could, Mr. Examiner, put
18 Mr. O'Rier back on for a few questions.

19 HEARING EXAMINER: All right, proceed.

20 Q. (By Mr. Bruce) Mr. O'Rier, did you listen to Mr.
21 Omar's testimony?

22 A. Yes, I did.

23 Q. Where he stated there was no gas cap in Zone 5?

24 A. Yes, I heard that.

25 Q. What is your opinion of that?

1 A. Well, we have -- our own production and well
2 records indicate that there is a gas cap in Zone 5.

3 Q. Are these records the offsets to the McCallister
4 Number 4?

5 A. Yes, they are.

6 Q. In your opinion, could the McCallister Number 4
7 perform as it is with only a solution gas drive?

8 A. No, I don't see how it could, personally.

9 Q. Mr. Omar mentioned the plunger lift. In your
10 opinion, is that feasible to put one of those on the
11 McCallister Number 4?

12 A. We have too high of a pressure for a plunger lift
13 to be applicable on this point. And we -- our individual
14 study of the production history of this particular well
15 indicated that when we first -- just to clarify a point, if
16 I may -- that when we first completed the well, we were in
17 what you would call the nole column. It was just after a
18 period of about a month that we began coning -- you might
19 say we were coning gas in from the gas cap in the
20 McCallister 4.

21 The rates are such that if you do a study of
22 solution, if you extrapolate what the solution gas drive
23 mechanism would -- what kind of gas rates you would obtain
24 through solution gas drive mechanism, you could not get the
25 rates that we achieved in the McCallister 4. In actuality,

1 given the pressure that we had, the producing GOR would be
2 somewhere around 1,500 instead of where we're having it,
3 given the pressure draw down.

4 Q. Now, isn't it true that under your request, by
5 maximizing your oil production, you would also be minimizing
6 you GOR, would you not?

7 A. That's correct.

8 Q. And based upon your 568 MCF a day of gas
9 allowable, what would that allowable be per month, gas
10 allowable per month?

11 A. Excuse me?

12 Q. You previously testified that the daily allowable
13 was about 568 MCF a day.

14 A. Correct.

15 Q. And that works out to somewhere around 17 million
16 a month?

17 A. Correct.

18 Q. Did your review of the records show any other
19 wells in the pool that were producing that much gas?

20 A. No, sir.

21 MR. BRUCE: I have nothing further, Mr. Examiner.

22 HEARING EXAMINER: Mr. O'Rier, your belief that there's
23 a gas cap there, do you think that the gas cap was present
24 in your perforated interval in well number 4 at the time you
25 perforated it?

1 THE WITNESS: At the moment it was perforated, I do not
2 believe the gas cap was present.

3 HEARING EXAMINER: Where was the gas cap then?

4 THE WITNESS: If you look at the structure map, we
5 estimate the gas cap was in the -- was probably located at
6 about minus 2670, and we're at 2673. The point being the
7 McCallister 4 happened to be just on the edge of it. It was
8 established through previous testing that the gas cap --
9 that gas -- that a gas cap was present in the McCallister 1,
10 which is the 40-acre location to the west of McCallister
11 Number 4.

12 And it was our hope when we completed the
13 McCallister Number 4 that it would be low enough
14 structurally to avoid producing the gas cap. Unfortunately,
15 and for the same reason, that's why we went to McCallister
16 3, thinking we'd be lower structurally, to avoid producing a
17 gas cap. But, unfortunately, the reservoir is not -- the
18 reservoir is limited to the extent that the oil column with
19 any productive capability to take advantage of any gas cap
20 drive is virtually limited to acreage near our particular
21 well, McCallister Number 4. And that's why we're saying
22 that it's a very limited reservoir in Zone 5 in that in this
23 particular case production from the gas cap will not be
24 harmful to any offset operators, especially since they're
25 not producing out of this particular zone, and since the

1 zone is not well developed in any locations very well very
2 far away from McCallister Number 4.

3 HEARING EXAMINER: On the type log, was there any
4 indication -- there was a log that you ran on that well
5 right on top of the structure. Was it the type of a log
6 that would give you an indication that there was gas in that
7 interval?

8 THE WITNESS: I don't believe that you could tell just
9 from the log.

10 HEARING EXAMINER: Gamma ray neutron?

11 THE WITNESS: This is a neutron density log. We have
12 not been able to use these logs to ascertain whether or not
13 a gas cap is present or not. The only way we've been able
14 to determine that is through production testing.

15 HEARING EXAMINER: How do you explain the -- if you
16 think the high gas production is due to coning, why does it
17 not cone more at the higher rates?

18 THE WITNESS: Cone more?

19 HEARING EXAMINER: Why don't you cone more gas --
20 coning usually is attributable to high rates of production.

21 THE WITNESS: Let me --

22 HEARING EXAMINER: Your higher rates -- at the higher
23 rates you produced as well, you showed relatively less gas
24 coning.

25 THE WITNESS: Let me -- coning is not the appropriate

1 word. Cusping is the appropriate word.

2 HEARING EXAMINER: Define that for me.

3 THE WITNESS: Cusping is where you have a gas cap that
4 is not above you but next to you, and it's close enough --
5 it happened to be close enough to the McCallister 4 -- in
6 other words, the McCallister 4 was just right on the edge of
7 where the gas cap extended and where the oil column began.
8 And it happened to be close enough to where it was
9 unavoidable to -- it was not possible to avoid producing
10 both -- from both the gas cap and the oil column.

11 We've been able to define through production
12 testing at least a relative figure as to where that contact
13 occurs, and we believe it's approximately minus 2670, which,
14 if you look at Exhibit 6, is very close to the McCallister
15 4. And I think that was proven out by the daily production
16 rate plot that was Exhibit 17 in the sense that for a matter
17 of a week you produced at solution gas rates at
18 approximately GOR of around 800.

19 Yet in a very short period of time, you started
20 producing higher rates, which meant as you drew down the
21 reservoir pressure, the gas cap was encroaching upon you.
22 We believe we just happened to have a location that was
23 close enough to the gas cap, yet was close enough to the oil
24 column to where you could produce both at the same time.
25 Unfortunately, we were unable to find another location in a

1 down-dip location that would avoid producing the gas cap.

2 HEARING EXAMINER: Anything further?

3 MR. STOVALL: No.

4 HEARING EXAMINER: All right, you can be excused again.

5 MR. STOVALL: Before we close, Mr. Examiner, I did
6 check -- I did refer to the rule with respect to the notice
7 issue, and Mr. Bruce is correct, regular mail is the
8 required notice for this case.

9 HEARING EXAMINER: I'd ask you for one other thing; if
10 you'd tabulate the gas and oil production from C-115 reports
11 from the time -- how long has it been since you completed
12 the well?

13 MR. O'RIER: 4 of '90, so less than a year.

14 HEARING EXAMINER: Tabulate those for us and send that
15 to us.

16 MR. O'RIER: The volumes?

17 HEARING EXAMINER: The volumes.

18 MR. O'RIER: Monthly volumes?

19 HEARING EXAMINER: Right.

20 MR. STOVALL: Just to keep it a clean record, Mr.
21 Bruce, could you attach an affidavit certifying the accuracy
22 of it, and of course, copying Bravo?

23 MR. BRUCE: Yes, sir.

24 HEARING EXAMINER: You have anything more to say, Mr.
25 Omar?

1 MR. OMAR: No, I don't. To me, it doesn't make any
2 difference whether you have solution gas drive or gas cap,
3 you're depleting the primary energy of the reservoir. If
4 you have a gas cap, you are producing a gas cap. If you
5 produce a gas cap, you are depleting the primary energy, and
6 you're damaging the reservoir. If you have solution gas
7 drive, it's the same way, it doesn't make any difference,
8 the way I see it.

9 HEARING EXAMINER: Mr. Bruce, do you have anything?

10 MR. BRUCE: The final comment is that they're asking
11 two things here: Number one, to increase the GOR. GOR
12 sought by the applicant isn't unusually high for these
13 Blinebry pools; and, as a matter of fact, there are a number
14 of wells and yet a number of pools overall producing at a
15 higher rate than the 10,000 to 1. And applicant thinks he
16 needs a GOR of approximately 10,000 to 1 to really produce
17 this well properly. And, secondly, on the cancellation of
18 the allowable, based on our testimony, we think the
19 reservoir is limited in extent, and we don't think any
20 offset will be harmed by the cancellation of the
21 overproduction.

22 HEARING EXAMINER: If there's nothing further, this
23 case --

24 MR. STOVALL: I think, again, to preserve the record
25 properly, can you get that tabulation within ten days, do

1 you think? Leave the record open for ten days for the
2 submittal of the additional requested information and at
3 that time take it under advisement.

4 HEARING EXAMINER: All right, we'll take this under
5 advisement after ten days.

6 (The foregoing hearing was adjourned at the
7 approximate hour of 12:05 p.m.)

8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

1 STATE OF NEW MEXICO)

2 :
3


4 COUNTY OF SANTA FE)

5 I, FREDA DONICA, RPR, a Certified Court Reporter, DO
6 HEREBY CERTIFY that I stenographically reported these
7 proceedings before the Oil Conservation Division; and that
8 the foregoing is a true, complete and accurate transcript of
9 the proceedings of said hearing as appears from my
10 stenographic notes so taken and transcribed under my
11 personal supervision.

12 I FURTHER CERTIFY that I am not related to nor employed
13 by any of the parties hereto, and have no interest in the
14 outcome hereof.

15 DATED at Santa Fe, New Mexico, this 19th day of
16 February, 1991.

17 
18 Freda Donica
19 Certified Court Reporter
20 CCR No. 417

21 I do hereby certify that the foregoing is
22 a true and correct copy of the proceedings in
23 the hearing held before me of Case No. 10216,
24 held on the 19th day of Feb. 1991.
25 
Examiner
Oil Conservation Division