

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

STATE OF NEW MEXICO  
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT  
OIL CONSERVATION DIVISION  
IN THE MATTER OF THE HEARING )  
CALLED BY THE OIL CONSERVATION )  
DIVISION FOR THE PURPOSE OF )  
CONSIDERING: )  
APPLICATION OF CONOCO INC. ) CASE NO. 10220  
\_\_\_\_\_ )

REPORTER'S TRANSCRIPT OF PROCEEDINGS

EXAMINER HEARING

BEFORE: JAMES MORROW, Hearing Examiner  
January 24, 1991

Santa Fe, New Mexico

This matter came on for hearing before the Oil Conservation Division on January 24, 1991, at 8:19 a.m. at Oil Conservation Division Conference Room, State Land Office Building, 310 Old Santa Fe Trail, Santa Fe, New Mexico, before Freda Donica, RPR, Certified Court Reporter No. 417, for the State of New Mexico.

FOR: OIL CONSERVATION DIVISION BY: FREDA DONICA, RPR  
Certified Court Reporter  
CCR No. 417

(ORIGINAL)

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

I N D E X

January 24, 1991  
Examiner Hearing  
CASE NO. 10220

PAGE

APPEARANCES

3

CONOCO INC. WITNESSES:

JERRY HOOVER

Direct Examination by Mr. Kellahin

5

JOHN McCAFFERTY

Direct Examination by Mr. Kellahin

18

REPORTER'S CERTIFICATE

46

\* \* \*

E X H I B I T S

Applicant's 1  
Applicant's 1-A  
Applicant's 1-B  
Applicant's 2  
Applicant's 3-B  
Applicant's 3-C - 3-H  
Applicant's 4  
Applicant's 5  
Applicant's 7  
Applicant's 8  
Applicant's 9  
Applicant's 10  
Applicant's 11  
Applicant's 12  
Applicant's 13-A - 23  
Applicant's 24  
Applicant's 25

ID	ADMTD
6	14
7	14
10	14
12	14
13	14
14	14
19	38
24	38
26	38
27	38
28	38
30	38
31	38
32	38
33	38
39	39
38	39

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

A P P E A R A N C E S

FOR THE DIVISION:            ROBERT G. STOVALL, ESQ.  
   General Counsel  
   Oil Conservation Commission  
   State Land Office Building  
   310 Old Santa Fe Trail  
   Santa Fe, New Mexico 87501

FOR THE APPLICANT:            KELLAHIN, KELLAHIN & AUBREY  
   117 N. Guadalupe  
   Santa Fe, New Mexico  
BY:    W. THOMAS KELLAHIN

1 HEARING EXAMINER: Call case 10220.

2 MR. STOVALL: Application of Conoco Inc. to amend  
3 division order number R-6906 by expanding, contracting and  
4 redesignating the Conoco-Southland Blinebry Cooperative  
5 Waterflood Project, extend the vertical limits and to  
6 include additional injection wells into said project, Lea  
7 County, New Mexico.

8 MR. KELLAHIN: Mr. Examiner, I'm Tom Kellahin of the  
9 Santa Fe law firm of Kellahin, Kellahin & Aubrey appearing  
10 on behalf of the applicant, and I have two engineering  
11 witnesses to be sworn.

12 HEARING EXAMINER: Will the witnesses stand and be  
13 sworn?

14 (Witnesses sworn.)

15 HEARING EXAMINER: Go ahead, Tom.

16 MR. KELLAHIN: We are seeking in this particular case  
17 the expansion of a pilot waterflood project that initially  
18 determined the feasibility of the Blinebry and Tubb to be  
19 flooded for enhanced secondary oil recovery. That project  
20 has been successful, and so we're seeking your approval to  
21 expand the existing project to include the approval of  
22 additional injectors, to modify the vertical limits of the  
23 pools affected within the project area and the appropriate  
24 nomenclature changes with regards to the affected pools.

25 The case you have before you docketed many of the

1 aspects of the presentation. At the time we filed this  
2 case, we concurrently filed a request for the creation of a  
3 new pool specifically allocated to the boundaries of the  
4 project with the corresponding adjustments in adjacent  
5 pools. Mr. Stogner, in preparing the advertisement for that  
6 case, brought to our attention the need for further  
7 amendments to our request and, therefore, we were unable to  
8 appear on the docket today with the pool creation case. It  
9 is now scheduled for the February 21st docket.

10 In order to hopefully avoid the necessity of  
11 presenting this case twice, with your indulgence, I'll have  
12 the engineering witnesses also describe what, in their  
13 opinion, is the justification for the pool changes so that  
14 in the absence of opposition on the 21st of February we  
15 might ask you to incorporate this record for purposes of  
16 deciding that subsequent case.

17 With that explanation, I'd like to introduce to  
18 you Mr. Jerry Hoover. Mr. Hoover is an engineer and the  
19 regulatory coordinator for his company who will make the  
20 first presentation concerning the project.

21 JERRY HOOVER

22 the witness herein, having been sworn to testify the truth,  
23 the whole truth, and nothing but the truth, testified as  
24 follows:

25 DIRECT EXAMINATION

1 BY MR. KELLAHIN:

2 Q. Mr. Hoover, for the record, would you please  
3 state your name and occupation?

4 A. I'm Jerry Hoover. My position is regulatory  
5 coordinator with Conoco in the Midland, Texas, office.

6 Q. On prior occasions have you testified before the  
7 division as a petroleum engineer?

8 A. Yes, I have.

9 Q. As part of your experience with Conoco were you  
10 involved in any of the exploration and development of the  
11 Warren project?

12 A. Yes, I was.

13 Q. And currently have you made yourself familiar and  
14 knowledgeable concerning the various details and engineering  
15 aspects of the application that Conoco seeks to have  
16 approved?

17 A. I have.

18 MR. KELLAHIN: We tender Mr. Hoover as an expert  
19 petroleum engineer.

20 HEARING EXAMINER: I'll accept him as such.

21 Q. (By Mr. Kellahin) Mr. Hoover, let me direct your  
22 attention, sir, to what has been marked as Exhibit Number  
23 1. Before we talk about the specific details, take a moment  
24 and identify the display and help us understand how to read  
25 it.

1           A.     Yes.  If you'll notice, in the central part of  
2 this map there is a bold, dotted black line.  This outlines  
3 the Warren Unit which Conoco operates.  And all of the  
4 operations and expansion that we're talking about is within  
5 that unit.  In the lower part of that unit, the dark blue  
6 solid line, outlines the current Blinebry waterflood pilot  
7 area.  The dashed blue line outlines the proposed expansion  
8 of that waterflood.

9                     Below our Warren Unit you'll see the area  
10 outlined by the yellow-orange line.  That is Shell's  
11 northeast Drinkard Unit, which offsets us.  Then the red  
12 curved line outlines the one-half mile radius of review for  
13 this project, the larger aqua, lighter blue line is the two  
14 mile radius.  If you'll look carefully in Section 34, kind  
15 of central -- lower central part of the map, you'll see a  
16 small red circle.  If you'll look up to your right, up in  
17 Section 24, you'll find another red circle.  Those are the  
18 locations of the only two active fresh water wells which we  
19 found in this area.

20           Q.     Before we talk about the project itself and what  
21 you're seeking to accomplish, I think it might be useful,  
22 Mr. Hoover, if you identified for us what is marked as  
23 Exhibit 1-A.

24           A.     Exhibit 1-A is a map of the Warren Unit area,  
25 specifically.  You'll notice three colored outlines.  The

1 red outline is the current boundary of the Blinebry oil and  
2 gas pool in this area. The green outline is the Warren-Tubb  
3 gas pool outline, and the pink line outlines our proposed  
4 project area for which we'd like to create the new comingled  
5 pool.

6 Q. Using the two displays for illustration purposes,  
7 describe for us the type of reservoir involved, and give us  
8 a general idea of the plan of operation for an effort to  
9 successfully flood the expansion area.

10 A. Yes. Looking at -- yes, you're looking at 1-A.  
11 Let me give you just a very quick synopsis of the  
12 development of this area, looking at the 1-A map, the small  
13 one.

14 Section 28 was the original development area.  
15 Several original wells were drilled, oh, probably about  
16 between 20 and 30 years ago. And they were all -- came in  
17 as gas wells. And so development ceased in that area,  
18 assuming that this was strictly a gas pool in the  
19 Warren-Tubb. And, therefore, the Warren-Tubb gas pool was  
20 established. But in the mid-70s, all these wells you see  
21 over in Sections 27 and 26 and extending down into 34 were  
22 drilled. We discovered that although there was a small gas  
23 cap over the Section 28, that the remainder of this area in  
24 the Tubb formation was not gas. They were oil wells. We do  
25 not have a gas cap over Sections 26, 27 or 34 in the Tubb,

1       only up in Section 28. That's the way the development  
2       began. And even though the Warren-Tubb pool is still called  
3       the Warren-Tubb gas pool, by far the majority of these wells  
4       are not gas wells.

5           Q.       When we look at the vertical intervals to be  
6       included within the flood project, we're dealing with a  
7       Blinebry interval, and below that we have a Tubb interval.  
8       Would you describe within the original project area what is  
9       the relationship between those two formations?

10          A.       Initially, these wells were dualed and produced  
11       from the Tubb in Blinebry. But at this point, the field is  
12       fairly mature and all but four of the wells in the proposed  
13       project area have been down-hole comingled and produced with  
14       the Tubb and the Blinebry together.

15          Q.       Compare and contrast your particular project to  
16       the Shell operation that's shown on Exhibit Number 1,  
17       outlined partially in the orange line. The Examiner may  
18       recall that's a statutory unit in which there was a  
19       component that dealt with the Blinebry production and  
20       additional provisions to deal with the Tubb zone. Summarize  
21       for us the differences and the similarities, if any, between  
22       the two project areas.

23          A.       The Northeast Drinkard Unit in the Tubb formation  
24       is in a different pool. That is, the main Tubb pool bears  
25       only the name Tubb Oil and Gas Pool up in the Warren Unit.

1 There's a break between these pools in the Warren Unit. We  
2 have established a much smaller pool called the Warren-Tubb  
3 Pool. We did not feel like we've got the same type of pool  
4 at all up in the Warren Unit. Down in the Northeast  
5 Drinkard Unit, there was a somewhat continuous though  
6 perhaps thin gas cap showing up pretty much throughout that  
7 area. But up in our Warren Unit, that's not the case. We  
8 have the one gas cap over in Section 28; the remainder of  
9 the area is strictly oil production.

10 Q. Let me direct your attention now to Exhibit  
11 Number 1-B. Identify and describe that exhibit for us, Mr.  
12 Hoover.

13 A. 1-B is an application for creation of a new pool  
14 for the project area which you see outlined in pink on 1-A.  
15 You might want to keep 1-A handy; we're going to refer to  
16 that since it identifies the areas we'll be discussing. But  
17 the pink outlined area is the project area. And this  
18 application was to create a Warren Blinebry dash -- pardon  
19 me, a Warren Blinebry dash Tubb pool. The first part of  
20 this application gives the description, the aerial  
21 description, of this new area.

22 Q. That area will correspond to the boundaries of  
23 the pilot project in the expansion area?

24 A. That is correct.

25 Q. Vertically then, what was your request in the

1 pool creation case?

2 A. Vertically, our request was to include the entire  
3 Blinebry and Tubb Pool vertical sections in the new pool.

4 Q. Do you anticipate having any difficulty with  
5 regards to the Tubb zone and the potential for having wells  
6 classified as gas wells within the project area and the  
7 unitized interval?

8 A. No, we do not.

9 Q. If the division creates this new pool for you,  
10 how do you propose to handle that in terms of adjustments in  
11 the nomenclatures for the various pools?

12 A. We would suggest that the areas underlying the  
13 proposed new pool which are currently in the Blinebry Oil  
14 and Gas Pool and which are currently in the Warren-Tubb Gas  
15 Pool be deleted from the current pools.

16 Q. Have you coordinated with the Hobbs office of the  
17 Oil Conservation Division in order to determine whether or  
18 not the suggested changes and modifications in the pool  
19 rules and the acreage dedicated to those pools meets their  
20 approval?

21 A. Yes, we have.

22 Q. And that is the language contained on the second  
23 page of the application, starting on the bottom of page one  
24 and continuing to the second page?

25 A. That's correct.

1           Q.     Do you see any necessity for the Examiner to  
2 create any special rules with regards to a gas-oil ratio or  
3 a limiting GOR, or any type of allowable restrictions for  
4 the new pool?

5           A.     Since this is a secondary project, we do not see  
6 the need for an allowable and, therefore, no particular need  
7 for a limiting gas-oil ratio.

8           Q.     Sir, let me have you turn your attention now to  
9 what is marked as Exhibit Number 2. Identify and describe  
10 that for us.

11          A.     Exhibit 2 is a copy of the original order which  
12 was issued for our Blinebry Waterflood Project. That was  
13 order number R-6906. This was originally established as a  
14 cooperative flood between Conoco and Southland Royalty.

15          Q.     Have you taken action, Mr. Hoover, to have any  
16 offsetting operators notified with regards to your  
17 applications?

18          A.     Yes, we have.

19          Q.     What did you do to compile a list of the offset  
20 operators?

21          A.     We prepared on the Exhibit 1 from our land maps a  
22 notation of the operators, offset operators, within a half  
23 mile radius. Then we searched through oil and gas producing  
24 directories that we had, looking for addresses of these  
25 parties. And we subsequently then sent them a copy of the

1 application by certified mail.

2 Q. Is that information shown on Exhibit 3-A?

3 A. Yes. Number 3-A is the mailing list for those to  
4 whom we sent applications by certified mail. There are two  
5 exceptions noted on that list. You'll notice at the bottom  
6 of the operators' list Stevens & Tull and Vista Verde, we  
7 did not find addresses for.

8 Q. After preparing the initial mailing, did you  
9 discover that there were any additional offsetting operators  
10 to whom you desired to give notice?

11 A. Yes. We discovered that we had inadvertently  
12 missed Elk Oil. And we contacted them, faxed them the  
13 application, and they have sent us a waiver which you should  
14 have received a copy of also.

15 Q. And that waiver from Elk Oil is identified as  
16 3-C?

17 A. That is correct.

18 Q. What is Exhibit 3-B?

19 A. Exhibit 3-B is a copy of the returned certified  
20 mail cards.

21 Q. Now, how did you handle the preparation of the  
22 notices for the surface ownership?

23 A. We gave them the same notice. They were listed  
24 at the bottom of the list on 3-A. They were all given  
25 certified mail notice also, and they're included in the

1 green card copies, 3-B.

2 Q. To your knowledge, are these the owners of the  
3 surface at each of the injector locations that you propose  
4 to add to the project?

5 A. That's correct.

6 Q. With regards to any of these potential parties,  
7 have you received any notice, objection or complaint from  
8 any of them?

9 A. No, we have not.

10 Q. And, in fact, you've received a substantial  
11 number of the waivers?

12 A. Several, yes.

13 Q. And those are shown as attachments to Exhibit 3?

14 A. That's correct.

15 Q. And it runs from Exhibit 3-C all the way through  
16 3-H?

17 A. H.

18 Q. Anything further with regards to your testimony,  
19 Mr. Hoover?

20 A. No, sir, I believe that covers it.

21 MR. KELLAHIN: At this time, Mr. Examiner, we move the  
22 introduction of Exhibits 1 through 3.

23 HEARING EXAMINER: Exhibits 1 through 3 are accepted  
24 into evidence.

25 MR. KELLAHIN: That concludes my examination of Mr.

1 Hoover. I've got another witness. If you don't have any  
2 questions for Mr. Hoover, I'll call the next witness.

3 HEARING EXAMINER: What information do you have on the  
4 fresh water wells?

5 THE WITNESS: We have specific information that we  
6 received from the state engineer's office in Roswell. The  
7 next witness will present you with some exhibits on that.

8 HEARING EXAMINER: All right. The well in the southwest  
9 corner of Section 26 looks like it's identified as a gas  
10 well. What about that well?

11 THE WITNESS: Southwest corner?

12 MR. KELLAHIN: 27, I think it is.

13 HEARING EXAMINER: 27.

14 MR. KELLAHIN: It's well number 26.

15 THE WITNESS: That well is a gas well in the  
16 Blinebry --

17 MR. McCAFFERTY: It was a triple Blinebry Tubb  
18 Drinkard.

19 THE WITNESS: We do not plan any injection into that  
20 well.

21 HEARING EXAMINER: Is it open to production now?

22 MR. KELLAHIN: If it's all right with the Examiner,  
23 I'll have Mr. McCafferty testify with regards to the  
24 specifics of the individual wells.

25 HEARING EXAMINER: What more do you plan to present on

1 the nomenclature request on February the 21st?

2 THE WITNESS: I believe that all of it is included in  
3 this application, unless you have further questions about  
4 it.

5 HEARING EXAMINER: I believe, Tom, you indicated that  
6 you did. What did you say about the --

7 MR. KELLAHIN: After the conclusion of the presentation  
8 today, Mr. Examiner, with these two witnesses, we believe we  
9 will have sufficiently given you substantial evidence not  
10 only on this application but on the application for February  
11 21st so that when that hearing examiner has that case to  
12 deal with, he can look at this record and these exhibits and  
13 make the necessary changes in nomenclature. The technical  
14 justification for the change will be presented by Mr.  
15 McCafferty.

16 HEARING EXAMINER: All right. The Blinebry Pool, it --  
17 I guess the question I have: Does it include all that you  
18 plan to expand into and more to the south? Is that the  
19 Blinebry?

20 THE WITNESS: Yes. This is only the small upper end of  
21 it. It includes all except up in Section 22, the south half  
22 of the southwest quarter, is not currently in the Blinebry.

23 HEARING EXAMINER: And there's no completions there at  
24 this time?

25 THE WITNESS: Not at this point.

1 HEARING EXAMINER: So the Blinebry, that's where your  
2 flood has been to date; is that correct?

3 THE WITNESS: That's correct.

4 HEARING EXAMINER: And what you're proposing to do  
5 today is include some Tubb in that waterflood.

6 THE WITNESS: That's correct.

7 HEARING EXAMINER: As well as to expand the area.

8 THE WITNESS: The next witness will show you some  
9 detailed information on that.

10 HEARING EXAMINER: Has there been any injection into  
11 the Tubb at this point?

12 THE WITNESS: Not to this point.

13 HEARING EXAMINER: There has been -- I believe you  
14 indicated there are some Tubb completions that are open to  
15 production.

16 THE WITNESS: Yes.

17 HEARING EXAMINER: On the -- what did you say about the  
18 limiting GOR? I believe you said there was no need for a  
19 limiting GOR.

20 THE WITNESS: Since it was a secondary recovery  
21 project, we don't anticipate a specific oil allowable. Our  
22 assumption is that we would not need a limiting GOR. There  
23 would be nothing to apply it to.

24 HEARING EXAMINER: You indicated leaving it at 2,001 or  
25 just leave it off?

1 THE WITNESS: I would just leave it off. You can't  
2 create a volume because you don't have an oil allowable to  
3 apply it to.

4 HEARING EXAMINER: That's all the questions I have.

5 MR. STOVALL: No questions.

6 JOHN McCafferty

7 the witness herein, having been sworn to testify the truth,  
8 the whole truth, and nothing but the truth, testified as  
9 follows:

10 DIRECT EXAMINATION

11 BY MR. KELLAHIN:

12 Q. Would you please state your name and occupation?

13 A. My name is John McCafferty. I'm a senior  
14 production engineer with Conoco in the Midland division.

15 Q. Mr. McCafferty, on prior occasions have you  
16 testified before the division?

17 A. No, I have not.

18 Q. Would you take a moment and summarize your  
19 educational background for the Examiner?

20 A. I've got a mechanical engineering degree from Cal  
21 State Northridge, and I received my degree in 1985. I've  
22 been with Conoco for 18 years.

23 Q. Summarize your employment experience with  
24 Conoco. What have you done?

25 A. I began my employment with Conoco as a

1 roustabout, and within two years I became an engineering  
2 technician. And during the period while I worked on my  
3 degree, I worked in the engineering office monitoring  
4 waterfloods and other production operations. Within the  
5 last five years I've been involved with waterflooding.

6 Q. Have you familiarized yourself of the North  
7 Blinebry Waterflood Project, this Warren Unit?

8 A. Yes, I have.

9 Q. Are you knowledgeable about the Tubb and the  
10 Blinebry formations in this specific area?

11 A. Yes, I am.

12 MR. KELLAHIN: We tender Mr. McCafferty as an expert  
13 engineering witness.

14 HEARING EXAMINER: He has been so qualified.

15 Q. (By Mr. Kellahin) Let me have you start your  
16 presentation, Mr. McCafferty, by referring to Exhibit Number  
17 4. Identify the display for us.

18 A. Exhibit Number 4 is a Blinebry marker structure  
19 map. Contour intervals are on 25 foot. The area  
20 highlighted in red is Conoco's Warren Unit. The areas  
21 highlighted in yellow are the proposed waterflood expansion  
22 area.

23 Q. It might be helpful to look at Exhibit Number 4  
24 in relation to Exhibit Number 1. I'll put one in front of  
25 you, Mr. McCafferty, Exhibit Number 1. What's the purpose

1 for you as an engineer to examine and understand the  
2 Blinebry structure in this particular area?

3 A. Okay. From a waterflooding standpoint, the  
4 Blinebry structure, the pilot area was located in Sections  
5 33 and 34. And the expansion area will be located on a  
6 similar area of the structure in Sections 26 and 27. To the  
7 northwest in Section 28, as Jerry Hoover pointed out, was  
8 the gas cap area for the Blinebry and Tubb, Blinebry Zones  
9 1, 2 and 3, and the Tubb zone. So we are skirting that gas  
10 cap area with our waterflooding.

11 Q. Do you see a structural justification or an  
12 explanation to the fact that you're not anticipating gas  
13 wells in the Blinebry within the project area?

14 A. The production to date has not -- as a mature,  
15 primary production, we have not seen a significant amount of  
16 gas wells or gas production in these sections.

17 Q. With regards to the Blinebry production then,  
18 have you satisfied yourself as an engineer that you're not  
19 going to have a gas component to the Blinebry that's going  
20 to create some complexity to the flood?

21 A. No.

22 Q. Describe for us the gas wells that, in fact, are  
23 shown on 27. I believe there are two of them identified --  
24 three of them identified in Section 27 by gas well symbols.  
25 Describe to us why, in your opinion, those are not a problem

1 for your waterflood in the Blinebry.

2 A. The gas production from those wells has depleted  
3 to the point that they're approximately 100 MCF, without  
4 looking at specific production data; but they're down in a  
5 low range where we feel that it's mature enough and depleted  
6 enough to where it will not affect our flood.

7 HEARING EXAMINER: That's the wells in Section 28?

8 MR. KELLAHIN: 27.

9 THE WITNESS: 26 and 27. In Section 28 we -- those are  
10 still gas production.

11 Q. (By Mr. Kellahin) But they'll be excluded from  
12 the --

13 A. Yes, they are excluded from the flood area.

14 Q. So when we complete the expansion, we're looking  
15 at that area shaded in yellow on Exhibit Number 4.

16 A. Correct.

17 Q. And the structural position then within the unit  
18 area is such that you do not anticipate having gas wells in  
19 primary producing status in Section 34 or Section 33?

20 A. That is correct.

21 Q. Let's turn to what you have analyzed with regards  
22 to the Tubb structure. Now, the Tubb will be below the  
23 Blinebry, will it not?

24 A. That is correct.

25 Q. What's the approximate vertical difference

1 between the two?

2 A. The pipe log -- there is a pipe log that is  
3 attached as Exhibit Number 25. And if you'll refer to  
4 Exhibit Number 25, the top of the Blinebry is located at a  
5 subsea depth of minus 2307. The Blinebry marker is at  
6 5940. The top of the Tubb is located at a subsea depth of  
7 minus 2879, and the bottom of the Tubb would be the top of  
8 the Drinkard at minus 3183. We will be waterflooding the  
9 interval from the top of the Blinebry at minus 2307 to the  
10 top of the Drinkard, which would be minus 3183.

11 Q. Describe for us the significance then of the Tubb  
12 structure in determining the feasibility of the waterflood  
13 insofar as it would affect the Tubb formation.

14 A. Okay. The Tubb structure is Exhibit Number 4,  
15 and it's basically a reflection of the Blinebry structure.  
16 The current production, the Exhibit Number 4, again  
17 highlights the Warren Unit in red and highlights the  
18 proposed waterflood expansion area in yellow.

19 Q. We're comparing 4 to Exhibit 5. You're  
20 discussing on Exhibit 5 then the Tubb structure?

21 A. Correct.

22 Q. Okay. Make your comparison for us with regard to  
23 the significance of the Tubb.

24 A. The Tubb development, as Jerry pointed out --  
25 Jerry Hoover pointed out -- began in Section 28, and then

1 approximately ten years later, in the mid-'70s, we began  
2 developing Sections 26 and 27 and a few wells into 33 and  
3 34. Conoco did not develop further into Sections 33 and 34  
4 because of some testing that they had done in those section  
5 line wells that indicated the Tubb may not be commercial  
6 down in those sections. So we limited our Tubb development  
7 to Sections 26 and 27, primarily. We do plan on testing on  
8 this project further Tubb potential in Sections 33 and 34.

9 Q. While you're on that point, describe for the  
10 Examiner the operational practice that you'll utilize in  
11 those areas where you're going to penetrate the Tubb with  
12 the well and it's not previously been penetrated.

13 A. Okay. The new wells that we will drill in  
14 Sections 33 and 34 to explore and possibly develop the Tubb  
15 in those two sections, the Tubb zone will be tested  
16 independently. We'll obtain bottom hole pressure data and  
17 reservoir fluid quality and determine whether or not they  
18 are compatible for down hole comingling and flooding with  
19 the Blinebry.

20 The two zones in Sections 26 and 27, the Blinebry  
21 and Tubb zones in those sections have been down hole  
22 comingled for approximately five years now. The reservoir  
23 quality of the two zones, the porosity, both zones run about  
24 eight percent, and the permeability runs between  
25 four-and-a-half to five millidarcies. So the zones are very

1 similar -- they're both dolomite -- and we feel that the  
2 waterflooding of those two zones, they would be very  
3 compatible for waterflooding.

4 Q. If the Examiner desires a visual reference with  
5 regards to which wells penetrated both the Blinebry and  
6 Tubb, can he do that by making a comparison between Exhibits  
7 4 and 5 and looking at which wells extend into the Tubb and  
8 which, in fact, stop at the Blinebry?

9 A. That is correct. And also Exhibit 6 will be  
10 cross-section A-A prime, which will be a typical  
11 cross-section through the pilot area and the expansion area.

12 Q. And you've shown the line of cross-section on  
13 both Exhibits 4 and 5?

14 A. That is correct.

15 Q. Why did you pick that particular orientation for  
16 the cross-section?

17 A. That particular orientation was selected to  
18 intersect the existing pilot as well as the proposed  
19 expansion area.

20 Q. In your opinion, does that give you a typical  
21 example of the characteristics for both the Tubb and the  
22 Blinebry?

23 A. Yes, it does.

24 Q. Let's turn to that cross-section and have you  
25 describe that for us.

1           A.     Exhibit 6 is a cross-section from the southwest  
2 to the northeast. The wells, Warren Unit 16, 17 and 20,  
3 show the existing flood depth into the Blinebry. That's an  
4 existing pilot area. 34, 31, 42, 54 and 53 extend up  
5 through the expansion area.

6           Q.     What's the significance of the different shadings  
7 of the zones?

8           A.     Conoco identifies different layers in the  
9 Blinebry zone as porosity streaks that we have found to be  
10 commercial. We label them Blinebry 1 through 5. The Tubb  
11 zone is not shaded on this cross-section.

12          Q.     So on the cross-section where we see on the  
13 right-hand margin of each log the reference "Tubb Marker,"  
14 that represents the top of the Tubb?

15          A.     That is correct.

16          Q.     And you found the Tubb present in those wells  
17 shown on the cross-section starting with well 34, moving on  
18 to the right of the display?

19          A.     That is correct. The wells in the pilot area,  
20 again, we have not penetrated the Tubb in those sections, in  
21 the lower part of those sections.

22          Q.     Contrast this project for Conoco, Mr. McCafferty,  
23 to what has been the Shell operation to the south. They're  
24 dealing also with a Blinebry and a Tubb. How are they  
25 dissimilar?

1           A.     Well, the Shell properties to the south, they're  
2 waterflooding actually three zones, the Blinebry, Tubb and  
3 Drinkard. And we plan on isolating our flood to the  
4 Blinebry and Tubb only. We also plan on using control  
5 measures to isolate injection into the Tubb and the Blinebry  
6 separately.

7           Q.     Do you see any need for concern with regards to  
8 any gas cap forming in either the Tubb or the Blinebry in  
9 your project area?

10          A.     No, I don't see that.

11          Q.     Shell, for a number of years, had specific  
12 detailed rules that dealt with their gas wells being  
13 produced within the unitized interval in Shell's operation,  
14 did they not?

15          A.     Yes, they did.

16          Q.     You don't see that problem being an issue in your  
17 project area, do you?

18          A.     No, not from the experience we've had with the  
19 primary production on these wells. Again, we feel the gas  
20 cap is off to the west in Section 28 on a structure high,  
21 and we feel that the primary production has indicated that  
22 we're to the point where we should not have a problem with  
23 gas production.

24          Q.     Let's turn now to Exhibit Number 7. Identify and  
25 describe that display for us.

1           A.     Okay. Exhibit Number 7 again outlines the Warren  
2 Unit in black bold dots, dashes. The existing pilot area,  
3 the north Blinebry waterflood pilot, is in the solid blue in  
4 Sections 33 and 34. The expansion, or proposed expansion,  
5 area is in the dotted blue lines. The existing -- or the  
6 proposed waterflood patterns would be in the dashed red  
7 lines. The proposed injection conversion wells would be the  
8 dashed triangles, and the existing waterflood patterns would  
9 be in the solid red lines.

10           Q.     Identify for us on Exhibit Number 7 those  
11 producing wells in the pilot area that you utilized in  
12 making your engineering analysis on the success of the pilot  
13 project area.

14           A.     Okay. As can be seen from the blue line around  
15 the existing pilot area, the wells on the peripheral of the  
16 pilot were not really exposed to water injection. We have  
17 several wells, 93, 91, 84, 21, 34, that are on the  
18 peripheral that did not have the benefit of water  
19 injection. The analysis for the waterflood were done on the  
20 full pattern wells, which were 12, 15 and 18, and then the  
21 three-quarter pattern wells, which were 19, 38 and 76.

22           Q.     Let's turn now to Exhibit Number 8, Mr.  
23 McCafferty, and describe for us your conclusions with  
24 regards to your study of the performance of the pilot  
25 project area.

1           A.     Okay. Exhibit Number 8 is a summary through  
2 August of 1990. It's a tabular presentation on the  
3 performance of the waterflood. And the reserves in the  
4 bottom right-hand section of that table, the reserves for  
5 the original oil in place, we estimated to be about six  
6 million barrels. Primary production to the flood start was  
7 15.5 percent. The current primary and secondary recovery to  
8 date or through August of 1990 was 18.45 percent. And our  
9 EUR, estimated ultimate recovery, we predict to be 25  
10 percent, based on a decline analysis.

11           Q.     Separate out for us what percentage is directly  
12 attributable to the secondary recovery by waterflooding.

13           A.     The secondary reserves recovery through this  
14 project to date are 169 MBO, or 2.8 percent.

15           Q.     How does that compare, in your opinion, to the  
16 flooding of similar type formations in other areas?

17           A.     I believe that this is a commercial waterflood  
18 application. I believe that these are reasonable reserves  
19 to recover from a waterflood.

20           Q.     Based upon those conclusions and the analysis of  
21 the success of the pilot project, have you recommended to  
22 your company and to this Examiner the expansion of the  
23 project area?

24           A.     Yes, we have.

25           Q.     Let me have you turn to Exhibit Number 9.

1 Identify that display for us?

2 A. Exhibit Number 9 is a summary of the pilot area  
3 performance. And this exhibit illustrates each one of the  
4 producers in the pilot area, the identified pilot area. If  
5 you'll note, as I've stated earlier, the peripheral wells,  
6 21, 34, 84, 91 and 93, all have not shown response to the  
7 waterflood. The different color-coded bars, the red bar  
8 indicates the years to first response. And, again, there  
9 was no response in those five wells just mentioned.

10 Q. And the absence of response is directly  
11 attributable to what fact?

12 A. Waterflood injection.

13 Q. The absence of effective waterflood patterns  
14 surrounding those wells?

15 A. Exactly.

16 Q. For those wells that were subject to effective  
17 waterflood and had adequate patterns around them, what  
18 response did you see?

19 A. We saw an average of two years deferred response.

20 Q. In terms of the increase or magnitude of increase  
21 between the initial response and the peak response, you see  
22 an increase of what?

23 A. The green bar indicates the peak production  
24 versus the initial production at flood start for the  
25 waterflood bump. The green bar, the average for the wells

1 that responded was 4.66 years.

2 Q. Have you analyzed the success of the pilot  
3 project in any other ways, Mr. McCafferty?

4 A. Basically, we've gone through a fairly detailed  
5 study of it, and these are the summaries of that study.

6 Q. Let's turn to Exhibit Number 10 and have you  
7 describe for us your analysis of the success of the project  
8 with regards to a decline display, if you will.

9 A. Okay. Exhibit Number 10 is the waterflood  
10 production from the decline analysis from the six responding  
11 wells. The primary decline was established to be 9.33  
12 percent. We had infill drilling in the mid-'70s. And the  
13 waterflood began in January of 1983, the waterflood pilot.

14 By extrapolating the primary decline from that  
15 point, we were able to establish the remaining primary  
16 reserves for the flood area. The flood response, again,  
17 approximately two years to first response, four years to the  
18 peak. And as you'll notice from this decline curve, this  
19 pilot area still has not achieved its waterflood peak. It's  
20 still on a slight incline. And for the reserve  
21 extrapolations we used a 20 percent decline, which is  
22 typical for waterflooding in this area.

23 Q. Based upon the extrapolation on a 20 percent  
24 decline, have you forecasted the recoveries for a secondary  
25 waterflood project in the expansion area?

1           A.     Yes, we have.

2           Q.     How is that displayed? Is that Exhibit Number  
3     11?

4           A.     Yeah. Exhibit 11 shows three curves. The lower  
5     curve, the black curve with the stars, is assuming a base  
6     case if we let the existing waterflood pilot go until the  
7     year 2000 when it becomes uneconomic, and also the existing  
8     production in Sections 26 and 27 go until their economic  
9     limit. And the total reserves for that would be the -- the  
10    economic limit would be reached in 2010.

11                   The blue curve on that line with the squares  
12    indicates some remedial work that we plan on performing on  
13    our producing wells. And we'd pick up an incremental  
14    primary production from that, the cleanout and stimulation  
15    work. However, the cost of the cleanup and stimulation  
16    would not be economic without the secondary reserves to help  
17    support the costs.

18                   The green curve with the diamonds indicates the  
19    waterflood response in the total expanding project. And we  
20    modeled it after the existing pilot. We used two years to  
21    first response, four years to peak. Then we held the  
22    production flat for four years and assumed a 20 percent  
23    decline beyond that point. We felt that was a conservative  
24    estimate, based on the actual performance of the pilot to  
25    date.

1 Q. Based upon your engineering studies, have you  
2 prepared a summary of the reserves for the pilot as well as  
3 the anticipated recoverable reserves for the expansion area?

4 A. Yes, we have.

5 Q. That's Exhibit 12?

6 A. That would be Exhibit 12. And Exhibit 12  
7 tabulates the reserves. The column to the left is a base  
8 case. It gives the reserves for the pilot area and the  
9 expansion area. The second column is if we implement and  
10 upgrade and expand, and implementing the waterflood  
11 upgrading and expanding the project. It gives the total  
12 reserves that we would achieve if we were to complete the  
13 project.

14 The last column to the right is the incremental  
15 reserves for the project. The lower two tables on this page  
16 are a breakdown of those incremental reserves. On the left  
17 side is the allocation of the incremental reserves for the  
18 pilot area, and the right side would be for the expansion  
19 area. We show some drilling wells, stimulations and  
20 conversions.

21 Q. If the Examiner desires to have your estimated  
22 reserves directly attributable to the success of the  
23 waterflood operation in both the pilot project area and the  
24 expansion area, what numbers would he add together in order  
25 to give him that volume?

1           A.     The 170 for drilling one injector, 170 MBO, in  
2     the pilot area; 140 MBO by converting number 84 to  
3     injection, and the 1,349 MBO for the three new injection  
4     wells.

5           Q.     Giving you a total volume of what for secondary  
6     reserve recovery?

7           A.     1,659 MBO.

8           Q.     Let me direct your attention now, Mr. McCafferty,  
9     to the details of the division form C-108 and the aspects  
10    with regards to compliance with the underground injection  
11    control regulations of the division. Have you familiarized  
12    yourself with that information, and are you knowledgeable  
13    about the requirements of the C-108 filings?

14          A.     Yes, I am.

15          Q.     Without going through all the details of that  
16    submittal, Mr. McCafferty, let me direct your attention to  
17    the package of documents starting with Exhibit 13-A and  
18    continuing on through Exhibit 23. Are those the filings  
19    attributable to the C-108 application?

20          A.     Yes, they are.

21          Q.     Let me ask you some summary questions then. Have  
22    you, within the half-mile radius of each injector well,  
23    which is the cloud-shaped area shown within the red outline  
24    on Exhibit Number 1, within that area have you made a  
25    careful and thorough analysis of the wellbore information

1 for all wells that have penetrated to or through either the  
2 Blinebry or the Tubb?

3 A. Yes, I have.

4 Q. In that analysis, did you come across any plugged  
5 and abandoned wells?

6 A. Yes.

7 Q. In your opinion, as an engineer, did you find the  
8 details of that plugged and abandoned well to satisfy you  
9 that it was properly plugged and abandoned so that injection  
10 fluids in either the Blinebry or the Tubb would be isolated  
11 and not use that wellbore as a means to migrate into other  
12 zones?

13 A. Yes, I have.

14 Q. What is your conclusion?

15 A. I believe that it is properly abandoned and that  
16 isolation has been achieved.

17 Q. With regards to the producing wells in compliance  
18 with the C-108, have you either tabulated or in a schematic  
19 form supplied all the details available to you or in the  
20 public records with regards to those wells?

21 A. Yes.

22 Q. Have you analyzed that information to satisfy  
23 yourself that you have no problem-producing wells?

24 A. That is correct.

25 Q. Can you conclude as an engineer that there are no

1 producing wells in which you have casing exposed to either  
2 flood formations?

3 A. Yes.

4 Q. What is your conclusion?

5 A. That the wells, the cement tops, are above the  
6 injection intervals.

7 Q. Have you also analyzed as an engineer the  
8 potential deepest zone that produces fresh water in this  
9 area?

10 A. Yes, we have.

11 Q. Show us on the displays where the Examiner may  
12 find the information about the fresh water details.

13 A. The fresh water wells on Exhibit 18, 19 -- let's  
14 see. I'm sorry, it starts -- strike that. Exhibit 21 is  
15 where the fresh water well data starts. And this is a  
16 tabulation of the fresh water wells that we'd received from  
17 the state engineer in Roswell. We were only able to locate  
18 two of these wells, and the water analysis from two of these  
19 wells are attached, are Exhibits 22 and 23.

20 Q. Did you have Conoco personnel or employees or  
21 consultants subject to Conoco's control actually inspect the  
22 surface looking for fresh water wells?

23 A. Yes, we did.

24 Q. To the best of your knowledge, all the known  
25 fresh water wells are shown on Exhibit Number 21?

1           A.     Yes.

2           Q.     Have you satisfied yourselves that all the  
3 producing wells or the plugged and abandoned wells have  
4 surface casing strains that are cemented from the surface  
5 down to a depth sufficiently low enough to cover any  
6 potential fresh water sands?

7           A.     Yes, I have.

8           Q.     You're satisfied that they do so?

9           A.     Yes.

10          Q.     Do you see any compatibility problems with water  
11 to be utilized for injection into the waterflood project?

12          A.     No, I don't. We have had compatibility tests  
13 run, and they are Exhibits 18, 19 and 20.

14          Q.     What is to be the source of the water to be  
15 injected into the waterflood?

16          A.     It's the -- the current water that's being  
17 injected into the north Blinebry waterflood pilot is the  
18 city of Hobbs sewage effluent that we increase the salinity  
19 through a salt mining well and then filter the water and  
20 inject it.

21          Q.     And you have not experienced any kind of  
22 incompatibility problems or operational difficulties in the  
23 pilot project utilizing those injection waters?

24          A.     No, we have not.

25          Q.     Describe for us the approximate volumes and

1 ranges with regards to the injection rates used for these  
2 wells.

3 A. The rates that we plan on injecting,  
4 approximately on the average, 12,500 barrels of water per  
5 day, or 500 barrels of water per day per well.

6 Q. Utilizing those injection rates in the pilot  
7 project, did you see any problems with the division  
8 guideline concerning surface pressure limitations?

9 A. We initially were able to get water away. A step  
10 rate testing would be performed to determine the maximum  
11 allowable surface pressure. We would default to the .2 PSI  
12 per foot rule.

13 Q. So in the absence of filing the step rate  
14 justifications to increase your injection pressures, you  
15 would propose the Examiner provide you a provision that  
16 would allow you to inject up to a pressure that corresponds  
17 to .2 PSI per foot of depth to the top perforation in the  
18 flood?

19 A. That's correct.

20 Q. Will you monitor the annular space on your  
21 injection wells so that you will know what the pressure is  
22 in that space?

23 A. Yes, we will.

24 Q. How will you handle the operational details to  
25 insure yourself that you have an effective flood of water

1 into those formations and you're not simply cycling water  
2 within the near wellbore space of the injector?

3 A. We initially will run injection profiles, and we  
4 will follow those up with periodic injection profiles to  
5 monitor our injection, as well as monitoring our water  
6 injection rates and pressures.

7 Q. Based upon your experience with the pilot  
8 project, Mr. McCafferty, do you see any potential violation  
9 of the correlative rights of any of the offsetting interest  
10 owners?

11 A. No, I don't.

12 Q. Do you see any opportunity for the waste of  
13 hydrocarbons or other resources with the approval of this  
14 application?

15 A. No, I don't.

16 Q. Can you conclude then, based upon your studies,  
17 that the approval of this application will be in the best  
18 interests of conservation?

19 A. Yes.

20 MR. KELLAHIN: At this time, Mr. Examiner, we move the  
21 introduction of Mr. McCafferty's exhibits. I believe he  
22 started with Exhibit Number 4, and it continues on through  
23 the type log, Exhibit Number 25.

24 HEARING EXAMINER: Did you talk about 24?

25 MR. KELLAHIN: We did not talk about the specific

1 details of 24. Let me have Mr. McCafferty identify that for  
2 the record.

3 Q. (By Mr. Kellahin) Identify the package of  
4 displays shown as Exhibit 24.

5 A. Exhibit 24-A through Exhibit 24-N are the log  
6 sections from the wells that Conoco plans to convert to  
7 injection wells.

8 HEARING EXAMINER: All right. Let's see, what --  
9 Exhibit 25, where did it start?

10 MR. KELLAHIN: Four through 25, Mr. Examiner.

11 HEARING EXAMINER: Exhibits 4 through 25 then are  
12 accepted into evidence.

13 MR. KELLAHIN: That concludes my examination of Mr.  
14 McCafferty. We submit him for questionings by the  
15 division.

16 HEARING EXAMINER: Mr. McCafferty, when was the Warren  
17 Unit formed?

18 THE WITNESS: The year that it was formed?

19 HEARING EXAMINER: Yes.

20 THE WITNESS: 1982, February 15th, 1982.

21 MR. KELLAHIN: That's the approval date of the division  
22 order that approved the waterflood project.

23 HEARING EXAMINER: All right. What is the current  
24 producing GOR in the area?

25 THE WITNESS: The down hole comingled -- the current

1 producing GOR is around 10,000.

2 HEARING EXAMINER: What now? The comingled -- you said  
3 the comingled production?

4 THE WITNESS: Yeah, the down hole comingled.

5 HEARING EXAMINER: In the others where only the  
6 Blinebry is open, what is it, the average producing GOR  
7 there?

8 THE WITNESS: It has declined to about 8,000 current  
9 GOR. Through the flood start, it was running about 11,000,  
10 and it's been on a decline since that point to about 8,000  
11 to date, with repressuring.

12 HEARING EXAMINER: In Shell's project to the south, are  
13 the three zones that they're flooding there, are they  
14 comingled or open together?

15 THE WITNESS: It's my understanding they are. I'm not  
16 an expert on that flood. It's my understanding that they  
17 have the three zones and they are produced comingled.

18 HEARING EXAMINER: You mentioned testing the Tubb  
19 separately in new wells to be drilled. Do you plan to drill  
20 new wells or deepen existing wells or both?

21 THE WITNESS: Initially we plan on drilling a new  
22 producer into the Tubb -- Blinebry and Tubb in Section 35.  
23 That will be the first well that we'll drill on this project  
24 to test and evaluate the Tubb in that part of the section.  
25 And if it shows to be commercial, we will either dual that

1 producer or do the proper testing to apply for down hole  
2 comingling.

3 HEARING EXAMINER: Do what now?

4 THE WITNESS: We test the reservoir pressure and the  
5 compatibilities of fluid. I don't perceive the  
6 compatibilities of fluid to be a problem. They haven't been  
7 a problem in the other Tugg-Blinebry down hole comingled  
8 wells, but we would test the bottom hole pressure to insure  
9 the Tubb -- being that this section is basically undeveloped  
10 on Conoco acreage, these two sections, we don't know the  
11 reservoir pressure, and so we would be concerned with having  
12 a depleted Blinebry or the partially repressured Blinebry in  
13 a flood area being comingled with a higher pressured Tubb  
14 zone.

15 HEARING EXAMINER: Your applications would involve a  
16 nomenclature description and a field area that would include  
17 both the Blinebry and the Tubb, as I understood your  
18 request.

19 THE WITNESS: Correct.

20 HEARING EXAMINER: So did you indicate you'd need a  
21 further application then to down hole comeingle those two? I  
22 wouldn't think you would.

23 THE WITNESS: From a prudent operator standpoint --  
24 maybe I was speaking assuming we didn't have the approval --  
25 but from a pursuant operator standpoint, we would not

1 automatically comingle two zones where the pressures are  
2 significantly different.

3 HEARING EXAMINER: On Exhibit 8, were the numbers there  
4 for the pilot only? I think they were.

5 THE WITNESS: This was for the waterflood pilot only,  
6 that's correct. And it includes the flooded area, the 400  
7 acres, the six wells that were in the 400 acres that  
8 responded, as opposed to the peripheral wells. We did not  
9 include them in this table in our waterflood analysis.

10 HEARING EXAMINER: On Exhibit 9 there was -- the green  
11 bar indicated, I believe, a rate of production that I didn't  
12 fully understand how you're supposed to read that exhibit.

13 THE WITNESS: The green bar on Exhibit 9 shows the peak  
14 production versus the initial production at flood start. An  
15 example would be if the waterflood were producing 100  
16 barrels a day at flood start, within four years it would  
17 reach its peak, and its peak production would be four times  
18 that initial, or 400. And that would be the waterflood  
19 bump.

20 HEARING EXAMINER: So there's no way from that exhibit  
21 to get an actual rate. It's just a --

22 THE WITNESS: No, this is just to show the order of  
23 magnitude by well that the -- they responded to the  
24 waterflood injection.

25 HEARING EXAMINER: So the green bar is just the peak

1 rate over the initial rate; is that right?

2 THE WITNESS: At flood start, that's correct.

3 HEARING EXAMINER: On Exhibit 12 you gave an  
4 explanation there that I didn't follow completely. Let me  
5 see if I can remember what my question was. You talked  
6 about if I wanted to determine the maximum increase in  
7 reserves or the total increase in reserves, I need to add  
8 some numbers together. That was in response to a question  
9 from Mr. Kellahin.

10 THE WITNESS: The secondary reserves; they're tabulated  
11 below, but they are not totaled. The allocation of  
12 incremental reserves are the bottom two tables. For  
13 example, a drill one producer, number 101 in the pilot area,  
14 we're estimating 70 MBO and 210 unit cubic feet of gas. And  
15 that would be primary production. We have each one of those  
16 tabulated whether they're primary or whether they're  
17 secondary. And if you add up the secondary production, that  
18 would be the secondary reserves for this project.

19 HEARING EXAMINER: So what's subtalled down at the  
20 bottom, that's --

21 THE WITNESS: The subtotals at the bottom on the left  
22 column is for the pilot area only. We've broken this  
23 project into the pilot area and in the expansion into the  
24 Blinebry-Tubb area and Sections 26 and 27.

25 HEARING EXAMINER: But the subtotals are -- is that the

1 addition of all that you've got listed above it?

2 THE WITNESS: Yeah, the primary and the secondary.

3 HEARING EXAMINER: What you were saying there, if I  
4 wanted to separate out primary and secondary, you could do  
5 that by just adding up what's identified as primary and  
6 secondary?

7 THE WITNESS: That's correct.

8 HEARING EXAMINER: We didn't go through all -- I  
9 believe it was Exhibit 18 with alphabetic subscripts. Were  
10 details included there for all the plugged and abandoned  
11 wells in the area?

12 THE WITNESS: Yes. There was only one plugged and  
13 abandoned well within the area within the half-mile radius.

14 HEARING EXAMINER: And you did have --

15 THE WITNESS: The schematic is in the exhibit.

16 HEARING EXAMINER: The witness can be excused.

17 MR. KELLAHIN: Mr. Examiner, if you desire to make  
18 specific reference to how the division has handled the Shell  
19 project, I can give you the reference to the order numbers.  
20 They will be order number R-8539, 8541. Each one of those  
21 has an amendment. In September of last year the division  
22 entered order 8539-A and 8541-B, and those combined together  
23 will give you the regulatory approvals that have been  
24 applied by the division to the Shell project.

25 HEARING EXAMINER: Summarize those for me, if you

1 would.

2 MR. KELLAHIN: Essentially, they start out with a  
3 complex set of rules and regulations for the Shell operation  
4 in which they specifically dealt with the gas component in  
5 the Shell project in the Tubb. Shell originally believed  
6 and had evidence that they had primary gas production in the  
7 Tubb, as well as gas cap forming in the Blinebry. Back in  
8 August of last year they presented a detailed reservoir  
9 analysis updating that project in which they had redescrbed  
10 the reservoir, concluded that there was not a material  
11 problem with regards to a gas cap in the Shell project, and  
12 that the Tubb zone had been 95 percent depleted of gas, and  
13 that the gas did not present a problem with regards to the  
14 ability to flood each zone.

15 The division accepted that explanation and  
16 approved then the modification of the Shell rules, in effect  
17 deleting the gas-oil ratios, deleting the classification of  
18 gas wells and allowed Shell to operate the entire property  
19 within the same corresponding vertical interval we're  
20 seeking to flood. The difference between our project and  
21 theirs is that we have never seen a gas problem within the  
22 project area and think we can successfully flood both the  
23 Blinebry and the Tubb with not having a gas cap formed  
24 within our project area.

25 HEARING EXAMINER: Anything else?

1 MR. KELLAHIN: That's all we have, Mr. Examiner.

2 HEARING EXAMINER: Case number 10220 will be taken  
3 under advisement.

4 (The foregoing hearing was adjourned at the  
5 approximate hour of 9:00 a.m.)

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1 STATE OF NEW MEXICO )

2 :


3 COUNTY OF SANTA FE )

4 I, FREDA DONICA, RPR, a Certified Court Reporter, DO  
5 HEREBY CERTIFY that I stenographically reported these  
6 proceedings before the Oil Conservation Division; and that  
7 the foregoing is a true, complete and accurate transcript of  
8 the proceedings of said hearing as appears from my  
9 stenographic notes so taken and transcribed under my  
10 personal supervision.

11 I FURTHER CERTIFY that I am not related to nor employed  
12 by any of the parties hereto, and have no interest in the  
13 outcome hereof.

14 DATED at Santa Fe, New Mexico, this 19th day of  
15 February, 1991.

16   
17 Freda Donica  
18 Certified Court Reporter  
19 CCR No. 417

20 I do hereby certify that the foregoing is  
21 a complete record of the proceedings in  
22 the Examiner hearing of Case No. 10220,  
23 heard by me on Jan 24 1991.  
24  Examiner  
25 Oil Conservation Division