

STATE OF NEW MEXICO  
ENERGY AND MINERALS DEPARTMENT  
OIL CONSERVATION DIVISION  
STATE LAND OFFICE BLDG.  
SANTA FE, NEW MEXICO

11 July 1984

EXAMINER HEARING

IN THE MATTER OF

Application of Alpha Twenty-One  
Production Company for hardship  
gas well classification, Lea  
County, New Mexico.

CASE  
8253

BEFORE: Richard L. Stamets, Examiner

TRANSCRIPT OF HEARING

A P P E A R A N C E S

For the Oil Conservation  
Division:

For the Applicant:

Robert H. Strand  
Attorney at Law  
ATWOOD, MALONE, MANN & TURNER  
P. O. Drawer 700  
Roswell, New Mexico 88201

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

2

I N D E X

ROBERT WAYNE LANSFORD

Direct Examination by Mr. Strand	3
Cross Examination by Mr. Stamets	10

E X H I B I T S

Applicant Exhibit One, Computer Data	8
--------------------------------------	---

1  
2  
3 MR. STAMETS: We'll call next  
4 Case 8253, application of Alpha Twenty-One Production Com-  
5 pany for hardship gas well classification, Lea County, New  
6 Mexico.

7 MR. STRAND: Mr. Examiner,  
8 Robert H. Strand of the firm of Atwood, Malone, Mann, and  
9 Turner, appearing for the applicant.

10 MR. STAMETS: The record should  
11 show that the witness, Mr. Lansford, is sworn and qualified  
12 in this case as well.

13 ROBERT WAYNE LANSFORD,  
14 being previously sworn upon his oath, testified as follows,  
15 to-wit:

16 DIRECT EXAMINATION

17 BY MR. STRAND:

18 Q Mr. Lansford, are you familiar with the  
19 application in Case Number 8253?

20 A Yes, sir.

21 Q And did you previously or did Alpha  
22 Twenty-One Production Company previously file an administra-  
23 tive application dated June 12th, 1984, relating to its Jus-  
tis "BC" Federal Com No. 2 Well?

24 A Yes, sir, we have.

25 Q And was that application prepared by you

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

or under your supervision?

A Yes, it was.

Q Will you state for the record the purpose of the application in Case Number 8253?

A Alpha Twenty-One Production Company seeks an order designating its Justis "BC" Federal Com No. 2 Well as a hardship gas well pursuant to Commission Order No. R-7453.

Q Would you please state the location of this well?

A Unit H, Section 11, Township 25 South, Range 37 East, Lea County, New Mexico.

Q Would you also state from what formation the well produces and the pool from which it produces?

A It's producing from the Glorieta formation in the Justis-Glorieta Pool.

Q Who is the gas purchaser and transporter?

A El Paso Natural Gas.

Q Would you state in some detail for the record the problems that you foresee from shutting in the Justis "BC" Federal Com No. 2 Well or curtailing it below its ability to produce?

A Yes, sir. Due to the cutback on the wells in that area we put a pump jack on it to try to keep the well from logging off and causing formation damage.

Q What will cause the formation damage?

A Logging up of excessive water.

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

Q How much water, approximately, is the well producing per day?

A Hold on one second. The Justis "BC" Federal Com No. 2 is producing 815 barrels of water per month.

Q Mr. Lansford, the reason then you have the pump jack on the well is to remove that water.

A Yes, sir, it is.

Q And how much gas is it producing?

A Excuse me just one second. I've refiled it.

Q I believe it's stated in the administrative application.

A 250 Mcf per day.

Q And as a part of that administrative application do you have a tabulation of production?

A Yes, sir, we have, from 1981 through April of 1984.

Q Mr. Lansford, is it necessary to keep this well pumping in order to continually remove the water?

A Yes, sir, it is.

Q And what in your opinion would be the results of shutting in this well and thereby shutting in the pump which removes water?

A I feel like with the well shut-in the well would then log off. We would lose approximately 400-million cubic feet of gas reserves.

Q What is the problem with the water in the

1  
2 formation in technical terms?

3 A The water causes swelling of the clays  
4 that are present in the Glorieta formation.

5 Q Has this particular well ever been shut  
6 in?

7 A Yes.

8 Q And did you lose some reserves or some  
9 gas production because of that shut-in?

10 A Yes, we have.

11 Q Do you have that information available?

12 A Yes. I believe it's in -- it's on the  
13 application.

14 Q Mr. Lansford, if you don't have that in-  
15 formation immediately available as to that time of shut-in  
16 and the results, could that be provided at a later date?

17 A Yes, sir, it can.

18 Q Mr. Lansford, could any steps be taken  
19 chemically to prevent this problem with the water reacting  
20 with the formation which you've testified to?

21 A Again, it would have to be injected while  
22 the well is pumping fluid.

23 Q You could not treat the well when the  
24 pump was not operating.

25 A No, I couldn't, and I'd like to point out  
that also I did an inhibitor squeeze job in the formation  
and that does help but you can only go so far.

Q Mr. Lansford, you've provided as part of

1  
2 your administrative application a wellbore sketch showing  
3 the mechanical status of the well at the present time. Are  
4 there any mechanical means of -- of preventing the problem  
5 you testified to upon shut-in?

6 A Not upon shut-in.

7 Q Is it again necessary that the well basi-  
8 cally be kept pumping at all times in order to prevent this  
9 problem?

10 A Yes, sir, it is.

11 Q How long do you think it would take this  
12 problem to develop if the well was in fact shut-in and the  
13 water stayed on the formation?

14 A I think we would see a definite damage  
15 within two months.

16 Q Do you have any type of an estimate of  
17 the resulting decrease in production or could that be deter-  
18 mined at this point in time?

19 A Yes, sir, it could.

20 Q No, I'm not talking about the ultimate  
21 reserves. I'm talking about is there any way at this point  
22 in time of predicting with any certainty how much of a loss  
23 of production would occur after an individual shut-in?

24 A No.

25 Q If the well was shut in for any length of  
time is there some possibility in your opinion that the well  
could be lost and a certain amount of reserves lost?

A Yes, sir, yes, sir, I do.

1  
2 Q I refer you to what we've designated as  
3 Exhibit Number One. Will you please describe that?

4 A Okay. Exhibit Number One is the computer  
5 data showing the reserves and economics involved in the El  
6 Paso Smith No. 1.

7 Q Would you please state your conclusions  
8 that you've drawn from this reserve study relating to pos-  
9 sible ultimate loss of gas reserves?

10 A Okay. Taking the total ultimate produc-  
11 tion, which is 671-million cubic foot, less the cumulative  
12 production through July the 1st of 1984, which is 272-mil-  
13 lion cubic feet, and subtracting that through the last esti-  
14 mated production from July the 1st, 1984 through December  
15 the 31st, 1984, of 44-million cubic foot, would give us a  
16 loss of 355-million cubic feet.

17 Q Mr. Lansford, with regard to a minimum  
18 sustainable producing rate from this well, would it be pos-  
19 sible to run any type of logoff or minimum flow test to de-  
20 termine at what point the minimum or the ultimate producible  
21 rate might be without damaging the well?

22 A I can't say that it would not damage the  
23 well.

24 Q Would it be possible, however, to lessen  
25 the rate to a certain point where the water production tends  
26 to drop?

27 A Yes, sir.

28 Q And would you be able to do this without



1  
2 damaging the well?

3 A I think I could.

4 Q Would you be willing to run that test and  
5 make such information available to the Division?

6 A Yes, sir.

7 Q As part of this application?

8 A Yes, sir.

9 Q Mr. Lansford, does this well produce from  
10 a prorated pool?

11 A Yes, sir, it does.

12 Q And from what -- you've already testified  
13 that it is from the Justis-Glorieta Pool.

14 A Yes.

15 Q Do you have any information as to the  
16 amount such well is currently over or under produced?

17 A Yes. El Paso Natural Gas has informed us  
18 that the well is overproduced by 23,674 Mcf.

19 Q Mr. Lansford, was notice of this applica-  
20 tion given to all offset operators and El Paso Natural Gas  
21 Company as transporter?

22 A Yes, sir, it was.

23 Q Is it your opinion that in the event this  
24 application is not approved and the well is shut in for any  
25 period of time that underground waste will occur?

A Yes, sir.

Q Is it further your opinion that granting  
of this application will promote conservation, prevent

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

waste, and protect correlative rights?

A Yes, sir.

Q Was Exhibit Number One prepared by you or does it reflect information in the records of Alpha Twenty-One Production Company?

A Yes, sir, it does.

MR. STRAND: Mr. Examiner, I would move admission of Exhibit Number One.

MR. STAMETS: Exhibit Number One will be admitted.

MR. STRAND: And I have no further questions at this time.

#### CROSS EXAMINATION

BY MR. STAMETS:

Q Mr. Lansford, do you recall when that well was shut in?

A It was after March.

Q This year?

A Yes, sir.

Q So you can show us, then, some production history, P/z plots before and after, indicating if there was a loss of reserves as a result of the shut-in.

A Yes, sir.

Q Okay. I've not heard any other evidence that the Glorieta was a fluid sensitive formation. Do you have any other evidence on that issue?

1  
2 A No, sir, just the -- whether or not you  
3 call scale precipitation formation damage, which I do.

4 Q Okay, so that's the nature of the problem  
5 rather than swelling clays?

6 A (Not understood.)

7 Q You indicated that if the well were shut  
8 in your pump and tubular goods might be damaged within two  
9 months?

10 A Yes, sir.

11 Q How long was that other period of shut  
12 in?

13 A A little over a week, I believe.

14 Q And you would be able to run the same  
15 type of logoff test by simply restricting the gas sales un-  
16 til the well seemed to produce water.

17 A Yes, sir, we can.

18 Q And you will submit that evidence as well  
19 as the evidence relating to loss of reserves?

20 A Yes, sir.

21 Q Okay.

22 MR. STAMETS: Any other ques-  
23 tions of the witness? He may be excused.

24 Anybody have anything further  
25 they wish to add in this case?

Note the inclusion of the El  
Paso statement.

The case will be taken under  
advisement.

## C E R T I F I C A T E

I, SALLY W. BOYD, C.S.R., DO HEREBY CERTIFY  
that the foregoing Transcript of Hearing before the Oil Con-  
servation Division was reported by me; that the said tran-  
script is a full, true, and correct record of the hearing,  
prepared by me to the best of my ability.

Sally W. Boyd CSR

I do hereby certify that the foregoing is  
a complete record of the proceedings in  
the Examiner hearing of Case No. 8253  
heard by me on 7-7-84 1984.  
Richard H. Dunn, Examiner  
Oil Conservation Division

El Paso Natural Gas Company neither concurs with nor objects to this application. El Paso recognizes that some wells should definitely be recognized as "hardship" wells. El Paso believes it must express to the New Mexico Oil Conservation Division that anytime a well is declared a "hardship" well, then the extra production from that well must be taken from the total production from all other wells on our system. This increases the non-controllable gas taken into our system thereby reducing our flexibility of pipeline operations to take ratably and protect correlative rights.