

STATE OF NEW MEXICO
ENERGY AND MINERALS DEPARTMENT
OIL CONSERVATION DIVISION
STATE LAND OFFICE BLDG.
SANTA FE, NEW MEXICO

21 November 1985

DIVISION HEARING

IN THE MATTER OF:

Application of Monsanto Company for CASE
an unorthodox gas well location, 8758
dual completion, and simultaneous
dedication, Eddy County, New Mexico.

BEFORE: Michael E. Stogner, Examiner

TRANSCRIPT OF HEARING

A P P E A R A N C E S

For the Division: Jeff Taylor
Attorney at Law
Legal Counsel to the Division
State Land Office Bldg.
Santa Fe, New Mexico 87501

For Monsanto Company: Owen M. Lopez
Attorney at Law
HINKLE LAW FIRM
P. O. Box 2068
Santa Fe, New Mexico 87501

For Amoco Production: William F. Carr
Attorney at Law
CAMPBELL & BLACK P. A.
P. O. Box 2208
Santa Fe, New Mexico 87501

I N D E X

KEVIN T. PFISTER

Direct Examination by Mr. Lopez	6
Cross Examination by Mr. Carr	11
Cross Examination by Mr. Stogner	12

WILLIAM J. MORRIS

Direct Examination by Mr. Lopez	13
Cross Examination by Mr. Carr	18
Cross Examination by Mr. Stogner	22

HAL H. CRABB

Direct Examination by Mr. Lopez	23
Cross Examination by Mr. Carr	36
Cross Examination by Mr. Stogner	44

I N D E X CONT'D

STEPHEN P. SCHEFFLER

Direct Examination by Mr. Carr 48

Cross Examination by Mr. Lopez 58

STATEMENT BY MR. STOGNER 65

STATEMENT BY MR. CARR 65

STATEMENT BY MR. LOPEZ 70

E X H I B I T S

Monsanto Exhibit One, Plat 6

Monsanto Exhibit Two, Structure Map 14

Monsanto Exhibit Three, Cross Section 15

Monsanto Exhibit Four, Isopach 16

Monsanto Exhibit Five, Structure Map 16

Monsanto Exhibit Six, Production History 24

Monsanto Exhibit Seven, Tabulation 25

Monsanto Exhibit Eight, Graph 26

Monsanto Exhibit Nine, Tabulation 27

Monsanto Exhibit Ten, Plot 28

I N D E X CONT'D

1		
2		
3	Monsanto Exhibit Eleven, Production Map	29
4	Monsanto Exhibit Twelve, Production Map	32
5		
6		
7	Amoco Exhibit One, Plat	52
8	Amoco Exhibit Two, Proposal	55
9		
10		
11		
12		
13		
14		
15		
16		
17		
18		
19		
20		
21		
22		
23		
24		
25		

1
2 MR. STOGNER: The hearing will
3 come to order.

4 We'll call next Case 8758.

5 MR. TAYLOR: The application of
6 Monsanto Company for an unorthodox gas well location, dual
7 completion, simultaneous dedication, Eddy County, New Mexi-
8 co.

9 MR. STOGNER: Call for appear-
10 ances.

11 MR. LOPEZ: If the Examiner
12 please, my name is Owen Lopez with the Hinkle Law Firm in
13 Santa Fe, New Mexico, appearing on behalf of the applicant,
14 and I have three witnesses to be sworn.

15 MR. STOGNER: Call for
16 additional appearances.

17 MR. CARR: May it please the
18 Examiner, my name is William F. Carr, with the law firm
19 Campbell and Black, P. A., of Santa Fe. We represent Amoco
20 Production Company in opposition to the application of
21 Monsanto.

22 I have one witness.

23 MR. STOGNER: Are there any
24 other witnesses?
25

1 Will all witnesses stand and be
2 sworn at this time?

3
4 (Witnesses sworn.)

5
6 MR. STOGNER: Mr. Lopez, you
7 may continue.

8 MR. LOPEZ: Thank you.

9
10 KEVIN T. PFISTER,
11 being called as a witness and being duly sworn upon his
12 oath, testified as follows, to-wit:

13
14 DIRECT EXAMINATION

15 BY MR. LOPEZ:

16 Q Mr. Pfister, would you please state your
17 name and where you reside?

18 A My name is Kevin T. Pfister. I live at
19 3804 Willingham, Midland, Texas, and I'm employed by Monsan-
20 to Oil Company.

21 Q And what is your occupation?

22 A I'm a Senior Landman.

23 Q And have you previously testified before
24 the Commission and had your qualifications accepted as a
25 matter of record?

1 A No, I have not.

2 Q Are you familiar with the application of
3 Monsanto Oil Company in Case Number 8758?

4 A Yes, I am.

5 Q And have you done the study of the land
6 area in connection with the application?

7 A Yes, I have.

8 Q Would you briefly explain to the Commis-
9 sion your educational background and employment experience?

10 A All right. In 1975 I graduated from the
11 University of Wyoming with a Bachelor of Arts degree in zo-
12 ology.

13 Also in 1975 I graduated with a Bachelor
14 of Science degree in education; and in 1978 I graduated from
15 the University of Wyoming law school.

16 I have also, in 1978 I began working for
17 Cities Service Oil Company in Tulsa, Oklahoma, as a landman,
18 was transferred to Cities Service in Midland and worked
19 there for another six months as a landman.

20 Then I went to work for BTA Oil Producers
21 in Midland, Texas, as a -- my title was Contract Supervisor,
22 and worked for them for about eight months and then I've
23 been with Monsanto Companyl for six years now as a landman
24 and am now a Senior Landman.

25 MR. LOPEZ: Are the witness'

1 qualifications acceptable?

2 MR. STOGNER: Any objection?

3 MR. CARR: No objection.

4 MR. STOGNER: Mr. Pfister --

5 A Pfister.

6 MR. STOGNER: -- is so quali-
7 fied.

8 Q Mr. Pfister, I ask you to refer to what's
9 been marked Exhibit Number One and ask you to explain what
10 it shows.

11 A All right, Exhibit Number One is an at-
12 tempt to show many things.

13 The first thing I'd like to direct every-
14 body's attention to is the Section 36, which has been out-
15 lined in red. This is the present communitized area for the
16 Lowe State Well No. 1, which was drilled at 1712 feet from
17 the west line and 1995 feet from the north line. This well
18 is shut-in. It was shut in on May 9th, 1985.

19 There is colored within that section and
20 also on the -- on the map itself, an area marked or colored
21 yellow. This indicates Monsanto's lease and you'll note
22 that this lease is held by production from the North Indian
23 Basin Unit up to the north and also from production from the
24 Texaco "DF" Well in Section 32, Township 21 South, Range 23
25 East.

1 Also within the section is another State
2 tract which is owned by Maralo, and you'll also find on
3 there an arrow pointing to a little circle there and that
4 denotes our location for the (not understood), or I'm sorry,
5 for the Monsanto Lowe State Well No. 2 to be located 330
6 feet from the south line and 330 feet from the west line.

7 Also on the map you'll see sections in
8 Section 35, that lease is held by production and Amoco is
9 the operator of that lease.

10 Down in Township 23 South, Range 23 East,
11 in Section 1, ARCO is the operator of that well, the Smith
12 Federal Well.

13 And in Section 2 of that same township
14 and range, there is a Monsanto lease. Incidentally, that
15 well was also communitized. It also consists of two State
16 leases, one of the leases owned by Conoco and the other own-
17 ed by Monsanto. Monsanto is the operator of that unit.

18 Q Did you notify the offset operators of
19 the subject matter of this hearing?

20 A I personally did not notify them of the
21 hearing. I am aware of the fact that they were notified and
22 another person to this hearing will testify on that matter.

23 MR. TAYLOR: Can we take a re-
24 cess for a minute?

25 MR. LOPEZ: Sure.

1
2 (Thereupon a recess was taken.)
3

4 MR. STOGNER: I apologize.

5 MR. LOPEZ: That's quite all
6 right.

7 MR. STOGNER: Please continue.

8 Q I think the witness just finished testi-
9 fying that to his knowledge the offset operators were noti-
10 fied and we have another witness that will give specifics.

11 Then if I understand your testimony cor-
12 rectly, the lease in question is a State lease and the off-
13 set leases, except for the lease, the State leases in Sec-
14 tion 2, are U. S. leases.

15 A Yes, those -- the lease in Section 35,
16 Township 21 South, 23, and Section 1, Township 22 South,
17 Range 23 East, are both Federal leases.

18 Q Was Exhibit One prepared by you or under
19 your supervision?

20 A Yes, it was prepared under my supervi-
21 sion.

22 MR. LOPEZ: I'd like to offer
23 Exhibit Number One into evidence.

24 MR. STOGNER: Any objections?

25 MR. CARR: No objection.

1 MR. STOGNER: Exhibit Number
2 One will be admitted into evidence.

3 MR. LOPEZ: I have no further
4 questions of this witness.

5 MR. STOGNER: Mr. Carr, your
6 witness.

7

8 CROSS EXAMINATION

9 BY MR. CARR:

10 Q Mr. Pfister, you were talking or propos-
11 ing a location 330 from the south and west lines of Section
12 36, is that correct?

13 A That is correct.

14 Q Do you happen to know what the spacing is
15 for wells in this area?

16 A No, I don't.

17 Q Do you know what well location require-
18 ments are in the area?

19 A No, I don't.

20 Q Are you -- we have four tracts here that
21 we're interested in, Sections 35 and 36 and Sections 1 and
22 2. Are you -- is all of the royalty in Sections 1 and 35
23 held by the Federal government?

24 A Yes, they are.

25 Q And all the royalty interest in Sections

1 36 and 2 would be State of New Mexico?

2 A Yes.

3 MR. CARR: I have no further
4 questions.

5 MR. STOGNER: Mr. Lopez, any
6 redirect?

7 MR. LOPEZ: No, Mr. Examiner.

8

9 CROSS EXAMINATION

10 BY MR. STOGNER:

11 Q Mr. Pfister, you, I believe if I heard
12 you right, you said that you did not know the location
13 requiriements as set out by the Division in these special
14 pool rules in both these pools, is that right?

15 A No, sir.

16 Q Is there somebody here that can testify
17 to that?

18 A Yes.

19 MR. STOGNER: I have no
20 questions of this witness.

21 If nobody else has any, he may
22 be excused.

23 Mr. Lopez?

24 MR. LOPEZ: I'd like to call
25 our second witness, Mr. Morris.

1
2 WILLIAM J. MORRIS,
3 being called as a witness and being duly sworn upon his
4 oath, testified as follows, to-wit:

5
6 DIRECT EXAMINATION

7 BY MR. LOPEZ:

8 Q Would you please state your name and
9 where you reside?

10 A My name is William J. Morris. I reside
11 in Midland, Texas.

12 Q By whom are you employed and in what ca-
13 pacity?

14 A I am a petroleum geologist employed by
15 Monsanto Oil Company.

16 Q Have you previously testified before the
17 Commission and had your qualifications accepted as a matter
18 of record?

19 A No, sir, I have not.

20 Q Are you familiar with the application of
21 Monsanto Oil Company in Case Number 8758?

22 A Yes, sir.

23 Q Would you briefly describe your educa-
24 tional background and work experience?

25 A Okay. I have a Bachelor of Science de-

1 gree in mathematics from Michigan -- or from Lake Superior
2 State College.

3 I have a Bachelor of Science in geology
4 and a Master's of Science in geology from Michigan State
5 University. My Master's was received in 12 of 1977.

6 I have three years of experience with
7 Texaco as a petroleum geologist and the last five years I've
8 been a petroleum geologist with Monsanto.

9 MR. LOPEZ: I would tender the
10 witness as a qualified, expert, petroleum geologist.

11 MR. STOGNER: Any objection?

12 MR. CARR: No objection.

13 MR. STOGNER: Mr. Morris is so
14 qualified.

15 Q Mr. Morris, I'd like for you to refer to
16 what's been marked Exhibit Number Two and ask you to identi-
17 fy it, please, and explain what it shows.

18 A Exhibit Number Two is a structure map on
19 top of the Cisco formation over the Indian Basin Field. As
20 you can see, the field is defined to the west by a fault,
21 which is shown by a dashed line. The down dip portion of it
22 to the east is defined by down dip water production and lat-
23 eral facies changes define the field to the south and to the
24 north.

25 Now the blue shaded portion of the map

1 shows the area of water encroachment prior to 1976, and the
2 wells that are colored darker blue are wells that have
3 watered out prior to 1976.

4 Okay, the red shaded portion of the map
5 shows the water encroachment from 1976 to the present day
6 and the darker red colored map -- wells are those wells that
7 have watered out in that 10-year interval.

8 The green colored wells on the map are
9 wells that are currently still active producing wells that
10 make better than 20 barrels of water per day and are antici-
11 pated to be the next wells to water out in the field.

12 As you can see, Monsanto's No. 1 Lowe
13 State is colored red and it has watered out in May of this
14 year.

15 Our proposed location directly to the
16 southwest of our No. 1 Lowe State is the structurally high-
17 est location and furthest from the water encroachment on our
18 lease.

19 Q Okay. I now ask you to refer to what's
20 been marked Exhibit Number Three and ask you to identify it.

21 A Exhibit Number Three is a
22 northeast/southwest structural cross section through Section
23 36. The cross section clearly shows the structural attitude
24 of the reservoir and that, in fact, that most operators per-
25 forated the upper portion of the Cisco carbonate. The red

1 shaded portion of the Cisco formation is that portion that
2 has been invaded by water and the blue shaded area is that
3 portion that has not been invaded by water.

4 Q And where would be the location of the
5 proposed well, between which two logs?

6 A Okay. It would fall between the third
7 and fourth well counting from the left.

8 Q I now ask you to refer to Exhibit Number
9 Four and ask you to identify it.

10 A Exhibit Number Four is a Cisco net pay
11 Isopach map of the Indian Basin Field. I've used a 3 per-
12 cent porosity cutoff and which is kind of an accepted value
13 by most operators in the field and it shows that our No. 1
14 Lowe State to have 111 feet of greater than 3 percent poro-
15 sity in the wellbore.

16 Q Okay, is there anything else about that
17 exhibit?

18 A I don't believe I have anything further
19 to say at this time.

20 Q I'd now like to refer you to what's been
21 marked as Exhibit Number Five and ask you to identify it.

22 A Exhibit Number Five is a Morrow structure
23 map and is contoured on a 100-foot contour interval. I'd
24 like to say that the Morrow produces from deltaic sandstones
25 in this portion of the Basin and gas is produced along up-

1 thrown faulted areas.

2 The wells colored green on this map are
3 or have been productive from the Morrow formation and the
4 cumulative production figures are shown in red next to these
5 wells.

6 The Monsanto No. 1 Lowe State has pro-
7 duced 1/2 of a BCF and 2000 barrels of oil and this well has
8 been shut in since August of '84.

9 I would like to also say at this time
10 that the Morrow is a secondary objective in this application
11 and it lies only 2000 fet deeper to the or from the Cisco
12 and we think it only prudent to go down further and test the
13 Morrow formation. We could not drill this well based on
14 Morrow economics alone, and based on my interpretation, I do
15 not believe we would cause any drainage of the offset opera-
16 tors.

17 Q Were Exhibits Two through Five prepared
18 by you or under your supervision?

19 A Yes, sir, they were.

20 MR. LOPEZ: I would like to of-
21 fer Exhibits Two through Five.

22 MR. CARR: No objection.

23 MR. STOGNER: Exhibits Two
24 through Five will be admitted into evidence.

25 MR. LOPEZ: I have no further

1 questions of this witness.

2 MR. STOGNER: Mr. Carr, your
3 witness.

4

5 CROSS EXAMINATION

6 BY MR. CARR:

7 Q Mr. Morris, are you familiar with the
8 special pool rules for either of the pools which are invol-
9 ved in your application here today?

10 A Generally I am.

11 Q Would that be a question I should defer
12 to a subsequent witness?

13 A I would think so, yes.

14 Q You stated that the Indian Basin Upper
15 Penn is your primary objective. If I look at your Exhibit
16 Number Two, is it fair to say that at the present time the
17 north central portion of Section 36 has been watered out?

18 A Yes, I would say so.

19 Q And the well you have presently on that
20 tract, being your Lowe State No. 1, has watered out?

21 A Yes.

22 Q Do you know why you're seeking to simul-
23 taneously dedicate that with the later well? Are you aware
24 of there being any chance that that well could be returned
25 to production?

1 A I do not believe that well could be re-
2 turned to production.

3 Q Now, as you -- as I look at this map, I
4 guess this is a structure map on top of the Cisco.

5 A Correct.

6 Q You are moving to a higher structural po-
7 sition as you move to the south and to the west.

8 A That is correct.

9 Q So your proposed location is at the high-
10 est structural point you can realistically place this well
11 on that section.

12 A Right; right.

13 Q And that would put you as far away from
14 the water that's encroaching upon the north --

15 A Yes.

16 Q -- as possible.

17 A Yes.

18 Q And as you move off to the west across
19 Section 36 the structure continues to rise.

20 A That is correct.

21 Q And so we get farther up structure the
22 farther west we go and we also tend to go up structure as we
23 move toward the south.

24 A Yes.

25 Q Have you in reviewing for this hearing

1 seen a log of the Amoco well in Section 35?

2 A Yes, sir, I have.

3 Q How does a log of that well compare to
4 the log of the well that you used on your cross section that
5 would be located in Section 2? Would they be comparable?

6 A Basically I would say yes. Perhaps the
7 Amoco well may have a little bit higher porosity, footage of
8 porosity, as well.

9 That is clearly shown on the -- my net
10 pay Isopach map.

11 Q All right. As we look at the net pay
12 Isopach, is it fair to say that the formation tends to get
13 thicker as we move into Section 35 from Section 36?

14 A The amount of net pay would increase,
15 yes.

16 Q And the 111 figure right below your well
17 symbol in 36, is that the net pay in that well?

18 A Yes, that is above the original gas/water
19 contact.

20 Q And if we go to the Amoco well in 35, we
21 would have 264 feet of net pay?

22 A That's correct.

23 Q Now if we look at the Morrow, how import-
24 ant is structure, actually in making a Morrow well out in
25 this area?

1 A Our company believes the structure is
2 critical to Morrow production. We believe you have to be on
3 the upthrown sides of faults.

4 Q Now you've placed a fault running across
5 this map coming down across the northwest quarter of Section
6 36. Is there any well in the area that has actually inter-
7 cepted that fault?

8 A I believe not.

9 Q And this -- you -- this is your interpre-
10 tation of where that fault actually --

11 A That's correct.

12 Q -- should lie? And this is based on the
13 control that you have in the area.

14 A Yes, sir, and regional trends, as well.

15 Q And based on your interpretation is it
16 possible that that fault could be moved closer to your well
17 as existing in Section 36?

18 A Sure.

19 Q And likewise could be moved closer to the
20 Amoco Well in 35.

21 A Sure.

22 MR. CARR: I have no further
23 questions.

24

25

1 MR. STOGNER: Mr. Lopez, any
2 redirect?

3 MR. LOPEZ: None, Mr. Examiner.
4

5 CROSS EXAMINATION

6 BY MR. STOGNER:

7 Q Mr. Morris, let's refer to Exhibit Number
8 Three, I think, to better explain the question.

9 In your present Well No. 1 are these the
10 perforations in the Morrow formation shown?

11 A I'm not sure all of the correct perfora-
12 tions are shown on that log there.

13 I did make this cross section several
14 years ago and I used the scout ticket information that was
15 published in PI and our records in our Production Department
16 disagreed with that, so I believe there's some more perfora-
17 tions on the Morrow.

18 MR. STOGNER: Mr. Lopez, is
19 your next witness going to be an engineer?

20 MR. LOPEZ: Yes.

21 MR. STOGNER: Okay, I'll just
22 hold off on my questions until that time.

23 I have no questions of Mr. Mor-
24 ris at this time.

25 Are there any other questions

1 of this witness?

2 If not, he may be excused.

3 Mr. Lopez.

4 MR. LOPEZ: Okay.

5

6 HAL H. CRABB,

7 being called as a witness and being duly sworn upon his
8 oath, testified as follows, to-wit:

9

10 DIRECT EXAMINATION

11 BY MR. LOPEZ:

12 Q Okay, would you please state your name
13 and where you reside?

14 A Hal H. Crabb, III. I live in Midland,
15 Texas.

16 Q By whom are you employed and in what ca-
17 pacity?

18 A Monsanto Oil Company as a petroleum
19 engineer.

20 Q Have you previously testified before the
21 Commission and had your qualifications as an expert petro-
22 leum engineer accepted as a matter of record?

23 A No, I have not.

24 Q Are you familiar with the application in
25 Case Number 8758 of Monsanto?

1 A Yes.

2 Q Would you briefly describe your educa-
3 tional background and work experience?

4 A Yes. I graduated from the University of
5 Texas at Arlington in December of 1978, receiving a Bachelor
6 of Science in mechanical engineering.

7 I went to work for Texaco in January of
8 1979; worked there for two and a half years as a production
9 and reservoir engineer.

10 I've -- since then I've been employed by
11 Monsanto for approximately five years. My responsibilities
12 are primarily production but I also do -- do reservoir work.

13 And during my employment in the oil busi-
14 ness I have attended many technical courses dealing with all
15 phases of the oil business.

16 MR. LOPEZ: I would tender Mr.
17 Crabb as an expert petroleum engineer for the purposes of
18 this hearing.

19 MR. STOGNER: Any objections?

20 MR. CARR: No objection.

21 MR. STOGNER: Mr. Crabb is so
22 qualified.

23 Q Mr. Crabb, I'd ask you to refer to what's
24 been marked Exhibit Number Six and ask you to identify it
25 and explain it.

1 A Exhibit Number Six is a brief production
2 history of the subject well. It's kind of an overview
3 chronologically presented. I'll just go over some of the
4 high points or the main events in this well's producing
5 life.

6 Note that it was drilled and completed in
7 September of 1964, dually completed in the Morrow and the
8 Cisco.

9 Note that in February, 1979, the Lower
10 Cisco watered out after producing 14.9 BCF and 135 KBL.

11 In September, 1979, the well was recom-
12 pleted to the Upper Cisco and in August of 1984 the Morrow
13 depleted, after producing .5 BCF and 2 KBL.

14 And the most recent event in the well
15 history is in May of 1985, the Upper Cisco watered out after
16 having produced an additional 2.1 BCF, 6 KBL from the upper
17 perfs, bringing the total cumulative production from the
18 Cisco formation to 17 BCF and 141 KBL.

19 Q Will you now refer to what's been marked
20 Exhibit Number Seven and ask you to explain it?

21 A Exhibit Number Seven is a tabulation of
22 the production history on the Cisco formation of the subject
23 well.

24 Beginning in the lefthand column and
25 going to the right I've shown the year, gas sales in MCF,

1 condensate production, water production, both in barrels.
2 On the far righthand column I've shown the water/gas ratio
3 in barrels per million.

4 Please note that for the first nine years
5 production is recorded on a yearly basis because the well
6 did not produce sufficient water to really merit us record-
7 ing it on a monthly basis.

8 Beginning in January of 1975 we've
9 switched to recording production on a monthly basis and you
10 can note how the water production is increased through time.

11 And I direct your attention to the third
12 page where the totals are shown. The well has a cumulative
13 of almost 17 BCF and 141,000 KBL.

14 Q Okay. I ask you now to refer to what has
15 been marked Exhibit Eight and ask you to explain it.

16 A Okay. Exhibit Eight is a graphical rep-
17 resentation of the same information from the previous exhi-
18 bit.

19 I have two curves shown here. One is the
20 gas production rate in million cubic feet per month. That
21 is the solid curve.

22 The dashed curve is the water/gas ratio
23 in barrels per million.

24 Once again this is for the Cisco forma-
25 tion. You'll note that the well produced roughly an average

1 of about 120-million per month, or 4-million per day through
2 1974 and when the water production began to affect produc-
3 tion, gas production, note that the rate steadily began to
4 decrease.

5 At the same time notice that the water
6 production, as shown by the water/gas ratio, steadily in-
7 creased until the well ultimately watered out in February,
8 1979, at a ratio of about 150 barrels per million.

9 In October of '79 the well was
10 recompleted in the Upper -- Upper Cisco and at that point it
11 produced approximately 40-million a month and the water, we
12 were able to decrease the water to about 60 barrels per
13 million but we were not ever able to really eliminate the
14 water production by recompleting it in the upper perms.

15 And finally the well watered out in the
16 Upper Cisco in May of 1985 while producing roughly 1-million
17 cubic feet per day and 300 barrels of water per day.

18 Q Okay. I now direct your attention to
19 what's been marked Exhibit Number Nine and ask you to
20 identify it.

21 A Exhibit Number Nine is a tabulation of
22 the production history for the Morrow formation on a yearly
23 basis. Note that the well has produced a cumulative of
24 almost .5 BCF and almost 2 KBL.

25 Q Okay. Now I refer you to what's been

1 marked Exhibit Number Ten and ask you to identify it.

2 A Exhibit Number Ten is a bottom hole pres-
3 sure over z versus cumulative plot for the Cisco formation
4 in the subject well. I have prepared this for the purpose
5 of estimating reserves.

6 As you can see by extrapolation of the
7 bottom hole pressures through time, that this yields an
8 original gas in place figure of 32 BCF.

9 Now, assuming a 500 pound abandonment
10 pressure bottom hole, that leaves us a total recoverable re-
11 serve figure, according to this exhibit, of 27.5 BCF.

12 Now, we've produced to date a cumulative
13 of 17 BCF from the subject well, so we believe that we have
14 at least 10.5 BCF recoverable reserves from the Cisco, ac-
15 cording to this exhibit.

16 Now in order to substantiate this reserve
17 figure we performed a separate independent calculation, a
18 volumetrics calculation, which we based on the net pay Iso-
19 pach map that has already been submitted by our geologist.
20 I believe that's Exhibit -- Exhibit Four. Now I refer your
21 attention to that exhibit. All the net pay above the orig-
22 inal gas/water contact was planimetered and an original gas
23 in place figure of 36.2 BCF for your lease was arrived at.

24 Now this agrees reasonably well within
25 4.2 BCF, or 13 percent, of the pressure versus cum calcula-

1 tion in Exhibit Ten.

2 Now in a volumetrics calculation assuming
3 the same 500 pound bottom hole abandonment pressure, we cal-
4 culated the recoverable remaining reserves to be 30.9 BCF
5 and therefore, according to volumetrics calculation there
6 remain 13.9 BCF reserves to be recovered from our lease.

7 So based on these two, two methods, two
8 independent methods, the pressure versus cum and the volu-
9 metrics, we estimate that there remain somewhere between
10 10.5 and 13.9 BCF recoverable reserves for us to recover on
11 our lease.

12 Q Okay. I now refer you to what's been
13 marked Exhibit Number Eleven and ask you to identify and ex-
14 plain it.

15 A Exhibit Number Eleven is a map of Cisco
16 cumulative production in current rates as of January of
17 1985. I'd like to direct your attention to the legend in
18 the lower righthand corner of the exhibit, assist you in
19 reading it. Note that beside each well there are two -- two
20 lines of numbers. The upper line contains two numbers. The
21 left-most number is the cumulative gas in BCF and the right-
22 most number on the other side of the slash is the cumulative
23 oil in KBL.

24 On the lower line there are three figures
25 separated by dashes. The left-most number is the current

1
2 gas production in million cubic feet per day. The second
3 number is the current oil production in barrels per day.
4 The third number is the current water production rate in
5 barrels per day.

6 And Monsanto's acreage is shown in yellow
7 and the subject location is highlighted with a red arrow.

8 Now the reason that we're showing this
9 exhibit is really to show that the vast majority of wells in
10 this field have cumulative production figures in the range
11 of 24 to 27 BCF and I'm not talking about ultimate recover-
12 ies or EUR's, but merely cumulative production figures.

13 The ultimate recoveries from many of
14 these wells are going to be substantially higher than the 24
15 to 27 BCF they've currently produced to date.

16 For example, I'd like to direct your at-
17 tention to the well in the northwest diagonal offset to our
18 well in Section 36.

19 I'd like to direct your attention to the
20 well in Section 26, 21, 23. This well has a cumulative pro-
21 duction of 25.9 BCF and a current producing rate of 4.1-mil-
22 lion cubic feet per day.

23 The Amoco well directly to the west also
24 has a cumulative production figure of 25.9 BCF and is cur-
25 rently producing 4.2-million cubic feet per day; that well

1 being in Section 35 of 21, 23.

2 Dropping to the south the well in Section
3 2, 22, 23, the Conoco State, this well has a cumulative pro-
4 duction figure of 26.1 BCF. It is currently producing at a
5 rate of 4.2-million cubic feet per day.

6 And directly south of our subject lease
7 in Section -- the well in Section 1, 22, 23, has a cumula-
8 tive production figure of 23.1 BCF.

9 So due to the fact that all the wells in
10 -- most of the wells in this field have cumulative produc-
11 tions much higher than the cumulative production in our sub-
12 ject well, this indicates that our lease still contains sub-
13 stantial recoverable gas reserves.

14 The Cisco, the Upper Penn formation is a
15 very homogeneous reservoir and due to the fact that the gas,
16 as has been previously testified, is moving up dip from the
17 northeast to the southwest, being displaced by the encroach-
18 ing water from the northeast, it will be necessary for us to
19 drill a well in a southwestern corner of this section in or-
20 der to protect our correlative rights and in order to pro-
21 duce the remaining 10.5 to 13.9 BCF reserves, which are ours
22 on our lease, before this gas escapes and migrates up dip.

23 As can be seen by Exhibit Number Two,
24 which was the Cisco structure map, that our highest position
25 structurally is in the southwest corner, and that's where we

1 proposed our well.

2 Q Okay, I'd now like you to refer to what's
3 been marked Exhibit Twelve and ask you to explain this exhi-
4 bit.

5 A Exhibit Number Twelve is also a Cisco
6 cumulative production map; however, it is -- what it does,
7 it shows current cumulative -- it shows cumulative produc-
8 tion and producing rates as of January, 1975, and you read
9 this chart much like -- much like you read the previous ex-
10 hibit.

11 We have shown this exhibit for the pur-
12 pose of showing that the reason our well only produced 17
13 BCF before watering out is not due to anything other than
14 water encroachment. It's not due to poorer reservoir qual-
15 ity or any -- anything that would make the pay inferior to
16 offset wells because this is a homogeneous reservoir.

17 I've shown this current to January of
18 1975 because this was the date when the subject well first
19 began to produce water. You'll note at this time period the
20 cumulative production of the subject well and its flow rate
21 was very similar to all the offset wells in the area of the
22 subject well.

23 For example, let's once again go to the
24 well in Section 26, 21, 24, I believe. 23. In January,
25 1975, it had produced a cumulative of 11.8 BCF and was pro-

1 ducing 4-million cubic feet per day.

2 Dropping down to the well, the Amoco well
3 in Section 35, 21, 23, it had produced a cumulative of 11.9
4 BCF and was producing at a rate of 4-million cubic feet per
5 day.

6 The well in Section 2, 22, 23, the Conoco
7 State, had produced a cumulative of 11.9 BCF and was produc-
8 ing at a rate of 4.2-million cubic feet per day.

9 The well in Section 1, 22, 23, had pro-
10 duced 12.4 BCF and was producing at a rate of 4.5-million
11 cubic feet per day.

12 Compare all these cumulative production
13 rates, cumulative production and current rates, to the sub-
14 ject well, at the same time period it had produced 11.3 BCF
15 and was producing at a rate of 4-million cubic feet per day.

16 So the point here that we're trying to
17 make is that before the water encroachment the subject well
18 had a production history quite similar to the surrounding
19 wells. So the lower ultimate production of 17 BCF from the
20 subject well was not due to poor reservoir quality but it
21 was due to water encroachment.

22 Q What is Monsanto's position with respect
23 to the magnitude, if any, of any penalty that would be ap-
24 plied to the Cisco production from the unorthodox location?

25 A Well, of course, the best thing from our

1 point of view would be to have no penalty because all we
2 really want is a fair chance to recover the remaining
3 reserves which are contained under our lease; otherwise
4 they'll migrate up dip. They will escape. Offset operators
5 will end up producing them and we'll lose them.

6 So -- however, based on Exhibit Two,
7 which is the Cisco structure map which showed the current
8 gas/water contact, from planimetering the remaining acreage
9 we believe that there are approximately 400 productive acres
10 remaining on our lease up dip from the water table.

11 Now if the Commission does see fit to im-
12 pose some sort of a penalty, we believe that any penalty in
13 excess of the productive acreage ratio, or 37 percent, would
14 be excessive and harsh.

15 Q What is your position with respect to any
16 penalty regarding the Morrow formation?

17 A Well, I do not believe that we should be
18 penalized on the Morrow production.

19 Q And the reason for that?

20 A First of all, as previously testified,
21 the Morrow is only a secondary objective, our primary objec-
22 tive being the Cisco formation. The reserves that are in-
23 volved in the Morrow we feel are very small. In fact, we
24 could not justify drilling a well in this location exclu-
25 sively to the Morrow, based on a small amount of reserves

1 involved.

2 The only way that we could justify going
3 to the Morrow is if we already had a prospective location,
4 and since we're going to the Cisco anyway, differential eco-
5 nomics will justify drilling the additional 2000 feet to the
6 Morrow.

7 Additionally, as was shown on Exhibit
8 Five, which was the Morrow structure map, due to the fact
9 that there is a fault to the west of our section (not under-
10 stood) the contesting parties suffer no drainage from our
11 well; therefore, due to the small amount of reserves invol-
12 ved and due to the high risk involved in drilling the Mor-
13 row, we request that no penalty be imposed on this forma-
14 tion.

15 Also, due to the fact that if we did com-
16 plete the well in the Morrow and a penalty were imposed,
17 production rate would be so low in the first place that any
18 type of a penalty would probably render the Morrow comple-
19 tion unprofitable.

20 Q Did you notify the offset operators in
21 the Sections 1, 2, and 35 of the application in this case?

22 A Yes, all the contesting parties were not-
23 ified.

24 Q And all the operators. Is it your opin-
25 ion that the granting of the application for the unorthodox

1 well location without penalty is in the interest of preven-
2 tion of waste and protection of correlative rights?

3 A Yes, it is.

4 Q Were Exhibits Six through Twelve prepared
5 by you or under your supervision?

6 A Yes, they were.

7 MR. LOPEZ: I would like to of-
8 fer Monsanto's Exhibits Six through Twelve.

9 MR. STOGNER: Any objections?

10 MR. CARR: No objection.

11 MR. STOGNER: Exhibits Six
12 through Twelve will be admitted into evidence at this time.

13 MR. LOPEZ: I have no further
14 questions of this witness.

15 MR. STOGNER: Mr. Carr, your
16 witness.

17

18 CROSS EXAMINATION

19 BY MR. CARR:

20 Q Mr. Crabb, what are the spacing require-
21 ments for the Upper Penn in this particular pool?

22 A Well, the spacing requirement, each well
23 shall be located no closer than 1650 feet from the lease
24 lines.

25 Q And so the closest standard location you

1 drill to the proposed location would be 1650 from the south
2 and 1650 from the west of Section 36.

3 A That is correct.

4 Q And in essence you're moving both to the
5 west and to the south 80 percent closer than you're permit-
6 ted to under existing pool rules.

7 A I haven't ratio-ed it out but that's pro-
8 bably close.

9 Q You're 330 and this is 1650.

10 A Yes.

11 Q Whatever percentage that is, that is the
12 percentage.

13 A Yes.

14 Q The spacing units in each of these pools
15 are 640 acres, are they not?

16 A That is correct.

17 Q And that would be acreage that we can as-
18 sume that a well would drain.

19 A Are you talking about the Cisco and the
20 Morrow or --

21 Q Yes, both of them.

22 A I would say that the Cisco probably will
23 drain 640 acres.

24 Q What about the Morrow?

25 A Well, it's -- it's hard to say. Our well

1 in Section 36 produced only half a BCF. We had over 60 feet
2 of pay. So if you're going to calculate volumetrics you're
3 going to get a pretty small drainage area.

4 Q As to the Morrow, you indicated in terms
5 of a penalty that you would anticipate that it would not be
6 capable of a high producing rate in all probability, is that
7 correct?

8 A That is our viewpoint.

9 Q You really won't know that, however, un-
10 til you get there, isn't that right?

11 A That's true.

12 Q And if you get any high producing rate
13 then you might be draining from the adjoining property.

14 A Well, that is a possibility; however, all
15 indications are due to the low Morrow cumulative in this
16 area of the field that it would -- that we would experience
17 either a very low producing rate or we might not find any
18 productive acreage at all in the Morrow.

19 Q But for some reason it's spaced on 640-
20 acre spacing.

21 A Those are the field rules.

22 Q Now you've indicated that the Morrow is
23 your secondary objective. That fact alone doesn't have any
24 bearing on what that would drain, what a completion in that
25 interval would drain, does it?

1 A No, not that itself.

2 Q As to the penalty that you're recom-
3 mending for a Cisco well, if I understand your recommenda-
4 tion, it was that a straight acreage approach should be
5 taken and that you should be entitled to have that produc-
6 tion restricted by no more than a ratio of 400 acres to the
7 640, I think, in the section.

8 A That is correct.

9 Q And to do that we would have to assume
10 that each of the acres in that section and the offsetting
11 section are comparable, is that not true?

12 A Would you repeat that?

13 Q Are each of the -- would you -- as we go
14 -- let's look at Section 35 for a moment.

15 A Okay.

16 Q If we look at the evidence presented by
17 you and earlier by your geologist, there is a thicker pay
18 section in 35 than 36.

19 A That's correct.

20 Q And that you also are higher structurally
21 in Section 35 than in 36.

22 A That is correct.

23 Q And that the acreage in this pool there-
24 fore in 35, each of those individual acres has a greater
25 potential than each of the acres in 36.

1 A Based on the amount of pay.

2 Q Now your well that you're proposing is
3 only 330 feet off that common lease line between Sections 35
4 and 36.

5 A Yes.

6 Q As you have studied this area, have you
7 noticed that the -- the influx of water having any effect on
8 the pressure in any of these wells?

9 A This field is a water drive field; how-
10 ever, the pressure versus cumulative curves that I've looked
11 at pretty much extrapolate a straight line, which would in-
12 dicate (not clearly understood).

13 Q So there has not been a pressure increase
14 as a result of the water influx.

15 A There may be some pressure maintenance.
16 It's known as a water drive field but from what I've exa-
17 mined I haven't seen it.

18 Q Now, you have testified that this is a
19 fairly homogenous reservoir.

20 A Yes.

21 Q Without that pressure increase, would you
22 not anticipate fairly radial drainage for wells in this
23 pool?

24 A Well, it's possible, but it would depend
25 on different factors.

1 Q If it is possible that you would drill at
2 your proposed location and it's possible that you'd have
3 radial drainage, as you testified earlier that you drained
4 640 acres in the Upper Penn, a substantial portion of the
5 reserves that would be produced in your well, your new well,
6 would come off the adjoining tracts, would they not?

7 A If it were radial drainage, but once
8 again, the -- we believe that the production is moving up
9 dip as it's being displaced by the water.

10 Q Now in estimating recoverable reserves
11 under these tracts, what percentage of recovery were you us-
12 ing?

13 A I believe I used 70 percent recovery on
14 the volumetrics.

15 Q In your volumetrics were you assuming a
16 640-acre drainage?

17 A Yes. I'll have to backtrack on that. On
18 my volumetrics calculation I used the abandonment pressure,
19 they were based on pressure.

20 Q Okay. And you were using 640-acre drain-
21 age?

22 A Yes.

23 Q Mr. Crabb, why is Monsanto proposing to
24 simultaneously dedicate the wells in Section 36 if the
25 existing well has watered out?

1 A Well, the field spacing is 640 acres.

2 Q Do you have any plans to try and return
3 the Lowe State No. 1 Well to production?

4 A No, that well cannot be -- we don't be-
5 lieve it can be restored to production. We'll either P & A
6 the well or possibly turn it to salt water disposal.

7 Q So it's your intention to only have one
8 producing well on Section 36, that being the well you are
9 here seeking approval for today.

10 A That is correct.

11 Q Now if we look at the wells surrounding
12 your -- surrounding Section 35, if we go to Section 25 im-
13 mediately north of -- of the subject section, what is the
14 current status of that well?

15 A That well is shut in, I believe. Let me
16 check here on Exhibit Eleven. The well was shut in on Aug-
17 ust of '83.

18 Q And did it water out, do you know?

19 A Yes, sir.

20 Q Now your well in Section 36 has watered
21 out. What about the well directly to the south of it in
22 Section 1?

23 A This well is currently making about 800
24 MCF per day and it's making over 100 barrels of water a day,
25 so --

1 Q Okay, and as of what date? Do you know
2 what date those figures are?

3 A Well, these are as of January of 1985.

4 Q Now, as to the well that is operated by
5 Amoco in Section 35, do you know whether or not that's a
6 nonmarginal well?

7 A I'm sure it's nonmarginal.

8 Q Would that also apply to the Conoco State
9 Well that you operate in Section 2?

10 A Yes.

11 Q Now would that -- do you know whether or
12 not that would apply to the well up in Section 26?

13 A It -- I would think so.

14 Q This is a prorated pool, is it not?

15 A Yes, it is.

16 Q And it's a straight acreage basis for the
17 allowable in this area.

18 A Yes.

19 MR. CARR: No further ques-
20 tions.

21 MR. STOGNER: Mr. Lopez, re-
22 direct?

23

24

25

CROSS EXAMINATION

1
2 BY MR. STOGNER:

3 Q Mr. Crabb, let's refer to your geolo-
4 gist's Exhibit Number Two. The reason I'm referring to this
5 one, it shows the gas/water contact very well.

6 A Yes.

7 Q Do you know the well location require-
8 ments in both these pools as set out by the special rules
9 and regulations?

10 A It's 1650 from the lease lines.

11 Q Okay. So the furthest standard location
12 in Section 36 to the south and west would be 1650 feet from
13 the south line and 1650 feet from the west line?

14 A Yes, sir.

15 Q Okay. If a well was put in that location
16 in your opinion what length of time would it be before that
17 well was watered out?

18 A In my opinion it would be a very short
19 period of time before that well were watered out because
20 it's just too close to the existing location which we know
21 is watered out, and for us to -- to have the best chance at
22 getting up dip and gaining some structure and getting a pro-
23 ductive well, we need to move as far away from that well to
24 the southwest as we can.

25 Q If a well was located at that standard

1 location 1650 from the west and 1650 from the south, what
2 percentage of the additional roughly, what did we figure, 10
3 MMCF?

4 A 10.5 to 13.9 are the two estimates.

5 Q About what percentage do you think would
6 be produced from a well at the standard location?

7 A Well, I'd have to -- I'd have to calcu-
8 late that. First of all, we wouldn't drill it. I'd have to
9 calculate it. I'm sure it would be a great big number.

10 Q Let's refer to your Exhibit Number Ten.
11 That's your BHP/z curve?

12 A Yes.

13 Q Is it safe to say that the Cisco forma-
14 tion is a water drive?

15 A Yes.

16 Q Okay. Is this type of calculation
17 standard for a reservoir with a water drive system?

18 A No, it's really not, but I'll have to
19 clarify my answer.

20 According to the literature, the studies
21 that have been done on this field, it has water coming in
22 from the northeast, water encroachment, and this has been
23 proven, you know, time and again as you follow the wells
24 that have progressively watered out and you can see the ad-
25 vancing of the water front; however, a study that was done

1 on this field in 1975 by Frinzel and Sharp, they stated that
2 they believed it to be water encroachment but at that time
3 they had not seen any pressure maintenance that you would
4 expect from a water drive reservoir.

5 We have not seen that either and from my
6 discussions with other engineers, offset operators, ARCO,
7 CONOCO, Marathon, they all used these pressure versus cumu-
8 lative curves as reliable methods of estimating reserves,
9 because we haven't seen that pressure maintenance as of yet.

10 Q As a petroleum engineer what other types
11 of calculations could be used to figure the cumulative out
12 of (inaudible)

13 A Well, we also performed a volumetrics
14 calculation on the subject acreage under our lease, and that
15 is a completely independent method from the pressure versus
16 cumulative calculation, and we received a higher original
17 gas in place figure for the volumetrics calculation.

18 I guess the best thing that we could say
19 about this reservoir is that it is a weak water drive, par-
20 tial water drive, but as far as having seen the real pressure
21 maintenance aspect of it, I haven't seen that yet.

22 Q Let's refer now to Exhibit Number Five.
23 This particular exhibit was introduced by your geologist, is
24 that right?

25 A Yes, sir.

1 Q In drilling your Lowe State No. 1, does
2 it show in your records -- I know you weren't around in '64
3 but in the records does it show that this fault might have
4 been encountered while drilling this well?

5 A To the best of my recollections, no.

6 Q What plans does Monsanto Oil Company have
7 for your Lowe State No. 1? Is the -- both strings of tubing
8 still there?

9 A Yes, sir, both strings are still in the
10 well.

11 We -- we have the option of considering
12 either plugging and abandoning the well or turning it into a
13 disposal well.

14 We do not feel there is anyway we can re-
15 store the well to production.

16 MR. STOGNER: I have no further
17 questions of this witness.

18 Are there any other questions
19 or Mr. Crabb?

20 There being none, you may be
21 excused.

22 Let's take a fifteen minute
23 break right now.

24

25 (Thereupon a recess was taken.)

1 MR. STOGNER: The hearing will
2 come to order.

3 Mr. Carr, I believe it's your
4 turn.

5
6 STEPHEN P. SCHEFFLER,
7 being called as a witness and being duly sworn upon his
8 oath, testified as follows, to-wit:

9
10 DIRECT EXAMINATION

11 BY MR. CARR:

12 Q Will you state your full name and place
13 of residence?

14 A Stephen P. Scheffler. I reside in Hous-
15 ton, Texas.

16 Q Mr. Scheffler, by whom are you employed
17 and in what capacity?

18 A I'm employed by Amoco Production Company
19 and I'm employed as a petroleum reservoir. I work in the
20 Regional Regulatory Affairs Section in Houston.

21 Q Petroleum reservoir engineer?

22 A Petroleum engineer.

23 Q Have you previously testified before this
24 Division and had your credentials as a petroleum engineer
25 accepted and made a matter of record?

1 A Yes, sir.

2 Q Are you familiar with the application
3 filed in this case on behalf of Monsanto?

4 A Yes, sir.

5 Q Are you familiar with the subject area?

6 A Yes, sir.

7 MR. CARR: Are the witness'
8 qualifications acceptable?

9 MR. STOGNER: Any objection?

10 MR. LOPEZ: None.

11 MR. STOGNER: Mr. Scheffler is
12 so qualified.

13 Q Mr. Scheffler, will you briefly state
14 what Amoco is seeking by appearing in this case today?

15 A Amoco is seeking the imposition of a pen-
16 alty on the proposed unorthodox location that Monsanto has
17 made application for here today, based upon the fact that
18 the well will be located some 80 percent from a standard
19 location.

20 Q Are you familiar with the pool rules for
21 the two pools, the Upper Pennsylvanian Pool as well as the
22 Morrow Pool in this area?

23 A Yes, sir.

24 Q And what are the spacing units provided
25 for for both the Upper Penn and the Morrow?

1 A For both of those regulatory field --
2 pools, the spacing requirements are such that a well be
3 drilled 1650 feet from a section line or proration unit and
4 that the wells be assigned 640-acre proration units.

5 Q Based on the exhibits that have presented
6 by Monsanto's geologist prior today, are there standard
7 locations above the water contact in Section 36 that are
8 available to Monsanto for development?

9 A Yes, sir, I can point to two locations.
10 One would be in the southwest quarter of Section 36. That
11 location would be 1650 feet from the west line of the sec-
12 tion and 1650 feet from the south line.

13 The other location would be 1650 feet
14 from the east line of the section and 1650 feet from the
15 south line of the section.

16 Q Mr. Scheffler, if we go on an east/west
17 axis, how much too close to the south line of Section 36 is
18 Monsanto's proposed location?

19 A On an east/west axis they are some 80
20 percent too close.

21 Q To the west line?

22 A To the west line, yes.

23 Q And on the north/south axis, how much too
24 close are they to the south line?

25 A Again 80 percent too close.

1 Q You heard Mr. Crabb testify today as to
2 the general nature of the Upper Penn in this area. Do you
3 concur in his recommendations or his interpretation?

4 A The lithological description I would
5 agree with. It is basically a vugular, dolomitized pay that
6 is very fractured, which is the fractures are the source for
7 the movement of the gas, the very prolific movement of the
8 gas and the very homogenous reservoir.

9 I would agree, or do feel very strongly,
10 that to categorize this as a water drive reservoir is com-
11 pletely incorrect. It is basically what we're seeing here,
12 water encroachment that is following as a result of the
13 withdrawal of the gas.

14 Q Mr. Scheffler, would you anticipate there
15 being radial drainage in the Upper Penn?

16 A I certainly would.

17 Q I believe you were present when Monsanto
18 testified that they would anticipate a poor well in the Mor-
19 row. Do you have any response to that?

20 A The Morrow is a very difficult formation
21 to determine what kind of well you're going to have. I
22 don't think that can be determined until after the well is
23 drilled, but the potential is certainly there for a good
24 well as well as a poor one.

25 Q If a good well should be drilled at that

1 location, would Amoco have available to it at that time an
2 opportunity to seek a penalty on that well's production?

3 A If a well's already been drilled it would
4 be very impossible for Amoco to get a penalty assessed.

5 Q No, Mr. Scheffler, would you refer to
6 what has been marked as Amoco Exhibit Number One and first
7 identify this for the examiner.

8 A Exhibit Number One is a portion of the
9 Indian Basin Upper Penn Field area. It comprises the sec-
10 tions that I've noted on this exhibit.

11 In particular I've noted in Section 36
12 the location of Monsanto's Lowe State Gas Com No. 1 Well.
13 I've also noted on this -- on this section the location of
14 an orthodox or standard location, being 1650 feet from the
15 east line and 1650 feet from the south line, that location
16 moving in the direction that Monsanto is proposing to move.

17 Q Is that the closest standard location
18 possible under the existing pool rules to the proposed Mon-
19 santo location?

20 A Yes, sir, it is.

21 Q Now I would like for you just briefly to
22 tell us what the status of each of the wells in each of
23 these sections is as you understand it at this time.

24 A My understanding is, starting in Section
25 25, that the Indian Basin Well No. 3-C as shown there, ac-

1 tually that's indentified, should be identified as the In-
2 dian Basin No. 1-F, that well has not produced since March
3 of '83, and has been shut in and due to very high water pro-
4 duction.

5 Monsanto has testified their well is cur-
6 rently shut in due to high water production, and as well the
7 ARCO Well, the Smith Federal No. 1 in Section No. 1 to the
8 south of Section 36. My understanding from speaking to ARCO
9 just this past week is that well is also shut in due to high
10 water production.

11 Q Mr. Scheffler, are all three of the wells
12 on the western portion of this plat, being the wells in Sec-
13 tions 26, 35, and in Section 1, are all of those a nonmar-
14 ginal well?

15 A Yes, sir, everyone of those wells are
16 currently classified as nonmarginal gas producing wells in
17 the Upper Penn.

18 Q If we look at the location proposed by
19 Monsanto as depicted on this exhibit, would it be possible
20 for Amoco to offset this well to protect itself from drain-
21 age?

22 A It would be very difficult for Amoco to
23 probably justify such a drilling venture. We would definite-
24 ly suffer drainage as a result of the placement of that well
25 at a 330 location as a result of that.

1 Q Is it difficult for Amoco -- for what
2 reason is it?

3 A Basically, probably it would not be a
4 commercial venture on Amoco's part.

5 Q I'd like to direct your attention to the
6 location that you have depicted in Section 36 being 1650
7 from the south and west lines.

8 Would you explain to the Examiner what
9 that circle is that circumscribes that well?

10 A Yes, sir, that circle around the 1650 lo-
11 cation represents a 640-acre drainage area that is consis-
12 tent with the spacing or proration acreage that is to be as-
13 signed an Upper Penn Well, which should be consistent with
14 the drainage area.

15 I have identified by that circle the area
16 that will be drained outside of Section 36.

17 Q What is the -- now, you've got another
18 circle circumscribing the proposed location.

19 A Yes, sir, the second circle, which is
20 moved down to the southwest and it circumscribes the red dot
21 which is the proposed unorthodox location, would represent
22 the 640-acre drainage area that would be exhibited by a well
23 drilled at that location.

24 As well that area that lies outside of
25 Section 36 that is within that circle would be the area that

1 would be drained by that well outside of Section 36.

2 Q Now there is a cresecent shaped piece
3 that you have cross hatched that is in Section 35, Sections
4 2 and 1. What does that indicate?

5 A That is the net acreage that would be
6 realized or drained as a result of the well being moved from
7 a standard location to a 330 location.

8 Q So this is the additional drainage area
9 that would be gained by Monsanto by moving in that -- by
10 moving to the south and west.

11 A Yes, sir.

12 Q And how many acres are in that additional
13 drainage area?

14 A It's approximately 210 acres.

15 Q Mr. Scheffler, would you now refer to
16 Amoco Exhibit Number Two, identify this, and review it for
17 Mr. Stogner?

18 A Yes, sir. Exhibit Number Two is Amoco's
19 proposal for the establishment of a production limitation
20 factor for the Monsanto unorthodox well location. I have
21 shown here how that limitation factor should be calculated.

22 As I've mentioned, that there is a varia-
23 tion from a standard location in the north/south direction
24 of some 1320 feet, or 80 percent of the 1650 location, and
25 in the east/west direction there's a variation of some 1320

1 feet, or again, 80 percent of the 1650-foot location. As I
2 mentioned here, the net acres of encroachment on offset ac-
3 reage by moving the well to a 330 location is some 210 ac-
4 res, or 33 percent of a 640-acre drainage area.

5 We would recommend that the penalty on
6 this production on this well, should it be drilled, be cal-
7 culated by taking into consideration the 80 percent
8 east/west factor, the 80 percent north/south factor, and the
9 33 percent net acre factor.

10 Taking these factors into consideration,
11 we would feel that a 64 percent restriction of the unortho-
12 dox well's production should be required, or, in other
13 words, a 36 percent production limitation factor should be
14 applied against the well's prorated allowable.

15 Q Is this a method of imposing a penalty
16 consistent with the approach used by the Division in other
17 recent unorthodox well location cases?

18 A Yes, sir, it is.

19 Q And would you recommend that this produc-
20 tion limitation factor be applied to each of the zones in
21 the well?

22 A Yes, sir, I would.

23 Q In your opinion is an imposition of a
24 penalty of this nature fair to Monsanto?

25 A Yes, sir, I certainly feel it is.

1 Q And why is that?

2 A Given the fact that Monsanto is -- has
3 recovered a significant amount of gas from the existing
4 well, the Lowe State Gas Com No. 1, they are in a structur-
5 ally lower position, as well they have much less thickness
6 in their well, as they have indicated, than the up structure
7 well, particularly Amoco's well to the west in Section 35.

8 Q And the penalty that you're recommending
9 is actually based on a straight acreage approach, is it not?

10 A Yes, sir, it is.

11 Q And what you've just stated indicates
12 that the acreage on the Monsanto tract is not as good in
13 terms of its producing capability as that on the Amoco pro-
14 perty.

15 A Yes, sir, that is correct.

16 Q In your opininon will granting this ap-
17 plication with the imposition of 64 percent penalty protect
18 the correlative rights of Amoco?

19 A Yes, sir, it will.

20 Q Will it be in the best interest of con-
21 servation and the prevention of physical and economic waste?

22 A Yes, sir, it will.

23 Q Were Exhibits One and Two prepared by
24 you?

25 A Yes, they were.

1 MR. CARR: At this time, Mr.
2 Stogner, we'd offer into evidence Amoco's Exhibits One and
3 Two.

4 MR. STOGNER: Are there any ob-
5 jections?

6 MR. LOPEZ: No.

7 MR. STOGNER: Exhibits One and
8 Two will be admitted into evidence.

9 MR. CARR: That concludes my
10 direct examination of Mr. Scheffler.

11 MR. STOGNER: Mr. Lopez, your
12 witness.

13

14 CROSS EXAMINATION

15 BY MR. LOPEZ:

16 Q Mr. Scheffler, referring to what is your
17 Exhibit Number One, it's true, is it not, that neither ARCO
18 nor Monsanto that have been notified of the application for
19 hearing in this case have opposed Monsanto's application
20 that --

21 A No, sir. That -- that is true, yes.

22 Q And therefore, the only opposition is
23 Amoco's, which controls and operates the acreage in Section
24 35.

25 A Yes, sir, that is correct.

1 Q Have you calculated the cross hatched
2 area in Section 35 alone to determine what acreage factor
3 that would constitute?

4 A No, sir, I have not.

5 Q Would you agree with me that it would be
6 less than a third of that that's been testified to earlier,
7 210 acre feet, just by looking at the exhibit?

8 A It would be less.

9 Q The spacing and proration rules pertain-
10 ing to the Indian Basin Pool and the Cisco production are
11 based on the acreage factor, are they not?

12 A I'm sorry, would you repeat that, Mr.
13 Lopez?

14 Q The spacing and prorationing rules that
15 pertain to Indian Basin Pool and the subject application are
16 based on acreage factors and not net pay factors, aren't
17 they?

18 A Yes, sir, that is correct.

19 Q Therefore, the fact that there is more,
20 presumably, net pay in the Amoco Section 35 as opposed to
21 Monsanto's Section 36 is not a factor that the Commission
22 takes into account in determining allowables or spacing re-
23 quirements in this pool, is that correct?

24 A From the standpoint of the calculation of
25 the allocation, proration allocation factor, that is not

1 taken into consideration.

2 Q Now, answer me this question, if you can:
3 Would you recommend that Amoco drill a Morrow well solely to
4 test the Morrow formation at a standard location in the
5 southeast quarter of Section 35, based on the geology of the
6 area as you know it and other reservoir and production
7 characteristics?

8 A Given the information I have, which is --
9 I would have to say that probably not.

10 Q Let me ask you this question. If you
11 were in the position of Monsanto in Section 36, recognizing
12 the water encroachment, and knowing the relative production
13 capabilities of the wells in the area in question, would
14 you recommend that a well be drilled at a standard location
15 in the southwest quarter of Section 36?

16 A I haven't evaluated that situation so I
17 really can't give you an answer to that question.

18 Q Is it your serious contention that --
19 well, let me rephrase the question.

20 You've acknowledged, as I understand, the
21 fact that this is a water displacement reservoir and that
22 the gas is migrating up dip generally in the direction as
23 indicated on our Exhibit Two. Is that -- would you agree
24 with that?

25 A I agree with the fact that there is water

1 encroachment occurring and that it is occurring at -- as a
2 result, yes, in more of an up dip location, yes, than -- oc-
3 ccurring as a result of the withdrawal of the gas. It's not
4 a water drive situation where you have a very complete water
5 front moving up dip.

6 Q And I think you've testified that the
7 well -- that the pool is homogeneous and --

8 A Yes, sir.

9 Q -- therefore is not only theoretically
10 possible but actually conceivable that a well, a single well
11 drilled at the upper limits of the reservoir could drain all
12 the gas in the reservoir over time based on its reservoir
13 characteristics.

14 A It's conceivable.

15 Q In light of this fact, and in light of
16 the fact that the water is encroaching in Section 36, is
17 there any other conceivable way that the operator of that
18 section could recover its fair share of the reserves under-
19 lying the tract without moving to the uppermost limits of
20 the structure within the lease tract?

21 A I think the movement to an uppermost
22 structural location is a -- is a position that would allow
23 you to recover reserves that you've not been able to recover
24 in the No. 1 Well; however, I don't deny that right. I deny
25 you the right to recover reserves offsetting that location

1 that do not rightfully belong to you.

2 Q Is it your testimony, then, that you be-
3 lieve that there will be actually migration of gas from Sec-
4 tion 35 to Section 36 if the well is drilled at the unortho-
5 dox location?

6 A There will certainly be drainage, yes,
7 sir.

8 Q Given the nature of the reservoir charac-
9 teristics, do you think that kind of drainage will begin to
10 amount to the kind of penalty you've recommended here today?

11 A I think the penalty is perfectly in order
12 given the location of the proposed well.

13 Q Do you have any opinion as to how soon,
14 if the proposed well is drilled, that water might encroach
15 at that (not clearly understood.)

16 A No, sir, I don't. I would only say that
17 this reservoir is treated more, I think, as a volumetric re-
18 servoir than as sort of a water drive reservoir.

19 Q Would you agree with me that the approxi-
20 mate or average production rates of the wells in the vicin-
21 ity ranges about the area of 4-million per day?

22 A What vicinity are you talking about?

23 Q Let's say, I think the wells, when
24 they're producing the Monsanto Well No. 1 and your well in
25 Section 35 and the Monsanto Well in Section 2, most of these

1 wells do produce in the area of about 4-million a month, I
2 think, as shown by our exhibits, a million a day?

3 A Well, let me, let me just say this. From
4 the information I have, I would admit that Amoco's Federal
5 "C" No. 1 Well, as of June produced about 4.5-million a day
6 on an average producing day basis, and that the Conoco well
7 to the south in Section 2 produced 4.9-million a day.

8 Monsanto's Well, as of that date, was
9 producing about 1 million a day and 285 barrels of water,
10 and as of that date the ARCO Well was producing 716 MCFD a
11 day and 210 barrels of water.

12 And in Section 25 to the north of Section
13 36, that well was not producing at all because it had
14 watered out.

15 Q If Monsanto were successful in completing
16 a well at the proposed location, would you be surprised if
17 it were capable of producing about the same rate, 4-million
18 a day?

19 A Would I be surprised? Not necessarily.

20 Q Would you be surprised if it were capable
21 of producing at much greater rates than that?

22 A I, you know, all I can say is that by
23 moving structurally high you're going to be in a well that
24 should be consisten in terms of its production characteris-
25 tics to wells on structure with that well, which can be bet-

1 ter than what you're -- you were producing in June of '65,
2 or '85.

3 Q And if I heard your testimony correctly,
4 I don't believe you had particularly any argument with our
5 estimate of remaining recoverable reserves underlying Sec-
6 tion 36.

7 A I haven't made the calculations myself.
8 The only thing that I would say is that there certainly are
9 some remaining reserves to be recovered.

10 Again, as I said, I have not made those
11 calculations myself.

12 Q If a penalty were adopted along the lines
13 you recommended, which would reduce the production rate to a
14 rate within the range of a million to a million and a half a
15 day, do you believe it possible for Monsanto to recover the
16 remaining reserves of approximately 10-billion cubic feet
17 before the well would suffer water encroachment?

18 A I have no way of knowing that.

19 MR. LOPEZ: No further ques-
20 tions.

21 MR. STOGNER: Mr. Carr?

22 MR. CARR: No further ques-
23 tions.

24 MR. STOGNER: I have no ques-
25 tions of Mr. Scheffler.

1 Is there any other questions of
2 Mr. Scheffler?

3 If not, he may be excused.

4 We're ready now for closing
5 statements, unless you would like to recall any of your
6 witnesses, Mr. Lopez.

7 MR. LOPEZ: No, Mr. Examiner.

8 MR. STOGNER: Before I call for
9 closing statements, yesterday I received a letter from the
10 Land Commissioner, Jim Baca, in support of this application.
11 I will make sure that copies were made and given to both of
12 you.

13 MR. LOPEZ: Will it be entered
14 in the record as well?

15 MR. STOGNER: Yes, it will be
16 entered in the record, since they are the land -- they are
17 leaseholders.

18 I'm sorry, the landowner.

19 Mr. Carr, you may go first.
20 Mr. Lopez, you may go last.

21 MR. CARR: May it please the
22 Examiner, Monsanto is before you today seeking the approval
23 of a nonstandard well location in the Indian Basin Upper
24 Penn and in the Morrow formations.

25 Both of these pools are spaced

1 on 640-acre spacing units. The reason the Division has
2 spaced them on this spacing pattern, we submit, is because
3 those are the acres that each well is presumed to drain.

4 To protect from drainage that
5 isn't offset by counter-drainage in these pools, the Divi-
6 sion has also set standard setbacks from the common lease
7 line.

8 To drill at a standard location
9 in this pool Monsanto would have to be 1650 feet from the
10 offsetting -- from their lease line or from the section
11 line.

12 Instead they want to locate
13 their well 330 feet out of the southwest quarter of Section
14 36. In so doing they're 80 percent too close to the offset-
15 ting tract to the west and the offsetting tract to the
16 south. In so doing they are gaining advantage on Amoco who
17 operates a property immediately to the west and therefore we
18 have come in and are asking you to set a penalty on that
19 well's ability to produce so that we can be protected from
20 drainage.

21 The only other option available
22 to Amoco would be to go out and drill a well, a well that
23 would be noneconomic.

24 It was noted by Monsanto in
25 their questioning a few moments ago of Mr. Scheffler, that

1 Monsanto, the diagonal offset to the southwest had not ob-
2 jected, nor had ARCO.

3 I think it's important to note
4 that when we look at the penalty formula that has been tra-
5 ditionally used by the Division in imposing penalties on
6 nonstandard locations, that the penalty is based on the lo-
7 cation of the well, not based on how many offsetting opera-
8 tors happen to object. We don't have a situation here where
9 if all of the offsetting operators don't object the penalty
10 is going to be somehow reduced, for no matter how many
11 people object, the drainage is the same and if only Amoco
12 objects or everyone objects, the drainage that they will
13 sustain is the same and it is a false issue and a false
14 question to start trying to decide whether one-third or two-
15 thirds or 100 percent of those offsetting objected. Once
16 you have an objection, someone is complaining because they
17 well is being drained, or their acreage is being drained and
18 they're asking you to impose a penalty to protect them so
19 they won't have to go out and drill an uneconomic well.

20 The penalty that's proposed is
21 based on the straight acreage concept. It doesn't, in this
22 case, take into account that much of Section 36 is not going
23 to contribute to the Monsanto well.

24 It doesn't take into account
25 that a disproportionately great share of the reserves are

1 going to come off of Amoco's property because it's at a bet-
2 ter structural position because there's greater net pay
3 thickness in that area.

4 What we're proposing is a pen-
5 alty that's based on a straight acreage approach.

6 Now if we look at the Upper
7 Penn, there's no dispute in the record that one well will
8 drain 640 acres. Both parties agree it's a homogeneous re-
9 servoir and yet Monsanto believes they should be able to
10 come 80 percent closer to us than allowed by statewide rules
11 or special pool rules, and do that without a penalty. We
12 think that clearly violates our correlative rights.

13 Now as to the Morrow, well, we
14 (not clearly understood) no penalty in the Morrow, stated
15 there's a fault out here but we don't know where it is.
16 It's never been intersected by a well. We submit that that
17 is no reason at all, a fault that cannot be precisely lo-
18 cated, no reason to not impose a penalty on Morrow produc-
19 tion. Because it's a secondary objective there's no reason
20 and furthermore, because we don't think it's going to be a
21 very good well is not a reason not to impose a penalty be-
22 cause we're not going to know if we've got a well, a good
23 well or not, until we get down there and we'll find our-
24 selves, Amoco, in a position where we might have a good Mor-
25 row well 330 feet off our lease line in a pool where the

1 spacing is 640-acres and no penalty on its production. We
2 would then be looking at drilling an uneconomic well and
3 even Monsanto admits that drilling to the Morrow alone out
4 here is not an economically attractive venture.

5 So we submit to you that the
6 penalty we have recommended must be imposed. If the well
7 that they propose to drill is not an economic venture with
8 the penalty imposed that is necessary to protect the offset-
9 ting operators, then they have a noncommercial venture.
10 They have a noneconomic reserves and they shouldn't drill
11 and we shouldn't be required, just because we're offsetting
12 a noneconomical venture to contribute reserves, to let them
13 be drained without a penalty to simply bail them out from an
14 economic point of view.

15 We think there's only one way
16 you can protect correlative rights and that is to impose a
17 substantial penalty.

18 And I would remind you that you
19 have a duty to all interest owners, not just the State of
20 New Mexico. Of course they don't want a (not clearly under-
21 stood). The Land Office wants to come in and drain us just
22 exactly like Monsanto would want to. It's as easy to read
23 as anything that's come in here today.

24 But you have a duty not only to
25 the State but you have a duty to Amoco. You have a duty to

1 the Federal government, who is also a royalty owner, and you
2 can only carry out that duty to everyone by imposing a pro-
3 per penalty. In so doing you will prevent the economic
4 waste that might be caused by the drilling of an unnecessary
5 well.

6 We therefore submit that the
7 application of Monsanto should be approved but approved only
8 with the imposition of a production limitation factor of 36
9 percent.

10 MR. STOGNER: Thank you, Mr.
11 Carr.

12 Mr. Lopez?

13 MR. LOPEZ: Thank you, Mr. Exa-
14 miner.

15 If the issue were so simplistic
16 as to be measured with a ruler, there would be no point in
17 having a hearing with respect to the magnitude of the penal-
18 ty to be imposed.

19 It seems clear from the basics
20 of the experience of the Commission that each case has be
21 weighed on the basis of the facts before the Commission at
22 this time.

23 It seems apparent at the outset
24 that the penalty on the Morrow production is essentially a
25 non-issue. The evidence presented by Monsanto has shown

1 that there is virtually no Morrow production due to the
2 fault to be drained on the Amoco acreage.

3 In addition, their own witness
4 has testified that he would not recommend a Morrow well at a
5 standard location in the southeast quarter of their section.

6 Further, the evidence has shown
7 that no matter what the actual spacing rules are, that on
8 the basis of the Morrow reserves in the wells in the area
9 that there cannot conceivably be a 640-acre drainage pattern
10 pertaining to that production.

11 It is clear that it is only
12 being viewed as a secondary target in order to make the ven-
13 ture to drill the Cisco well attractive and prudent.

14 With respect to the Cisco pro-
15 duction, the evidence is undisputed that there are remaining
16 reserves to be produced underlying the Monsanto tract. The
17 question then becomes as to what is a reasonable method of
18 allowing the operator of that tract to recover his reserves
19 and compensate the mineral owners for their just share of
20 the production of their reserves underlying the tract with-
21 out violating correlative rights.

22 The evidence, I think, further
23 shows that the amount of reserves underlying the various
24 640-acre sections in the Indian Basin do have comparable
25 volumetric reserves. It is clear that those reserves are

1 migrating; if not as a the result of an aggressive water
2 drive, at least the reserves are being displaced up dip.

3 If any penalty, much less a
4 significant penalty, is imposed upon the Monsanto location,
5 essentially what the result will be is that Monsanto will be
6 deprived of its fair chance at recovering its reserves and
7 therefore its correlative rights would be jeopardized.

8 I think in a fair assessment of
9 the evidence before the Commission here today, the Division,
10 that it is clear that Amoco would be minimally, if at all,
11 harmed by the granting of the unorthodox location with the
12 setting of a minimum penalty. If the penalty is harsh, then
13 it is clear that the well will not be drilled and the
14 reserves and correlative rights of Monsanto will be vio-
15 lated.

16 MR. STOGNER: Thank you, Mr.
17 Lopez.

18 Mr. Carr, Mr. Lopez, I would
19 like a rough draft order on this proposed outcome in this
20 case today from both of you within -- will fourteen days be
21 sufficient?

22 MR. LOPEZ: Yes. I would like
23 to point out, Mr. Examiner, again that I know that you can
24 see it is of benefit to have as timely an order as possible,
25 and we will be glad to provide (not clearly understood.)

1 MR. STOGNER: Thank you, Mr.
2 Lopez.

3 Anything further in Case Number
4 8758 today?

5 If not, we'll conclude this
6 case and the record will be left open for the next fourteen
7 days for the rough draft orders.

8 That concludes the docket.

9
10 (Hearing concluded.)

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

C E R T I F I C A T E

I, SALLY W. BOYD, C.S.R., DO HEREBY
CERTIFY the foregoing Transcript of Hearing before the Oil
Conservation Division (Commission) was reported by me; that
the said transcript is a full, true, and correct record of
the hearing, prepared by me to the best of my ability.

Sally W. Boyd CSR

I do hereby certify that the foregoing is
a complete record of the proceedings in
the Examiner hearing of Case No. 8758
heard by me on 21 November 1985.

Michael E. Hynes Examiner
Oil Conservation Division