

STATE OF NEW MEXICO
ENERGY AND MINERALS DEPARTMENT
OIL CONSERVATION DIVISION
STATE LAND OFFICE BLDG.
SANTA FE, NEW MEXICO

4 December 1985

EXAMINER HEARING

IN THE MATTER OF:

Application of Bradley H. and Mar- CASE
garet N. Keyes, Trustees for surface 8776
and downhole commingling, San Juan
County, New Mexico.

BEFORE: David R. Catanach, Examiner

TRANSCRIPT OF HEARING

A P P E A R A N C E S

For the Division:

Jeff Taylor
Attorney at Law
Legal Counsel to the Division
Energy and Minerals Dept.
Santa Fe, New Mexico 87501

For the Applicant:

W. Thomas Kellahin
Attorney at Law
KELLAHIN & KELLAHIN
P. O. Box 2265
Santa Fe, New Mexico 87501

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

I N D E X

A. R. KENDRICK

Direct Examination by Mr. Kellahin	4
Cross Examination by Mr. Catanach	16
Cross Examination by Mr. Taylor	18
Recross Examination by Mr. Catanach	18
Questions by Mr. Chavez	19

E X H I B I T S

Applicant Exhibit One, Summary	5
Applicant Exhibit Two, Plat	5
Applicant Exhibit Three, Tabulation	7
Applicant Exhibit Four,	8
Applicant Exhibit Five, Data Sheet	10
Applicant Exhibit Six, Recap	12
Applicant Exhibit Seven, Plat	14
Applicant Exhibit Eight, Plat	14

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

MR. CATANACH: Call Case 8776.

MR. TAYLOR: The application of
Bradley H. and Margaret N. Keyes, Trustees for surface and
downhole commingling, San Juan County, New Mexico.

MR. KELLAHIN: If the Examiner
please, I'm Tom Kellahin of Santa Fe, New Mexico, appearing
on behalf of the applicant and I have one witness.

MR. CATANACH: Would the wit-
ness please stand and be sworn?

Are there any other appearances
in this case?

(Witness sworn.)

MR. KELLAHIN: Mr. Examiner,
the case is docketed to seek downhole commingling approval
of the Fruitland and Farmington zones in the subject well.

The applicant, at the time he
filed the application, also sought surface commingling.

Mr. Kendrick advises me that
that portion of the application dealing with surface com-
mingling is no longer necessary. He does have a meter with
El Paso that solves that problem and so we'll delete that
portion of our request and our presentation today will be

1 simply for the downhole commingling of the Farmington and
2 the Fruitland, and we will delete the surface commingling.

3

4

A. R. KENDRICK,

5

being called as a witness and being duly sworn upon his

6

oath, testified as follows, to-wit:

7

8

DIRECT EXAMINATION

9

BY MR. KELLAHIN:

10

Q

Mr. Kendrick, for the record would you

11

please state your name and occupation?

12

A

A. R. Kendrick, Consulting Petroleum En-

13

gineer.

14

Q

Mr. Kendrick, have you been retained on

15

behalf of the applicant to make a study of and present facts

16

to the Examiner with regards to this application?

17

A

Yes, sir.

18

Q

And have you previously testified before

19

the Oil Conservation Division as an expert petroleum en-

20

gineer?

21

A

Yes, sir.

22

MR. KELLAHIN: We tender Mr.

23

Kendrick as an expert petroleum engineer.

24

MR. CATANACH: Mr. Kendrick is

25

so qualified.

1 Q Mr. Kendrick, let me direct your atten-
2 tion to Exhibit Number One. This is simply a summary sheet
3 of the package of exhibits, is it not?

4 A Yes. Exhibit Number One is a summary of
5 the other exhibits that follow.

6 Q All right, let's set that aside and use
7 it as an index to follow the exhibits.

8 Let me direct you, then, to Exhibit Num-
9 ber Two and have you identify what is depicted on the exhi-
10 bit and show us the location and the description for the
11 subject well.

12 A Exhibit Number Two is a plat being nine
13 quarter sections; that is, one and a half miles east and
14 west and nine and a half miles north and south, that shows
15 the drill tract for the Fruitland formation, being the
16 southeast quarter of Section 13, Township 29 North, Range 11
17 West, and the direct and diagonal offsets to that quarter
18 section.

19 The well, being the Ransom No. 1-M, is
20 near the center of the exhibit, identified by an arrow. The
21 legend at the base of the page shows the code for the dif-
22 ferent symbols.

23 The gas well symbol with the filled in
24 center represents Farmington wells.

25 The Farmington Pool is an oil pool but

1 the wells shown on this exhibit are all gas wells in the
2 Bloomfield-Farmington Oil Pool.

3 The Fruitland wells are a gas well symbol
4 with the cap across the top.

5 Pictured Cliffs wells are a gas well sym-
6 bol with the cap across the bottom.

7 The wells shown on this exhibit are only
8 Farmington, Fruitland, or Pictured Cliffs completions. The
9 other zones completed in this area are not shown on this
10 exhibit.

11 The wells with the Farmington gas well
12 symbol, with the cap on top, would be a Farmington-Fruitland
13 completion, and those wells shown as a square with a gas
14 well symbol inside would be a Fruitland-Pictured Cliffs
15 multiple completion.

16 Q Let's give the Examiner a little
17 background on the subject application, Mr. Kendrick.

18 Had you submitted this request to the
19 Aztec District Office of the Oil Conservation Division for
20 administrative approval?

21 A I orally visited with the people in the
22 Aztec Office about approval of this for downhole commingling
23 administratively, and since there is ownership in the
24 Farmington formation that is different from the Fruitland
25 formation, they preferred that we bring it to hearing.

1 Q All right. Looking at Exhibit Number
2 Two, other than the subject well, can you locate for us any
3 other wells that have downhole commingled the Farmington and
4 the Fruitland?

5 A Yes. Along the north edge, or top edge
6 of the exhibit, the H. L. Harvey No. 3 Jones Well is a down-
7 hole commingled Farmington-Fruitland well.

8 Q On Exhibit Number Two, when we look at
9 the Fruitland gas spacing, what is the acreage allocated or
10 dedicated to the Ransom 1-M Well for the Fruitland gas?

11 A The southeast quarter of Section 13. It
12 would be 160 acres.

13 Q When we look at the Farmington oil pool,
14 you've told us that the Farmington zone in this well is a
15 gas-producing zone but that it is in the Farmington oil
16 pool?

17 A Yes, it is in the Bloomfield-Farmington
18 Oil Pool and the spacing there is 40 acres.

19 Q All right, and then it would be the
20 southwest of the southeast quarter of Section 13 dedicated
21 to that well.

22 A Yes, Unit letter O.

23 Q Let's turn now to Exhibit Number Three,
24 Mr. Kendrick, and have you identify that exhibit.

25 A Exhibit Number Three is a tabulation of

1 the well shown on Exhibit Number Two, showing the name of
2 the operator, the name and number of the well, the location
3 of each well.

4 These are listed by the zones of comple-
5 tion and in the righthand column it shows an asterisk and an
6 "R" order number for orders issued by the Oil Conservation
7 Division, and these order numbers apply to approval to down-
8 hole commingle those wells.

9 Each order number is thus listed twice in
10 that righthand column because it applies to the downhole
11 commingling of the zones shown on Exhibit Number Two.

12 Q You've indicated for us that within the
13 160 acres for the Fruitland Gas Pool that there's a differ-
14 ence of interest owners.

15 Would you turn now to Exhibit Number Four
16 and describe for us what is in fact the difference?

17 A The basic mineral ownership for the north
18 half of the southeast quarter is owned by the three parties
19 identified in the north half of the southeast quarter on
20 this exhibit.

21 The minerals for the south half are owned
22 by the two parties identified in the south half.

23 So that the ownership of the quarter sec-
24 tion is not common and the mineral owners in the north half
25 of the southeast quarter, three owners have undivided inter-

1 est in that 80 acres; in the south half two owners have an
2 undivided interest in the south half, so that the minerals
3 are owned in the north half or south half separately.

4 They will be -- they are unitized for the
5 Fruitland production under the quarter section. They are
6 not communitized for the Farmington production to be taken
7 -- to be produced from the southwest quarter of the south-
8 east quarter.

9 Q Within the 40-acre tract for the Farm-
10 ington Pool, that 40 acres is under a common ownership.

11 A It's under a common ownership of the Sal-
12 mons and McGee Transportation, Limited, but the parties lis-
13 ted in the north half of the southeast quarter, Mrs. Ransom
14 and the two Petersons, would not be owners of the minerals
15 in the Farmington formation under the southwest quarter of
16 the southeast quarter.

17 Q The exception, then, for administrative
18 approval of the downhole commingling would result from the
19 fact that a certain portion of the Farmington zone now on 40
20 acres will be allocated to the owners in the north half of
21 the southeast quarter.

22 No?

23 A No. No --

24 Q All right.

25 A No production from the Farmington would

1 be allocated to the producers -- excuse me, to the minerals
2 owners in the north half of the southeast quarter.

3 Q All right, so the production from the
4 Farmington remains allocated to ownership common for the 40
5 and then for the 160 we do have a communitization agreement
6 that takes care of the Fruitland gas zone.

7 A Yes, sir.

8 Q All right. Let's go to Exhibit Number
9 Five and talk about the Ransom No. 1-M Well, Mr. Kendrick.
10 Describe for us what the first zone in
11 that well was and how it was tested.

12 A The original intent for the drilling of
13 this well was to downhole commingle the Fruitland and
14 Pictured Cliffs formations.

15 The well was drilled and the Pictured
16 Cliffs formation is not productive. The well is currently
17 perforated in the Fruitland and the Farmington formations.

18 In attempt to complete the well in the
19 Fruitland formation the well drowned itself and would not
20 continue to produce, so the well was then perforated in the
21 Farmington formation and the Farmington formation provided
22 enough additional gas to assist the gas in the Fruitland
23 formation to keep the well unloaded and producing.

24 Q In your opinion is there gas reserves
25 that can be produced out of the Fruitland zone?

1 A Yes. The Fruitland zone will produce
2 with the assistance of the Farmington to help keep the
3 liquids unloaded from the wellbore.

4 Q In the absence of approval of the down-
5 hole commingling, will there be Fruitland gas reserves that
6 will remain in the ground that cannot be produced by a well
7 as a single Fruitland completion?

8 A Yes, sir.

9 Q Let's look at the Farmington zone, Mr.
10 Kendrick. Do you have an opinion as to whether or not there
11 is any risk imposed to the Farmington zone by having it
12 downhole commingled with the Fruitland?

13 A I think that the risk for the Farmington
14 production would be minimal and that at the present time it
15 is sufficiently strong to unload the liquids from all of the
16 well and allow the gas from the Fruitland formation to con-
17 tinue to produce.

18 Q Do you have an opinion as to whether or
19 not the downhole commingling of the two zones will result in
20 the production of hydrocarbons that would not otherwise be
21 produced?

22 A Yes, I believe that the gas in the Fruit-
23 land formation will be produced that would otherwise be left
24 in the ground.

25 Q Do you have an opinion as to whether or

1 not this is the most effective and efficient method by which
2 to produce both of these zones?

3 A I think this is the most efficient way to
4 produce both zones so that we can recover the gas.

5 Q While we're on Exhibit Number Five, Mr.
6 Kendrick, would you describe for us how you propose to allo-
7 cate the production between the two zones?

8 A I would propose to allocate the produc-
9 tion at 65 percent to the Farmington formation and 35 per-
10 cent to the Fruitland formation.

11 The attempt was made to produce or, ex-
12 cuse me, to perforate the same quality of pay zone with the
13 same number of holes per foot. I counted the holes at 70
14 holes and took the percentages of 26 holes in the Farmington
15 formation and 24 holes in the Fruitland formation to deter-
16 mine the approximate percentages of 65 percent and 35 per-
17 cent.

18 Q Do you have an opinion as to whether
19 that's a fair and reasonable method by which to allocate the
20 production between the two zones?

21 A I think it's fair. It would be the equi-
22 valent of taking a copy of the wireline log and counting the
23 feet of pay and making a similar division.

24 Q Let's turn to Exhibit Number Six and have
25 you identify that exhibit.

1 A This is a recap of the test data that was
2 obtained on this well. The majority of the page is defining
3 an attempt to test the well in September of 1984, and the
4 well --

5 Q Can you distinguish for us on Exhibit
6 Number Six what zones are being tested as we go through the
7 chronology?

8 A Yes. All of the tests shown for -- dated
9 September 11th, 1984, were for the Fruitland formation.

10 As identified on the date of September
11 11th, 1984, the well drowned itself by the liquids it at-
12 tempted to produce.

13 Then in September of 1985 we had a shut-
14 in pressure but we did not attempt to flow the well from the
15 Fruitland only.

16 But with the perforation of the Farming-
17 ton well, the liquids accumulated in the wellbore were un-
18 loaded from both zones and we had a shut-in pressure then of
19 368 pounds on both zones, indicating that the zones were
20 clear.

21 If you would refer to the top line on
22 September the 11th, 1984, showing a casing pressure of 150
23 pounds and a tubing pressure of 320 pounds, it indicates
24 that there has to be liquids in the wellbore to cause a
25 pressure differential of the two strings.

1 Q Can you draw a comparison for us about
2 the pressures in the Fruitland versus the Farmington to de-
3 termine whether or not there is a reasonable probability of
4 cross flows between the two formations?

5 A In my opinion there will be normal cross
6 flow. On the top line dated September 11th, 1984, the tub-
7 ing pressure was 320 pounds, which would mean that we had at
8 least 320 pounds. We don't know how much liquid was in the
9 wellbore at the time.

10 But on September the 20th, 1985, when the
11 pressures of 368 pounds were measured on both strings, there
12 was little, if any, liquids in the wellbore, and that pres-
13 sure differential of somewhere less than 50 pounds would in-
14 dicate that there is minimal pressure differential between
15 the two zones.

16 Q All right, sir, let's turn to Exhibit
17 Number Seven and have you identify that for us.

18 A Exhibit Number Seven is a nine section
19 plat around this location, showing the position of the
20 Bloomfield-Farmington Oil Pool as it was currently defined
21 about a month ago, and this well location is an adjacent 40-
22 acre tract to the pool boundary.

23 Q And Exhibit Number Eight?

24 A And Exhibit Number Eight is the nine sec-
25 tion plat around this well location, showing the location of

1 this well, being an inside well in the Aztec-Fruitland Gas
2 Pool.

3 Q I'd like to direct your attention now to
4 your opinion concerning the correlative rights of the owners
5 in the 160 acres. We have a difference in ownership between
6 the Farmington and Fruitland.

7 Do you have an opinion, Mr. Kendrick, as
8 to whether or not the correlative rights of any of the
9 owners involved in this well are adversely affected by the
10 downhole commingling of production from the two zones?

11 A In my opinion, the correlative rights are
12 protected in that the production from the Fruitland forma-
13 tion will be allocated equally between the two. The produc-
14 tion in the Farmington formation would be allocated only to
15 those people owning interest in the 40 acres where the well
16 is located.

17 The Fruitland formation would not produce
18 on its own so that the people in the north half of the
19 southeast quarter would not derive any benefit from the well
20 without the Farmington being produced, so that the Farming-
21 ton formation from someone else's property is helping them
22 to obtain payments for production from their property.

23 Q In the absence of downhole commingling
24 for these two zones, Mr. Kendrick, do you have an opinion as
25 to whether or not waste will occur?

1 A Yes. I think that production from the
2 Fruitland formation will not occur without this downhole
3 commingling and therefore some gas in the Fruitland forma-
4 tion will be left in the ground.

5 Q Were Exhibits One through Eight compiled
6 by you or prepared under your direction and supervision?

7 A Yes, sir.

8 MR. KELLAHIN: That concludes
9 our examination of Mr. Kendrick.

10 We move the introduction of Ex-
11 hibits One through Eight.

12 MR. CATANACH: Exhibits One
13 through Eight will be admitted into evidence.

14

15 CROSS EXAMINATION

16 BY MR. CATANACH:

17 Q Mr. Kendrick, is this all fee land?

18 A Yes.

19 Q Mr. Kendrick, the method at which you ar-
20 rived at the allocation for the two zones doesn't seem to me
21 to be accurate. Do you, in your opinion, do you think this
22 is an accurate method?

23 A Yes, sir, in that the attempt was made to
24 perforate the same pay with the same number of holes per
25 foot so that if it would be your desire we'll get a copy of

1 the wireline log and identify the pay and count the feet of
2 pay in that manner.

3 Q But you don't have any production tests
4 that would in any way substantiate this method?

5 A No, the Fruitland formation would not
6 continue to produce by itself so we couldn't get a produc-
7 tion test on the Fruitland, When we perforated the Farming-
8 ton, then both zones produced together.

9 If the Examiner would desire we will ob-
10 tain a copy of the wireline log and mark the perforations on
11 the log and show the amount of pay that we calculate on the
12 wireline log.

13 Q That would be fine, if you would please
14 submit that to us.

15 A We will submit that.

16 Q Mr. Kendrick, is it your testimony or
17 opinion that the separate interest of the royalty owners
18 would not be lessened by the commingling of the pools?
19 Their flow of income or percentage of income, would any of
20 that be lessened by the commingling?

21 A In my opinion it would not be lessened.

22 Q Would -- the value of the product would
23 not be lessened, either, by the commingling?

24 A No, the commingling of the two products
25 will not cause a products change that would create a value

1 loss.

2

3

CROSS EXAMINATION

4 BY MR. TAYLOR:

5

6

7

Q Well, our rules require that offset operators be notified. Did you notify any of the offset operators by mail of your application?

8

I assume there are offset operators.

9

A We did not --

10

MR. KELLAHIN: Excuse me, Mr.

11

Taylor, what rules require the notice of offset operators for a hearing before the Division?

13

14

MR. TAYLOR: The rules I'm talking about are for administrative approval.

15

16

MR. KELLAHIN: Yeah. We did not do that, sir.

17

18

MR. TAYLOR: Could we go off the record, Sally?

19

20

(Thereupon a discussion was had off the record.)

21

22

CROSS EXAMINATION

23 BY MR. CATANACH:

24

25

Q Mr. Kendrick, these are both gas zones, aren't they?

1 A Yes. The three wells completed in the
2 Farmington formation shown on Exhibit Two, one being in Unit
3 letter C of Section 24, Unit letter O of Section 13, and
4 Unit letter B of Section 13, the only Farmington comple-
5 tions, sell only gas. No oil has been sold from either of
6 those three wells.

7 Q Do either of these two zones produce any
8 condensate?

9 A Not for sale. If there's any produced it
10 is very minimal amounts.

11 MR. CATANACH: Mr. Chavez, do
12 you have any questions?

13 MR. CHAVEZ: Yes.

14

15 QUESTIONS BY MR. CHAVEZ:

16 Q Mr. Kendrick, in your allocation your as-
17 suming the same quality of formation for both the Farmington
18 and Fruitland, being you have no gas volume to base your
19 tests on?

20 A We're using the thickness of pay for each
21 fo the intervals to determine the percentage allocation.
22 Yes.

23 Q Might it be appropriate to perhaps lessen
24 or compensate for the water production on the Fruitland zone
25 and say that perhaps, even though they have equivalent

1 thicknesses or the way the allocation is based on thickness,
2 the Fruitland may not be contributing as much as the Far-
3 mington because of the water production?

4 A It's been my experience with wells in
5 this immediate area completed in the Fruitland formation
6 that the water production will decrease slightly and prob-
7 ably the well will produce better after a period of time of
8 cleaning up the water, due to the mobility of the water in
9 the formation. The gas is a whole lot more mobile in the
10 formation than the water and so gas will bypass the water
11 after we clean up the initial water around the wellbore.

12 MR. CHAVEZ: That's all the
13 questions I have.

14 MR. CATANACH: I have o further
15 questions of the witness.

16 Are there any other questions
17 of the witness?

18 If not, he may be excused.

19 Is there anything further in
20 Case 8776?

21 If not, it will be taken under
22 advisement.

23

24 (Hearing concluded.)

25

C E R T I F I C A T E

I, SALLY W. BOYD, C.S.R., DO HEREBY
CERTIFY that the foregoing Transcript of Hearing before the
Oil Conservation Division (Commission) was reported by me;
that the said transcript is a full, true, and correct record
of the hearing, prepared by me to the best of my ability.

Sally W. Boyd CSR

I do hereby certify that the foregoing is
a complete record of the proceedings in
the Examiner hearing of Case No. 8776,
heard by me on December 4, 1965.

David R. Catano, Examiner
Oil Conservation Division