

STATE OF NEW MEXICO
ENERGY AND MINERALS DEPARTMENT
OIL CONSERVATION DIVISION
STATE LAND OFFICE BLDG.
SANTA FE, NEW MEXICO

28 May 1986

EXAMINER HEARING

IN THE MATTER OF:

Application of Minerals, Inc., for a CASE
hardship gas well classification, San 8907
Juan County, New Mexico.

BEFORE: Michael E. Stogner, Examiner

TRANSCRIPT OF HEARING

A P P E A R A N C E S

For the Division: Jeff Taylor
Attorney at Law
Legal Counsel to the Division
State Land Office Bldg.
Santa Fe, New Mexico 87501

For the Applicant: William F. Carr
Attorney at Law
CAMPBELL & BLACK P. A.
P. O. Box 2208
Santa Fe, New Mexico 87501

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

I N D E X

AL KLAAR

Direct Examination by Mr. Carr	4
Cross Examination by Mr. Stogner	25

E X H I B I T S

Applicant Exhibit One, Letter	5
Applicant Exhibit Two,	9
Applicant Exhibit Three, Plat	10
Applicant Exhibit Four, Notice	12
Applicant Exhibit Five, Chronology	14
Applicant Exhibit Six, Curve	21
Applicant Exhibit Seven, Form	23
Applicant Exhibit Eight, Schematic	24

1 MR. STOGNER: We're skipping
2 around a little bit today. C-8904 is going to be contested.
3 I wish to move that at the end of the docket; however, Case
4 Number 8890, the applicant has asked that he be set back by
5 a letter previously sent, so I'm going to call Case 8907,
6 which is on the second page.

7 MR. TAYLOR: The application of
8 Minerals, Inc., for hardship gas well classification, Lea
9 County, New Mexico.

10 MR. STOGNER: Call for appear-
11 ances.

12 MR. CARR: May it please the
13 Examiner, my name is William F. Carr with the law firm Camp-
14 bell & Black, P. A. of Santa Fe, appearing on behalf of Min-
15 erals, Inc. I have one witness to be sworn.

16 MR. STOGNER: Are there any
17 other appearances in this matter?

18
19 (Witness sworn.)
20

21 MR. STOGNER: Mr. Carr?
22

23 AL KLAAR,
24 being called as a witness and being duly sworn upon his
25 oath, testified as follows, to-wit:

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

DIRECT EXAMINATION

BY MR. CARR:

Q Will you state your full name and place of residence?

A My name is Al Klaar. Last name is spelled K-L-A-A-R.

Q Mr. Klaar, by whom are you employed?

A I'm employed by Minerals, Incorporated.

Q And in what capacity?

A Vice President of Engineering, in Hobbs, New Mexico.

Q Have you previously testified before this Division and had your credentials accepted and made a matter of record?

A Yes, sir.

Q And how were you qualified at that time, as a petroleum engineer?

A As a petroleum engineer.

Q Are you familiar with the application filed in this case on behalf of Minerals, Inc.?

A Yes, I am.

MR. CARR: Are the witness' qualifications acceptable?

MR. STOGNER: Mr. Klaar is so

1 qualified.

2 Q Mr. Klaar, would you refer to what has
3 been marked for identification as Minerals, Inc. Exhibit
4 Number One, identify this exhibit, and review it with Mr.
5 Stogner?

6 A Exhibit Number one starts out with a let-
7 ter to the OCD in Hobbs, New Mexico, based upon receiving a
8 shut-in notice from the purchaser of gas on the Minerals,
9 Inc. Llano 34 State Com No. 1.

10 We became of the opinion, the immediate
11 opinion that shutting the well in will be detrimental to the
12 production from the well plus in the extreme case, create
13 waste by having a certain amount of gas become totally unre-
14 coverable.

15 Our letter dated April 18th, 1986, made
16 application to Mr. Sexton of your Hobbs office to give us an
17 emergency hardship classification to allow the well to stay
18 on while we in turn then came to you for a formal hearing
19 and got the well classified as a hardship classification
20 well.

21 Q Now, attached to the April 18, 1986, let-
22 ter are some other documents. Would you review those for
23 the Examiner?

24 A Attached to that letter as attachments
25 originally to Mr. Sexton, is a letter that was written in

1 September 17th, 1981, whereby during 1981 we were asked for
2 a five day shut-in by the purchaser of the gas, which is
3 Phillips Petroleum, or was Phillips Petroleum at that time.
4 We were asked for a five day shut-in. We were of the opin-
5 ion that shutting the well in for that amount of time and
6 not producing at all, would have detrimental effects on the
7 well, so by this letter we asked to allow -- to be allowed
8 to let the well produce at 700 MCF a day and flare that gas
9 and burn this volume off during the proposed (not clearly
10 understood) shutdown.

11 Q Now, Mr. Klaar, would you go to the next
12 document attached to this letter?

13 A The next document attached is the day by
14 day report of work done on the well, which started in the
15 middle of 1983 -- in fact, in the middle of December, 1983,
16 and continued on through just about the first week of July,
17 1984.

18 Q What caused this work to be done on the
19 well?

20 A The well originally was completed as
21 three different Morrow zones with the two bottom Morrow
22 zones being produced through one string in the wellbore and
23 the top zone being produced through another one. It was
24 discovered originally when the -- right after the well was
25 drilled and a repeat formation test was run on the well,

1 that the pressures in the Morrow zones were drastically dif-
2 ferent, one zone from another, plus the fluid produced, the
3 total fluid produced, being the water, oil, and gas out of
4 each zone, were not compatible. Some were producing more
5 water; one zone was producing more water than the other
6 zone, et cetera, and the other way around.

7 So originally we completed the well as,
8 and this sounds strange, as a dual Morrow well with one al-
9 lowable producing it through two separate strings of tubing.

10 It became apparent that things went awry
11 when the upper set of -- the upper tubing string, we
12 thought, logged off. Upon checking we found out that it had
13 sanded off, the same zone that we are now producing, pro-
14 duces very fine-grained sand and plugged us off by having
15 two tubing strings in the hole, so we were forced to produce
16 this well finally by shooting holes in the long tubing
17 string and produce all three zones through one tubing
18 string.

19 In 19 -- in December of 1983 we became
20 aware that there was excessive amounts of water being pro-
21 duced and the well was obviously heading down and ready to
22 kill itself. A test run at that time indicated that the two
23 bottom zones were contributing all of the fluid, essentially
24 all of the fluid and none of the gas, so at that time it
25 became imperative to drop those two bottom zones out of the

1 producing interval of the well and in doing the workover it
2 took seven months just to get the top zone back to producing
3 again.

4 Q Now, Mr. Klaar, when you were doing this
5 work on the well, were you attempting only to return the top
6 zone to production?

7 A We were trying to do two things; shut off
8 the two bottom zones and get the top zone back to produc-
9 tion, correct.

10 Q And for what period of time were you
11 really focusing your efforts on that top zone?

12 A I would say five to six months out of
13 that seven month period.

14 Q Would you now refer to the next document
15 in Exhibit Number One and identify that, please?

16 A The next document is the Form -- I don't
17 see a form number on it, but it says Application for Classi-
18 fication as Hardship Gas Well. It was part of the letter
19 sent to Mr. Jerry Sexton, and in this application at the
20 time we filled this out, we were of the opinion that we
21 needed a minimum rate, gas rate, of 200 to 400 MCF per day
22 to keep this well on a producing status.

23 Q Was this application also forwarded to
24 the Santa Fe office?

25 A We understand that it was forwarded to

1 the Santa Fe office and subsequently to this we also sent a
2 copy of it.

3 Q And would you just identify the last two
4 pages of Exhibit Number One?

5 A As part of this application for classifi-
6 cation as hardship gas well, one of the things it asks for
7 is the Form C-102 that goes along with the well and that's
8 what the next attachment is, and it also asks for a plat
9 showing where this well is located, and that is subsequently
10 attached here.

11 Q Now by your April 18 letter you requested
12 a temporary emergency hardship classification.

13 A Yes, sir.

14 Q Was that classification granted?

15 A As indicated in Exhibit Two, on April
16 22nd, 1986, Mr. Sexton sent me a letter indicating that a
17 sixty day emergency classification was approved as of that
18 time.

19 Q Would you now refer to the second docu-
20 ment in Exhibit Number Two and identify that?

21 A That is that very same document I just
22 talked about, a letter from Mr. Sexton, and it shows that it
23 also was sent to Phillips as the gas purchaser and up here
24 to the OCD office in Santa Fe.

25 Q And the next, the next letter in Exhibit

1 Two?

2 A The next letter in Exhibit Two shows that
3 Minerals, Inc., is requesting a hearing to be docketed and
4 at the time we sent this letter we were of the opinion that
5 June 11th, 1986, would be a good date. We were gently
6 persuaded that May 28th would be a better one and we agreed.

7 Q And how were you gently persuaded?

8 A Because it gives the Commission more time
9 to make up its mind whether or not to grant us our
10 application before the sixty day emergency period --

11 Q Did Mr. Lyon from the Santa Fe office
12 request that you move the hearing forward?

13 A Yes, and he so sent us a letter agreeing
14 to that May 28th was a good time; that today was a good time
15 to have this hearing.

16 Q And is that letter attached as part of
17 Exhibit Number Two?

18 A It is. It's the last page of Exhibit
19 Number Two.

20 Q Would you now refer to Llano Exhibit --
21 I'm sorry, Minerals, Inc. Exhibit Number Three and identify
22 that, please?

23 A Exhibit Number Three is the plat of the
24 immediate area surrounding the Minerals, Inc. Llano 34 State
25 No. 1.

1 First of all, it indicates that the east
2 half of Section 34 there in yellow, that 320 acres is what
3 goes with the well.

4 Q And that's the acreage dedicated to this
5 well?

6 A That is correct.

7 Q Is that a standard unit?

8 A That is correct. It also shows that the
9 offset operators are to the southeast, to the east, and to
10 the northeast, Texaco, Incorporated; to the north, Pogo; and
11 to the west, Llano, Inc.

12 Further, it shows that the definition be-
13 tween the Gramma Ridge Morrow Field, which is over twenty
14 years old, to the west, and the East Gramma Ridge Morrow
15 Field, which is less than nine years old, is -- runs right
16 through the middle of Section 34. That's what that dashed
17 red line is supposed to indicate.

18 Q In your opinion is there any chance that
19 the proposed well would in fact be in communication with the
20 two wells operated by Llano to the west in the Gramma Ridge
21 Morrow Field?

22 A No, sir, no chance. There has been con-
23 tinuous testing going on by Llano and by Minerals. The two
24 wells to the west there are underground gas storage wells
25 where Llano stores gas 13,000 feet underground and that has

1 been in operation since 1973. There's a continuous moni-
2 toring going on of bottom hole pressures and it wasn't until
3 '78 and '79 that the wells in the East Gramma Ridge Morrow
4 Field, that anybody even thought of drilling a well there,
5 and the first pressures indicated when these wells were
6 drilled, were in excess of 80 -- 8200 pounds bottom hole,
7 where at the same time Llano's pressure in its underground
8 gas storage system 3200 pounds, so obviously there was no
9 connection, is no connection to this date.

10 Q Mr. Klaar, the subject well is completed
11 in the East Gramma Ridge Morrow Field. Is that field a pro-
12 rated pool?

13 A No, sir, it is not prorated.

14 Q Has notice of this application been pro-
15 vided to the offsetting operators?

16 A Yes, sir, it has.

17 Q Would you refer to Exhibit Number Four
18 and review the notice that has been provided?

19 A Exhibit Number Four indicates that on Ap-
20 ril 18th, first of all, we informed the purchaser plus the
21 offsetting operators that Minerals was filing a request for
22 administrative approval to classify this subject well as a
23 hardship well.

24 Subsequently, after receiving some of the
25 letters that were shown in prior exhibits, we then on May

1 13th, '86, informed them that a hearing has been set for May
2 28th, 1986. These letters were sent certified, return re-
3 ceipt requested, and receipts of that certification has bene
4 received and is on file in our office.

5 Q Attached to your April 18, 1986, letter,
6 was there a copy of the application for hardship gas well
7 classification?

8 A Yes, my copies indicate that those let-
9 ters had attachments and the attachments thereto was essen-
10 tially Exhibit One.

11 Q And that set out the minimum sustainable
12 producing rate that you're seeking here today?

13 A And one of the attachments to Exhibit One
14 is that form application which shows that we're asking for
15 200 or 400 at that particular time.

16 Q What is the actual minimum sustainable
17 producing rate you are seeking here today?

18 A The minimum rate that I'm seeking today
19 is 350 MCF per day.

20 Q Now, Mr. Klaar, how was that rate ob-
21 tained?

22 A Well, the rate was obtained with running
23 a -- what is called for lack of a better word, a logoff
24 test.

25 Q Would you refer to what has been marked

1 as Minerals Exhibit Number Five and review both pages of
2 this exhibit and also explain how you conducted these logoff
3 tests?

4 A Okay. On the 7th of March, 1986, we
5 received notice from the purchaser that the well would be
6 shut in indefinitely, and according to the OCD rules, we had
7 no choice but to follow that shut-in notice.

8 We did for purposes of finding out what
9 would happen to the well, we kept very close track of it
10 throughout the next month, which is the first page of Exhi-
11 bit Number Five here, and this, in addition to our past his-
12 tory of what happened on the well, convinced us to make ap-
13 plication, first of all to Mr. Sexton of an emergency ruling
14 and then to come in here and have this examiner hearing.

15 But if you will note that the notice went
16 out on the 7th. We were asked to shut the well in sometime
17 between the 10th and the 13th. We did shut the well in on
18 the 13th.

19 On the 14th of March the well had built
20 up to a pressure of 720 pounds. On the 15th it had dropped
21 to 700 pounds. On the 16th it dropped another 30 pounds,
22 and so on until on the 18th it was down to 600 pounds shut-
23 in.

24 This is contrary to any type of shut-in
25

1 experience that you look for and that you expect in a gas
2 well.

3 We open the well up on the 18th and you
4 will see that it only flowed at 265 MCF a day at a flowing
5 pressure of 50 pounds, which obviously right after shut-in
6 under normal circumstances I would expect a gas well to have
7 built up a head and to flow higher rates than what it nor-
8 mally flows.

9 Lo and behold, it's flowing at lower
10 rates than it normally flows when it's wide open.

11 The next day it flowed finally at 445 MCF
12 at 155 pounds, which still was not up to that 520 MCF that
13 it flowed before the shut-in.

14 Again we went through a several day re-
15 corded shut-in to show that for the first three days the
16 well built up to 760 pounds. On the fourth day it dropped
17 to 740 and then it started dropping 10 to 20 pounds per day
18 until we finally opened it up on the 8th of April and the
19 well flowed at 390 MCF at 140 pounds.

20 By this time we're concerned. If you tie
21 these dates together, then you see that by the time you have
22 another shut-in or two we have been in contact with Mr. Sex-
23 ton and we're asking for help. Something strange is going
24 on here, possibly even stranger than we had thought a couple
25 of years ago.

1 This well is not acting normal. It looks
2 like it's heading down the tubes in a hurry.

3 Based upon Mr. Sexton's agreement to give
4 us a sixty day emergency classification, we then, first of
5 all, we decided that we needed to come in for a full hearing
6 and at this hearing we decided that we needed to present
7 testimony to show what happens when this well gets choked
8 back.

9 The second part of Exhibit Number Five is
10 a graphical representation of what we ran into when we tried
11 to actually see in cutting the well back what happens to
12 both the volume of gas that is produced on a daily basis and
13 the wellhead pressure.

14 There are two curves on that presenta-
15 tion, if you will note. The bottom one shows wellhead pres-
16 sure with a scale on the left side. The top one shows vol-
17 ume of gas produced per day with the scale on the righthand
18 side.

19 To start out with, on the 7th, and by the
20 way, way on the bottom there it indicates the dates that all
21 of these things were occurring, the plot tries to show hour
22 by hour what is occurring with the volume and with the well-
23 head pressure.

24 First of all, on the 7th of May, 1986,
25 with representatives of Hobbs office of the OCD present, we

1 ran a 15-day bottom hole pressure bomb and for several days
2 thereafter we're indicating what the well flows at volume-
3 wise and pressurewise through the beginning of the 12th of
4 May when it's left to its own devices instead of being
5 choked back.

6 On the 12th of May we start choking the
7 well back to see what would happen to the wellbore, to the
8 wellhead pressure, and to the volume.

9 The first indication is there at the end
10 of the 12th we have a situation of where the wellhead pres-
11 sure is dropping along with the volume.

12 The next thing that happens a few hours
13 later, the choke plugs up. Now this is not too unusual;
14 when we get to looking back at our operations report, we
15 find out that every six to eight months we're having to
16 clean out that stackpack. It's filled -- the stackpack and
17 associated equipment has filled itself full of sand, very
18 fine grained sand.

19 We unplug the choke and we try and con-
20 tinue on with the test then. We try and get the well back
21 to flowing more than 400 MCF before we try cutting it back.

22 The first appreciable trend of what we
23 call logoff trends, we're getting into an area here where I
24 don't think anybody had really established terminologies
25 yet, and I want to point out to you very quickly that I'm

1 looking for a trend in the well where it shows me that some-
2 thing unusual is happening. I'm not looking to kill this
3 well because I'm convinced that as soon as I kill the well
4 I've had it; the well's gone. So I'm looking for trends
5 which tells me that something unusual is going on and it's
6 heading that way.

7 The first trend, as indicated in yellow
8 there, is that occurring at the end of 5-15-86 it starts out
9 with a producing rate of 360 to 370 MCF and a wellhead pres-
10 sure of very close to 340 pounds.

11 If you will notice through the next 26 to
12 28 hours, both are dropping. Neither one of them wants to
13 stabilize. This is contrary to your normal conditions for a
14 gas well. If you choke a normal gas well back, you expect a
15 pressure to come on up and stabilize at a new point, both
16 the rate and the pressure.

17 We are getting antsy by the end of this
18 period, so we open the well up a little bit more for a few
19 hours and about a day later we go through the same process
20 again and in the middle the 19th, somewhere around noon on
21 the 19th, we again start and have the well choked back to
22 where both volume and the pressure on the wellhead are de-
23 clining.

24 Q And this was at a test rate of 333 MCF
25 per day.

1 A This was at a test rate of 333 MCF per
2 day. We think that with proper watching we can, at a rate
3 of about 350 MCF per day we can keep this well on.

4 We do not have a guarantee but we feel
5 that we can do it.

6 What we're doing during this time when
7 we're choking the well back, we're not so much gathering
8 fluid in the wellbore, we're disturbing -- we're disturbing
9 the natural flow of the well, which, as I said, produces a
10 bunch of very fine grained sands. At the time, up to the
11 19th of May, 1986, we were not too worried about it but we
12 didn't know what was going to happen to us on the 21st of
13 May. The 21st of May we were ready to pull our tandem
14 bombs, which have been set almost down to 13,000 feet in the
15 tubing. We're ready to pull them out. We go in, we latch
16 on to them. We unseat them after an unusual pull. By un-
17 usual pull I mean more than should have been required to un-
18 seat the bomb. We had to have a slick line, obviously, in
19 the hole with a retrieving device on it and it took close to
20 twice the pull to unseat this bomb.

21 When we got to the top with the slick
22 line, no bomb. The bomb had snapped the slick line in two
23 and the bomb had gone out the bottom of the tubing and is
24 now sitting at the bottom of the well -- wellbore, which,
25 really, as you'll see later, it means the top of some other

1 junk that's in the bottom of the well.

2 Q Okay, now what happened on the 22nd of
3 May?

4 A On the 22nd of May we, obviously, we're
5 getting close to preparing this thing to come up here for
6 today. We started flowing the well at 290 MCF and it was
7 within the first hour of starting the well at 290 MCF, the
8 wellhead pressure is dropping. That to me was enough indi-
9 cation that, obviously, we were in the same mode as we were
10 when we started the well at 350 or 340 MCF, choking it down
11 to that amount.

12 I called an end to the test at that and
13 said, I've got sufficient data to come in here and talk to
14 you gentlemen.

15 Q Was the Oil Conservation Division advised
16 of the logoff test that you were running on the well?

17 A Yes, sir, they were. They were not out
18 there each and every moment but periodically they were out
19 there and all of this, the surface data and the volumes,
20 were of record and kept out there and they had access to all
21 the data that was being generated.

22 Q In your opinion, Mr. Klaar, will under-
23 ground waste occur if this well is not granted a hardship
24 gas well classification?

25 A Yes, sir, I do.

1 Q Would you refer to what has been marked
2 as Minerals Exhibit Number Six and review that exhibit for
3 Mr. Stogner and indicate what volume of gas you believe
4 might be lost if in fact the well is not granted this hard-
5 ship classification?

6 A Exhibit Number Six is the full producing
7 history of the Morrow well, and it indicates that in the
8 latter portion of '83 it started having producing problems
9 but it also indicates during -- from the middle of '84 on
10 through February and March of this year, it had produced gas
11 at a stabilized rate.

12 The same cannot be said for the oil and
13 water produced from the well. The gas rate was very stable.

14 Based upon that declining gas rate and
15 determining that this is a 20 percent decline per year, I
16 estimate that if the well is asked immediately to be shut in
17 at the request of the purchaser, not to be produced, Miner-
18 als, Inc. is going to lose that well and is going to lose to
19 the tune of about 700,000 MCF, or 3/4s of a billion cubic
20 feet of gas.

21 Q Now, if I look at this graph, the yellow
22 curve is gas production.

23 A Correct.

24 Q If you look at 1986, the gas production
25 starts to decline prior to the time that the well was or-

1 dered shut in in March. Now can you explain that drop in
2 the curve?

3 A In February the purchaser was already
4 asking us to produce the well at reduced rates. We had no
5 idea that he'd finally come in and say, hey, shut it in com-
6 pletely.

7 Q And so this drop is --

8 A The well would have been in February and
9 March capable of falling and producing right along that 20
10 percent decline curve but the purchaser already had asked us
11 to produce less.

12 Q Now if I look at that yellow curve during
13 the last half of '84 and in 1985, there's a fairly constant
14 decline. Was the well permitted to produce during that per-
15 iod of time?

16 A Yes, the well was permitted to produce
17 whatever it wanted to make.

18 Q In your opinion is there anything mechan-
19 ical that you could do to this well that would enable you to
20 keep it from being damaged and eliminate the problems you're
21 experiencing without seeking a hardship classification?

22 A No, sir, there is nothing further that --
23 that I could do to it. There are physically things that I
24 could do to the well but in each instance, what I would need
25 to do to it, I would need to kill the well. That's what I

1 don't want to do, you know, I'm a Catch-22 type situation.
2 There isn't anything that I can do that I've been able to
3 figure out which would allow the well to produce but yet
4 change something downhole to make it produce better.

5 Q Now, Mr. Klaar, I think you indicated
6 earlier that you had contact with the Division about prob-
7 lems with shutting this well in back in 1981. I think you
8 had a letter included in Exhibit One.

9 A That is correct.

10 Q Would you now go to what has been marked
11 as Minerals Exhibit Number Seven and just identify this for
12 the examiner?

13 A Exhibit Number Seven is just one of the
14 yearly copies that are submitted by the OCD and sent out to
15 the producer to show that gas wells are required to be shut
16 in for that year and pressure is to be reported.

17 If you will note, that's -- that's the
18 one I grabbed as of '81. There are others on file with Min-
19 erals for the -- for other years for this same well, and it
20 shows that this well has been exempt as far back as '81 and
21 probably as far back as '80 from needing to run that yearly
22 shut-in pressure test.

23 Q And has it been exempt throughout this
24 period of time?

25 A As far as I'm aware, it has.

1 Q Would you now refer to Minerals Exhibit
2 Number Eight, identify this and review the information con-
3 tained thereon?

4 A Exhibit Number Eight is an updated well-
5 bore sketch, schematic, showing what is in the wellbore. It
6 identifies through the yellow the zone that is producing
7 right now. Further down the hole you see the two zones that
8 were producing along with it prior to 1983, and it also in-
9 dicates in the middle the junk that is in the hole. This is
10 an updated, fair representation of what is present down in
11 the wellbore.

12 Q Mr. Klaar, in your opinion has Minerals
13 acted in a responsible and prudent manner in attempting to
14 eliminate problems with this well without seeking a hardship
15 classification?

16 A Yes, sir, we have.

17 Q In your opinion will granting this appli-
18 cation prevent the underground waste of natural gas?

19 A We think it will.

20 Q In your opinion will granting the appli-
21 cation be in the best interest of conservation and protec-
22 tion of correlative rights?

23 A Yes, sir.

24 Q Have all offsetting operators been noti-
25 fied of this application and the minimum sustainable produc-

1 ing rate that you're seeking?

2 A Twice, they've been notified.

3 Q Were Exhibits One through Eight prepared
4 by you or compiled under your direction and supervision?

5 A Yes, they were.

6 MR. CARR: At this time, Mr.
7 Stogner, we would offer into evidence Minerals, Inc. Exhi-
8 bits One through Eight.

9 MR. STOGNER: Exhibits One
10 through Eight will be admitted in evidence.

11 MR. CARR: That concludes my
12 direct examination of Mr. Klaar.

13

14

CROSS EXAMINATION

15 BY MR. STOGNER:

16 Q Mr. Klaar.

17 A Yes, sir.

18 Q If we may refer to Exhibit Number Six and
19 please bear with me as we probably will repeat some of the
20 history on this well.

21 When were the two lower zones P&A'ed?

22 A On that workover that started in '83
23 through July of '84.

24 Q Okay, I notice that there was production
25 between March and June of 1984. Was that from the lower --

1 I mean this upper zone that we're talking about today?

2 A That was depending on what date, whether
3 the two bottom zones had already been plugged off. It was
4 either from one or any one of those.

5 During that seven month period the well
6 would produce for several days and then would die and then
7 we'd go out and we'd do another acid job or chemical job on
8 it, or a clean-up type job on it. The whole process, I was
9 not trying to indicate that during that whole seven month
10 period the well never produced a drop of gas. It did at
11 times produce some gas, as is indicated on that Exhibit Num-
12 ber Six, but it never sustained. It never stuck in there.
13 It was a continuous -- well, it was a continuous dying. The
14 well was trying to die.

15 It had managed it numerous times over.

16 Q Once the well was brought back on produc-
17 tion in July -- in July of '84 --

18 A Correct.

19 Q Was this after numerous swabbings, did
20 you say?

21 A Yes, sir.

22 Q And I still show water production after
23 that. How much water is this upper zone producing at this
24 time?

25 A Well, throughout this whole period, mech-

1 anically you've got to realize what's happening. You've got
2 the upper zone open. You're trying to recover a fish below
3 the upper zone. You've got 13,000 feet of salt water in the
4 hole. The water that we're producing is not necessarily
5 Morrow water. It's the water that we ourselves put in there
6 through a workover. You cannot keep one of these wells --
7 you cannot just open it up and start pulling tubing on it.
8 You've got to kill the well, otherwise you're going to have
9 a blowout at some phase.

10 So you're continuously adding water at
11 the top to keep the well full, to keep it quiet.

12 It ended up, in our opinion, that we were
13 the ones, even though we were testing the upper zone, we
14 were the ones that put the water there that was subsequently
15 produced when just the upper zone was producing. But there
16 was no way we could do -- we could keep from putting the
17 water there, we had to keep control of the well.

18 Q And this is saturated brine, I would as-
19 sume?

20 A Yes, sir, this is KCL brine. It's sup-
21 posedly the water which causes the least damage to Morrow
22 zones in southeast New Mexico by using 2 percent KCL brine.

23 You will also note, if you look there,
24 that the water production is really coming down in '85 and
25 '86, even though the gas production is on a steady decline,

1 the water production is coming down. I think we're finally
2 seeing that all of the water that we put in the wellbore is
3 starting -- into this upper zone, is starting to be de-
4 pleted.

5 Q Will that have any effect of the logoff
6 on this particular well after retrieving all of the fluid
7 that was put into the hole?

8 A The effect should be that you should have
9 less of a logoff trend and that was -- that was amazing
10 about the whole thing, because we were looking at less and
11 less water being produced, less and less fluids being pro-
12 duced out of the wellbore, so why should there be a log-
13 off trend.

14 Well the logoff trend is due to the fine
15 grained sand that is being produced along with the gas. You
16 restrict the -- you cut the turbulence down at some point
17 when you restrict the amount of gas that's allowed to be
18 bled off at the top and the sand starts falling back on it-
19 self, which further -- this was further illustrated by the
20 fact that we lost that tandem bomb in the hole at the end of
21 our logoff test. It should not have taken twice the amount
22 of pull to unseat that bomb, but it did. We estimate that
23 it was sand on top of the bomb that caused it.

24 Q This sand, is it -- how fine, when you
25 say fine grained, how fine is it?

1 A Very fine grained. It is from a geologi-
2 cal standpoint, it is the finest fine grained that a geolo-
3 gist looks at. You have to look between a high powered mic-
4 roscope to distinguish individual sand grains. You cannot
5 with the naked eye distinguish those sand grains. It looks
6 like silt. It isn't until you look at it underneath the
7 microscope that you realize that these are individual, very,
8 very fine grains, sand grains.

9 Your first reaction when you open up a
10 stackpack and you find that it's full of this fine grained
11 sand, you think, well, who put cement in there. It isn't
12 until you start stirring it up that you realize it just
13 doesn't -- it isn't cement. It's just consolidated and very
14 fine grained sand.

15 Q What effect, is there water coming up at
16 the same time with this sand?

17 A Very little. Yes, there is, as you can
18 see on a -- on a month basis, like the last month it shows
19 that it made -- well, really it showed that it only made 3
20 barrels of water per month for the total month when the well
21 was being restricted. See that in March of 1986?

22 There is, there are minor amounts of
23 water being made and there is some oil, condensate being
24 made in the well.

25 Q Let's refer now to Exhibit Number Three.

1 I notice that the Llano 3 State Well No. 1, which is, oh,
2 I'd say about a half a mile south -- I'm sorry, about 3/4 of
3 a mile south, I suppose, in Section 34, what -- is this a
4 Morrow well, too?

5 A Yes, it is. It has never produced more
6 than 30 MCF a day.

7 Q And how does this production correlate on
8 a log with your production in this --

9 A On a log it looks like it's the identical
10 thing to the Llano 34, --

11 Q Yes, sir.

12 A -- but in no other way has it ever acted
13 like the Llano 34. In fact the Llano 3 State, the field
14 continues to the south. This is one of these cases where
15 drilling in the middle of a field was a perfect example of
16 where not to drill a hole, because this well was the biggest
17 disappointment in the whole field. It has never made more
18 than 30 MCF a day.

19 Q Does it produce liquids?

20 A Periodically it kicks out liquids but it
21 does not produce any sand.

22 Q No sand.

23 A No sand.

24 Q Okay, let's -- I said Section 34 awhile
25 ago; I meant Section 3.

1 A Section 3, right below it. I understood
2 you.

3 Q Do you know anything about the two Texaco
4 wells in Section 35 to the east of you?

5 A Yes, sir.

6 Q And are their production zones in the
7 same vicinity as your production zone?

8 A The Getty 35 State -- it's -- excuse me.
9 Originally they were drilled as Getty wells, Getty Oil Com-
10 pany wells. Texaco took them over.

11 Q Right.

12 A The 35 State No. 1 came on originally in
13 the same zone as the Llano 34 State and the 35 State No. 1
14 was also a dual well in the Bone Springs.

15 Since about a year or a year and a half
16 ago, they stopped producing the Morrow zone and they are now
17 concentrating just on the Bone Springs zone, so it is not
18 producing Morrow any more.

19 The 35 State No. 1 was a good well, a
20 very similar type of well to the Llano 34. It did not make
21 any sand that we're aware of. It made good gas, though.

22 Are you interested in that Getty 2 State?

23 Q Yeah, let's go ahead and talk about that.

24 A The Getty 2 State is producing out of a
25 Morrow zone which is totally different from every other well

1 you see out there. It is on top of the Morrow, what is the
2 generally known as the Morrow Clastics marker out in that
3 area. It is about 100 to 120 feet above there.

4 So it's producing zone has nothing what-
5 soever to do with any of the others, other wells around
6 here.

7 Q I'd like to refer to Exhibit Number Five.
8 What size of choke plate did you have in this well?

9 A We had an adjustable choke and when --
10 when it's allowed to flow on its own, we keep sufficient
11 pressure to allow it to separate any liquids that it wants
12 to make in a stackpack, and to allow it to go into the
13 purchaser's line pressure, which is usually 80 to 90 pounds.

14 So we end up producing the well on a
15 wellhead basis, wellhead pressure basis, anywhere from 140
16 to 170 pounds when there are no restrictions on the well, on
17 the amount of gas it produces.

18 Q Okay. In May of -- May 13th you show
19 that the choke plugged. At what orifice size did that choke
20 plug up and what --

21 A I do not have a record of what orifice,
22 whether it was 11/64ths or 12/64ths. Rather I have a record
23 of that the well was producing roughly 340 MCF at the time.

24 Q What plugged that choke up?

25 A Sand. My best guess would be that the

1 well choke was set somewhere about 10 to 10-1/2/64ths at the
2 time when this happened.

3 Q Was this sand a problem in the beginning,
4 '80, '81, '82, '83?

5 A Yes, the sand was a problem back in '81.
6 If you remember I talked about trying to produce this well
7 through two separate strings. The upper zone, being the one
8 that's being produced right now, obviously, had to come
9 through the short string of tubing, which was -- had a pack-
10 er set way up above there, up above the liner, and after we
11 perforated, I don't remember exactly how long, but sometime
12 thereafter, after it had been flowing 3-4 million a day for
13 some time, all of a sudden it plugged off with sand, because
14 from the perforations it had to come out into the wellbore
15 and there was a long string of tubing going down to the
16 other two zones down below.

17 Obviously there were places in there
18 where the 4-1/2 inch casing size and 2-3/8ths inch tubing
19 collars left such a small amount of room that sand dropped
20 out and plugged itself off.

21 Q So you've had this sand problem --

22 A We have had this sand problem just about
23 from the beginning. We became aware of it about 8 to 12
24 months after we put the well on, because that's when it hit
25 us, when all this top zone just gave out completely.

1 Q Now, is the lower tubing pulled?

2 A According to Exhibit Eight, the lower
3 tubing is pulled and left behind, have been the lower Model
4 D packer with, see, the top of the tubing fish there at
5 12841? That is in the hole and inside that tubing it has a
6 three foot jar, two foot mandrill, and a no-go.

7 Q What's a no-go?

8 A A no-go is a device you run ahead of any-
9 thing you run in the tubing to make sure it doesn't go out
10 your seating nipple. The only trouble with it is it usually
11 plants itself in your seating nipple and you can't get it
12 out.

13 So it don't go no way.

14 Q When this tubing was pulled, was there
15 any indication in the tubing of sandblasting, pitting?

16 A Yes, sir. There sure was. Until you
17 mentioned that I'd forgotten. We ran extra strength tubing
18 right across the perforated interval up on top and we found
19 that tubing approximately in the area across the top zones
20 nice and clean. The diameter, the outside of the tubing, I
21 do not remember exactly how much it had reduced but I do re-
22 member that it had reduced itself. It had been sand-blas-
23 ted.

24 Q I suppose the sand has created several
25 problems up at the surface, has it?

1 A Yes, in the last two years, approximately
2 from the middle of '84 on, periodically we have to just
3 flare the well for a few hours around the stackpack and go
4 in there and do a thorough cleaning of the stackpack because
5 it gathers up. Everything comes to a standstill, all the
6 fluid comes into the stackpack. 1 That's where condensate
7 separates from water, water separates from gas, and gas goes
8 off to the purchaser, so everything comes to a standstill in
9 there and that's where it all falls out.

10 And periodically, I do not have a good
11 record of whether it's every four months or every six
12 months, but periodically we have to stop everything and
13 clean the stackpack out.

14 Q Okay. In the process of cleaning a
15 stackpack, do you divert the flow and flare it, you said?

16 A We have the capability of diverting the
17 flow not just to the atmosphere but also completely around
18 the stackpack and with the purchaser's permission letting
19 him have the full well stream. He doesn't like it. He's
20 not crazy about it, because he knows he's getting water and
21 condensate and sand, and honestly, most of the times he says
22 a flat no. He says, you're going to have to blow that to
23 the air.

24 Q How about the wellhead? Is there any
25 damage to the wellhead (not clearly understood) producing?

1 A We have replaced through, since '79 when
2 the well came on, we have replaced the choke mechanism on
3 the inside twice.

4 As far as damage on the wellhead the rest
5 of the way, you know, through valves and such, our valves
6 are holding. That does not guarantee there isn't any dam-
7 age, but the valves are holding when -- the few times and
8 the short times when we shut the well in.

9 Q When was the chokes replaced? You men-
10 tioned twice they had been replaced.

11 A They have been replaced twice since 1979.
12 I'm sorry I do not have the data with me, the dates that
13 they were replaced.

14 Q How do you change a choke?

15 A Well, the first thing is you close your
16 main valves, which you have at least two of coming right out
17 of the wellbore, and then you bleed off your pressure and
18 just undo the rest of the wellhead and unscrew your choke
19 mechanism and take it apart and put new guts in it new work-
20 ings in it.

21 Q How long does it -- how long does -- how
22 long does this operation take?

23 A On the order of 45 minutes.

24 Q So when you turn the well back on there's
25 no noticeable decrease?

1 A None. A short shut-in time like that
2 doesn't -- has not in the past affected it.

3 For one thing, during that short shut-in
4 time your pressure is still rising at the wellhead. It
5 isn't like that -- the first page of Exhibit Five there.

6 Q Uh-huh.

7 A If you'll notice there, on there through
8 several days, starting with the first of April the pressure
9 was steady, the shut-in pressure was steady at 760 pounds
10 before it started dropping. A short shut-in does not -- on
11 the order of just a couple of hours, does not give me any
12 problems.

13 It is when that purchaser tells me that
14 he has no idea when that well is going to come back on,
15 whether it's going to be two months later or eight months
16 later, that I have hiccups.

17 Q How could this sanding problem be in, say
18 a well that was good that did not have a logoff problem, as
19 you say? How could it be remedied?

20 A Well, depending on whether you're talking
21 about a low -- not low, but say a shallow oil well, there is
22 one type of sand packs or consolidations which can take
23 place that hold the sand in place.

24 Q How about for a Morrow well?

25 A For a deep Morrow well, I have no idea

1 right now.

2 We're talking about something two and a
3 half miles deep and I'm not sure what I'd use.

4 I'm sorry.

5 Q Is this problem uncommon in this area,
6 did you say?

7 A To the immediate area it is uncommon but
8 to the general area on the east side of the Delaware Basin,
9 right off the shelf there in southeast New Mexico, there are
10 other people who've run into similar problems.

11 Q Would smaller tubing help in this
12 instance if, say, you were able to run it without shutting
13 it in? This is a hypothetical thing.

14 A A very good point. Smaller tubing, yes,
15 sir, would be a help because it would obviously take the
16 turbulence or the flow capacities, the logoff trend would
17 occur at a lower daily rate than in a 2-3/8ths inch tubing
18 that I've got in the hole right now.

19 The problem with smaller tubing is how to
20 get the smaller tubing in there.

21 Q Without shutting it in.

22 A Without shutting, and not just -- it's
23 not just the shutting in, it is also having to kill the
24 well. Extraneous water is very, as you're aware, and as I'm
25 not the first one to tell you, extraneous water put on a

1 Morrow zone is one of the things, one of the least, or one
2 of the last things you want to do to a Morrow zone.

3 Q And there's no other completion procedure
4 that could be adopted out here without having to run KCL
5 water, is that correct?

6 A Well, you could give me the permission to
7 flare it at 500 MCF a day whenever I don't go down the pur-
8 chaser's line.

9 Q And what would that do?

10 A That would keep the well on.

11 Q For how long?

12 A For however long the purchaser doesn't
13 take my gas, which I can't tell you how long that will be.

14 Q But during --

15 A The point being that I keep the well
16 flowing, see, whether I get any money for it or not, but
17 that I keep the well flowing, that I'm not in jeopardy of
18 shutting it in and never getting it back.

19 MR. STOGNER: I have no further
20 questions of this witness.

21 Is there any questions of Mr.
22 Klaar?

23 MR. CARR: No further ques-
24 tions.

25 MR. STOGNER: Is there any

1 other questions of this witness?

2 If not, he may be excused.

3 Mr. Carr, do you have anything
4 further in Case Number 8907 this morning?

5 MR. CARR: Nothing further.

6 MR. STOGNER: Does anybody else
7 have anything further in Case 8907 at this time?

8 If not, this case will be taken
9 under advisement.

10

11

(Hearing concluded.)

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

C E R T I F I C A T E

I, SALLY W. BOYD, C.S.R., DO HEREBY CERTIFY that the foregoing Transcript of Hearing before the Oil Conservation Division (Commission) was reported by me; that the said transcript is a full, true, and correct record of the hearing, prepared by me to the best of my ability.

Sally W. Boyd CSR

I do hereby certify that the foregoing is a complete record of the proceedings in the Examiner hearing of Case No. 8907 heard by me on 28 May 19 86.

Michael P. Stigler, Examiner
Oil Conservation Division

