

STATE OF NEW MEXICO
ENERGY AND MINERALS DEPARTMENT
OIL CONSERVATION DIVISION
STATE LAND OFFICE BLDG.
Santa Fe, New Mexico

18 March 1987

EXAMINER HEARING

IN THE MATTER OF:

Application of Benson-Montin-Greer Drilling Corporation for the expansion of the BMG West Puerto Chiquito- Mancos Pressure Maintenance Project Area, Rio Arriba County, New Mexico.	CASE 9111
-------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------------	--------------

BEFORE: David R. Catanach, Examiner

TRANSCRIPT OF HEARING

A P P E A R A N C E S

For the Division:	Jeff Taylor Legal Counsel to the Division Oil Conservation Division State Land Office Bldg. Santa Fe, New Mexico
-------------------	------------------------------------------------------------------------------------------------------------------------------

For the applicant:

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

MR. CATANACH: Call next Case
Number 9111.

MR. TAYLOR: Case Number 9111,
application of Benson-Montin-Greer Drilling Corporation for
the expansion of the BMG West Puerto Chiquito-Mancos
Pressure Maintenance Project Area, Rio Arriba County, New
Mexico.

MR. CATANACH: At the request
of the applicant this case will be continued to the
Commission Hearing March 30, 1987.

(Hearing concluded.)

C E R T I F I C A T E

I, SALLY W. BOYD, C.S.R., DO
HEREBY CERTIFY the foregoing Transcript of Hearing before
the Oil Conservation Division (Commission) was reported by
me; that the said transcript is a full, true, and correct
record of the hearing, prepared by me to the best of my
ability.

Sally W. Boyd CSR

I do hereby certify that the foregoing is
a complete record of the proceedings in
the Examiner hearing of Case No. 9111,
heard by me on March 18 1987.

David L. Catonah, Examiner
Oil Conservation Division

1 STATE OF NEW MEXICO
2 ENERGY AND MINERALS DEPARTMENT
3 OIL CONSERVATION DIVISION
4 STATE LAND OFFICE BLDG.
5 SANTA FE, NEW MEXICO

6 3 April 1987

7 COMMISSION HEARING

8 IN THE MATTER OF:

9 Application of Benson-Montin-Greer CASE
10 for the expansion of the BMG West 9111
11 Puerto Chiquito-Mancos Pressure Main-
12 tenance Project Area, Rio Arriba
13 County, New Mexico, and
14 Application of Benson-Montin-Greer CASE
15 Drilling Corporation for the amendment 8951
16 of Division Order No. R-8124, Rio
17 Arriba County, New Mexico.

18 BEFORE: William J. LeMay, Chairman
19 Erling A. Brostuen, Commissioner
20 William R. Humphries, Commissioner

21 TRANSCRIPT OF HEARING

22 A P P E A R A N C E S

23 For the Commission: Jeff Taylor
24 Legal Counsel for the Division
25 Oil Conservation Division
State Land Office Bldg.
Santa Fe, New Mexico 87501

For Benson-Montin-Greer: William F. Carr
Attorney at Law
CAMPBELL & BLACK P.A.
P. O. Box 2208
Santa Fe, New Mexico 87501

1 MR. CARR: May it please the
2 Commission, at this time I'd request that the next two cases
3 on the docket be continued and readvertised and scheduled at
4 a later date. They're applications for Benson-Montin-Greer,
5 and we would request that they be rescheduled following the
6 entry of an order in this matter.

7 MR. LEMAY: Thank you. Is
8 there any objection to that request?

9 If none, then that request is
10 noted and it will be followed.

11

12 (Hearing concluded.)

13

14

15

16

17

18

19

20

21

22

23

24

25

C E R T I F I C A T E

I, SALLY W. BOYD, C.S.R., DO HEREBY CERTIFY the foregoing Transcript of Hearing before the Oil Conservation Division (Commission) was reported by me; that the said transcript is a full, true, and correct record prepared by me to the best of my ability.

Sally W. Boyd CSR

BEFORE THE
NEW MEXICO OIL CONSERVATION COMMISSION
SANTA FE, NEW MEXICO
MAY 21, 1987

COMMISSION HEARING

[IN THE MATTER OF:]
[]
[Application of Benson-Montin-Greer Drilling]
[Corporation for the expansion of the BMG West]
[Puerto Chiquito-Mancos Pressure Maintenance]
[Project Area, Rio Arriba County, New Mexico.]

CASE 9111

BEFORE: William J. LeMay, Director

TRANSCRIPT OF HEARING

A P P E A R A N C E S

For the New Mexico Oil
Conservation Commission:

Jeff Taylor
Legal Counsel for the Commission
State Land Office Building
Santa Fe, New Mexico

MR. LEMAY: The hearing will come to order. Call Case 9111.

MR. TAYLOR: Case 9111, the application of Benson-Montin-Greer Drilling Corporation for the expansion of the BMG West Puerto Chiquito-Mancos Pressure Maintenance Project Area, Rio Arriba County, New Mexico.

MR. LEMAY: At the request of the applicant this case will be continued to June 18, 1987. The hearing adjourned.

STATE OF NEW MEXICO
ENERGY AND MINERALS DEPARTMENT
OIL CONSERVATION DIVISION
STATE LAND OFFICE BLDG.
Santa Fe, New Mexico

18 June 1987

COMMISSION HEARING

IN THE MATTER OF:

Application of Mallon Oil Company for the reinstatement of oil production allowables and an exception to the provisions of Division General Rule 502 for certain wells located in the Gavilan-Mancos Oil Pool, Rio Arriba County, New Mexico

CASE
9073

and

Application of Benson-Montin-Greer Drilling Corporation for the amendment of Division Order No. R-8124, Rio Arriba County, New Mexico

CASE
8951

and

Application of Benson-Montin-Greer Drilling Corporation for the expansion of the BMG West Puerto Chiquito-Mancos Pressure Maintenance Project Area, Rio Arriba County, New Mexico.

CASE
9111

BEFORE: William J. Lemay, Chairman
Erling A. Brostuen, Commissioner
William R. Humphries, Commissioner

TRANSCRIPT OF HEARING

A P P E A R A N C E S

For the Division:

Charles E. Roybal
Counsel to the Commission
Energy and Minerals Department
525 Camino de Los Marquez
Santa Fe, New Mexico 87501

For the Applicant:

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

MR. LEMAY: The remaining three cases, we won't have to read them because they've been on the docket for awhile, but Cases 9073, Cases 8951, Case 9111 all involved the West Puerto Chiquito Gavilan Area, and at the request of counsel these cases will be continued to July 16th hearing.

C E R T I F I C A T E

I, SALLY W. BOYD, C.S.R., DO
HEREBY CERTIFY the foregoing Transcript of Hearing before
the Oil Conservation Division (Commission) was reported by
me; that the said transcript is a full, true, and correct
record of the hearing, prepared by me to the best of my
ability.

Sally W. Boyd CSR

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

STATE OF NEW MEXICO
ENERGY AND MINERALS DEPARTMENT
OIL CONSERVATION DIVISION
STATE LAND OFFICE BLDG.
SANTA FE, NEW MEXICO

16 July 1987

COMMISSION HEARING

IN THE MATTER OF:

Disposition of Cases 9134, 9068, 9073,
8951, and 9111

*Transcript in
Case 9134*

BEFORE: William J. Lemay, Chairman
Erling Brostuen, Commissioner

TRANSCRIPT OF HEARING

A P P E A R A N C E S

For the Commission:

For the Applicant:

BEFORE THE
NEW MEXICO OIL CONSERVATION COMMISSION
SANTA FE, NEW MEXICO
SEPTEMBER 24, 1987

COMMISSION HEARING

[IN THE MATTER OF:]

[Application of Benson-Montin-Greer]
[Drilling Corporation for the expansion]
[of the BMG West Puerto Chiquito-Mancos]
[Pressure Maintenance Project Area, Rio]
[Arriba County, New Mexico.]

CASE 9111

BEFORE: William J. LeMay, Director

TRANSCRIPT OF HEARING

A P P E A R A N C E S

For the New Mexico Oil
Conservation Commission:

Jeff Taylor
Legal Counsel for the Commission
State Land Office Building
Santa Fe, New Mexico

MR. LEMAY: Call next Case 9111.

MR. TAYLOR: Case 9111, the application of Benson-Montin-Greer Drilling Corporation for the expansion of the BMG West Puerto Chiquito-Mancos Pressure Maintenance Project Area, Rio Arriba County, New Mexico.

MR. LEMAY: At the request of the applicant this case will be continued to the Commission hearing to be held on October 15, 1987. The hearing is adjourned.

1 STATE OF NEW MEXICO
2 ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
3 OIL CONSERVATION DIVISION
4 STATE LAND OFFICE BLDG.
5 SANTA FE, NEW MEXICO

6
7 15 October 1987

8 COMMISSION HEARING

9 IN THE MATTER OF:

10 Application of Benson-Montin-Greer CASE
11 Drilling Corporation for the expansion of the BMG West Puerto Chiquito-Mancos Pressure Maintenance Project Area, Rio Arriba County, New Mexico. 9111

12 BEFORE: William J. LeMay, Chairman
13 Erling A. Brostuen, Commissioner
14 William R. Humphries, Commissioner

15 TRANSCRIPT OF HEARING

16
17 A P P E A R A N C E S

18 For the Division: Jeff Taylor
19 Attorney at Law
20 Legal Counsel to the Division
21 State Land Office Bldg.
22 Santa Fe, New Mexico 87501

23 For the Applicant: William F. Carr
24 Attorney at Law
25 CAMPBELL & BLACK P. A.
P. O. Box 2207
Santa Fe, New Mexico 87501

1
2 MR. LEMAY: Case Number 9111.
3 Application of Benson-Montin-Greer Drilling Corporation for
4 the expansion of the BMC West Puerto Chiquito-Mancos
5 Pressure Maintenance Project Area, Rio Arriba County, New
6 Mexico.

7 MR. CARR: May it please the
8 Commission, Benson-Montin-Greer Drilling Corporation re-
9 quests that this case be continued to the Commission hearing
10 to be held in December of this year, if there is one; if
11 not, then to the next scheduled Commission hearing.

12 MR. LEMAY: Thank you, Mr. Carr.

13 Without objection Case Number
14 9111 will be continued to the December docket of the
15 Commission.

16 (Hearing concluded.)
17
18
19
20
21
22
23
24
25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

C E R T I F I C A T E

I, SALLY W. BOYD, C.S.R., DO
HEREBY CERTIFY the foregoing Transcript of Hearing before
the Oil Conservation Division (Commission) was reported by
me; that the said transcript is a full, true, and correct
record of the hearing, prepared by me to the best of my
ability.

Sally W. Boyd CSR

STATE OF NEW MEXICO
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
OIL CONSERVATION DIVISION
STATE LAND OFFICE BUILDING
SANTA FE, NEW MEXICO

18 February 1988

COMMISSION HEARING

IN THE MATTER OF:

Application of Benson-Montin-Greer CASE
Drilling Corporation for the expansion 9111
of the BMG West Puerto Chiquito-
Mancos Pressure Maintenance Project
Area, Rio Arriba County, New Mexico.

BEFORE: William J. LeMay, Chairman
Erling Brostuen, Commissioner
William R. Humphries, Commissioner

TRANSCRIPT OF HEARING

A P P E A R A N C E S

For the Division: No attorney appearing.

1 MR. LEMAY: Case Number 9111,
2 the application of Benson-Montin-Greer Drilling Corporation
3 for the expansion of the BMG West Puerto Chiquito-Mancos
4 Pressure Maintenance Project Area, will be extended --
5 continued to March 17th, at the request of applicants, as
6 will Case No. 9073, de novo hearing, application of Mallon
7 Oil Company for the reinstatement of oil production
8 allowables.

9 Both of those cases will be
10 extended to the Commission Hearing on March 17th.

11
12 (Hearing concluded.)
13
14
15
16
17
18
19
20
21
22
23
24
25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

C E R T I F I C A T E

I, SALLY W. BOYD, C.S.R., DO HEREBY
CERTIFY that the foregoing Transcript of Hearing before the
Oil Conservation Division (Commission) was reported by me;
that the said transcript is a full, true, and correct record
of the hearing, prepared by me to the best of my ability.

Sally W. Boyd CSR

STATE OF NEW MEXICO
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
OIL CONSERVATION DIVISION
STATE LAND OFFICE BUILDING
SANTA FE, NEW MEXICO

17 March 1988

COMMISSION HEARING

IN THE MATTER OF:

Application of Benson-Montin-Greer CASE
Drilling Corporation for the expan- 9111
sion of the BMG West Puerto Chiquito-
Mancos Pressure Maintenance Project
Area, Rio Arriba County, New Mexico.

BEFORE: William J. LeMay, Chairman
Erling Brostuen, Commissioner
William R. Humphries, Commissioner

TRANSCRIPT OF HEARING

A P P E A R A N C E S

For the Division: No attorney appearing.

For the Applicant: William F. Carr
Attorney at Law
CAMPBELL & BLACK, P.A.
Post Office Box 2208
Santa Fe, New Mexico 87501

For Sun Exploration & W. Thomas Kellahin
Production: Attorney at Law
KELLAHIN, KELLAHIN & AUBREY
P.O. Box 2265
Santa Fe, New Mexico 87501

NEW MEXICO OIL CONSERVATION COMMISSION

COMMISSION HEARING

SANTA FE, NEW MEXICO

Hearing Date MARCH 17, 1988 Time: 9:00 A.M.

NAME	REPRESENTING	LOCATION
William F. Jam	Benson-Martin - Greer	Santa Fe
W. T. Kellheim	Sun Exploration & Prod.	Santa Fe
Burt Hulme	Bryman	Santa Fe
R.D. Buethner	Koch Exploration Company	Wichita, KS
C.F. Pomroy		
James Deane & Betsy Miller	Mallin Oil Co.	Denver
M.A. Stallworth	Mobil Oil	Denver
BRUCE PETITT	Reading + Bates Petroleum Co.	Tulsa, OK
Greg D. Owens	Hooper, Kimball & Williams, Inc.	Tulsa, OK
James Bruce	Hinkle Law Firm (Mesa Grande et al.)	S F
L.G. Zambrano	Mobil	Denver
S. C. Coy	OCC	Ogden
Greg Hueni	Bergeson's Assoc.	Denver
KEVIN M. FITZGERALD George Malton	MALLIN OIL Co.	DENVER
J. S. [Signature]	Mesa Grande, Ltd.	Tulsa
David - [Signature]	BENSON-MARTIN-GREER	FRANKFORD
Victoria Lyon	OCC	Santa Fe

NEW MEXICO OIL CONSERVATION COMMISSION

COMMISSION HEARINGSANTA FE, NEW MEXICOHearing Date MARCH 17, 1988 Time: 9:00 A.M.

NAME	REPRESENTING	LOCATION
FRANK SYMAN Waman Cadwell	Sun EOP Sun EOP	DENVER Denver
Carl Pomeroy	Koch Exploration	Wichita, KS
John Roe	Dugan Prod. Corp.	Farmington

1

I N D E X

2

3

4

VOLUME ____ OF ____ VOLUMES

5

6

STATEMENT BY MR. CARR 9

7

STATEMENT BY MR. DOUGLASS 13

8

STATEMENT BY MR. KELLAHIN 17

9

STATEMENT BY MR. BRUCE 20

10

11

12

ALBERT R. GREER

13

Direct Examination by Mr. Carr 21

14

Cross Examination by Mr. Douglass 103

15

Questions by Mr. Chavez 206

16

Questions by Mr. Brostuen 210

17

18

RICHARD K. ELLIS

19

Direct Examination by Mr. Kellahin 218

20

Questions by Mr. Lyon 238

21

Questions by Mr. LeMay 241

22

23

24

25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

A P P E A R A N C E S

For Mallon, Mobil and
Kodiak

W. Perry Pearce
Attorney at Law
MONTGOMERY & ANDREWS
P. O. Box 2307
Santa Fe, New Mexico 87501

Frank Douglass and Becky
Miller
Attorneys at Law
SCOTT, DOUGLASS & LUTON
Twelfth Floor
First City Bank Bldg.
Austin, Texas 78701

For Mesa Grande Ltd.,
Mesa Grande Resources,
Reading & Bates, Hooper,
Kimball & Williams, and
Limestone Investments:

James G. Bruce
Attorney at Law
HINKLE LAW FIRM
P. O. Box 2068
Santa Fe, New Mexico 87504

For Koch Exploration:

Robert D. Buettner
General Counsel & Secretary
Koch Exploration Company
P. O. Box 2256
Wichita, Kansas 67201

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

I N D E X CONT'D

VOLUME 2 OF 2 VOLUMES

DR. JOHN LEE

Direct Examination by Mr. Kellahin	248
Cross Examination by Mr. Carr	290
Cross Examination by Mr. Douglass	292
Cross Examination by Mr. Pearce	323
Questions by Mr. Chavez	330
Recross Examination by Mr. Douglass	334
Questions by Mr. Brostuen	335

GREGORY B. HUENI

Direct Examination by Mr. Douglass	340
Cross Examination by Mr. Kellahin	414
Questions by Mr. Chavez	418
Questions by Mr. LeMay	424

DR. JOHN LEE RECALLED

Redirect Examintino by Mr. Kellahin	429
Recross Examination by Mr. Douglass	432

1

2

I N D E X CONT'D

3

4

ALBERT R. GREER RECALLED

5

Redirect Examination by Mr. Carr 433

6

Recross Examination by Mr. Douglass 457

7

Questions by Mr. LeMay 463

8

Questions by Mr. Lyon 465

9

10

STATEMENT BY MR. BRUCE 472

11

STATEMENT BY MR. BUETTNER 476

12

STATEMENT BY MR. PEARCE 477

13

STATEMENT BY MR. DOUGLASS 480

14

STATEMENT BY MR. KELLAHIN 485

15

STATEMENT BY MR. CARR 489

16

17

18

19

E X H I B I T S

20

21

BMG Exhibit One, Brown Book 23

22

BMG Exhibit Two, Black Book 68

23

BMG Exhibit Three, Red Book 81

24

BMG Exhibit Four, Blue Book 95

25

BMG Exhibit Five, Letter

1

2

E X H I B I T S CONT'D

3

4

5

Sun Exhibit One,

250

6

Sun Exhibit Two,

7

8

9

Mallon Exhibit One, Letter

10

Mallon Exhibit Two,

11

Mallon Exhibit Three, Computer Printout

340

12

Mallon Exhibit Four, Map

342

13

Mallon Exhibit Five, Map

348

14

Mallon Exhibit Six, Map

354

15

Mallon Exhibit Seven, Map

355

16

Mallon Exhibit Eight, Map

360

17

Mallon Exhibit Nine, Graph

364

18

Mallon Exhibit Ten, Calculations

374

19

Mallon Exhibit Eleven, Graphs

380

20

Mallon Exhibit Twelve, Map

393

21

Mallon Exhibit Thirteen, Tabulation

394

22

Mallon Exhibit Fourteen, Bar Graph

398

23

Mallon Exhibit Fifteen, Bar Graph

404

24

Mallon Exhibit Sixteen, Comparison

407

25

1

2

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

MR. LEMAY: And I'll call Case 9111, the application of Benson-Montin-Greer Drilling Corporation for the expansion of the BMG West Puerto Chiquito Mancos Pressure Maintenance Project, Rio Arriba County, New Mexico.

I shall call for appearances in Case 9111.

MR. CARR: May it please the Commission, my name is William F. Carr, with the law firm Campbell & Black, P. A., of Santa Fe, New Mexico.

We represent Benson-Montin-Greer Drilling Corporation.

MR. LEMAY: Thank you. Additional appearances? Mr. Kellahin.

MR. KELLAHIN: Mr. Chairman, I'm Tom Kellahin of the Santa Fe law firm of Kellahin, Kellahin & Aubrey. I'm appearing on behalf of Sun Exploration and Production Company.

MR. LEMAY: Thank you. Additional appearances? Mr. Pearce.

MR. PEARCE: May it please the Commission, I am W. Perry Pearce appearing in this matter on behalf of Mobil Exploration and Producing, U.S., as well as on behalf of Mallon Oil Company.

1 Mr. Chairman, I would like to
2 state that appearing with me on behalf of Mallon Oil Company
3 is Mr. Frank Douglass and Miss Becky Miller of the Austin
4 law firm of Scott, Douglass, and Luton.

5 MR. LEMAY: Thank you. Welcome
6 to New Mexico, Miss Miller and Mr. Douglass.

7 MR. DOUGLASS: Thank you.

8 MR. LEMAY: You're no stranger
9 to this court.

10 Yes, sir, Mr. Bruce.

11 MR. BRUCE: Mr. Chairman, my
12 name is James Bruce from the Hinkle Law Firm and I'm here
13 representing Mesa Grande Limited, Mesa Grande Resources,
14 Inc., Reading & Bates Petroleum Company, Hooper, Kimball and
15 Williams, Inc., and Limestone Investments Company. That's
16 basically the City of Tulsa, Mr. Chairman.

17 MR. LEMAY: Thank you. We're
18 happy to have Oklahoma represented.

19 Additional appearances in the
20 case?

21 MR. BUETTNER: Mr. Chairman,
22 I'm Robert Buettner representing Koch Exploration Company.

23 MR. LEMAY: Welcome to New Mex-
24 ico.

25 Additional representation in

1 these cases?

2 Okay, if not, we shall begin
3 with Mr. Carr.

4 MR. CARR: May it please the
5 Commission, I have a very brief opening statement.

6 MR. LEMAY: Fine. Sally, let's
7 go off the record just a little bit.

8
9 (Thereupon a discussion was had off the record.)

10
11 MR. LEMAY: Before we start
12 with the opening statements I'll summarize for the record
13 that we have -- we have allocated two days for the hearing;
14 that there are some time restraints on the second day; that
15 we have agreed to go into the second part of the testimony
16 today if we can get there, and that we will start with
17 opening statements.

18 So with that, Mr. Carr, please
19 begin.

20 MR. CARR: May it please the
21 Commission, Benson-Montin-Greer Drilling Corporation is be-
22 fore you here today seeking expansion of the BMG West Puerto
23 Chiquito Mancos Pressure Maintenance Project Area.

24 This project was originally ap-
25 proved by the Oil Commission in 1968 and it has been expan-

1 ded from time to time since that date.

2 We're now here before you seek-
3 ing Commission approval for the thirteenth revision of the
4 participating area and this case involves only that ques-
5 tion. It involves whether or not this pressure maintenance
6 project should be expanded, expanded so that the project
7 area will include all the acreage within the Canada Ojitos
8 Unit.

9 There are two basic things we
10 believe we must show if we are to obtain your approval.

11 The first is that there is ef-
12 fective pressure communications, communication between the
13 existing pressure maintenance project and the area included
14 in the proposed expansion area.

15 We also have to present evi-
16 dence that pressure maintenance has increased recovery of
17 oil in the project area and can be expected to continue to
18 do so.

19 This is not a case to debate
20 where the boundary should be in the Gavilan Pool or the West
21 Puerto Chiquito Pool. Those have been previously decided
22 and we will stay away from that.

23 We will present evidence on
24 communication and that is the first and primary focus of our
25 presentation. We're going to demonstrate that pressure com-

1 munication, effective pressure communication, exists
2 throughout the area between the existing project and the
3 proposed expansion.

4 We're going to show you this in
5 a number of ways.

6 We're going to show you that in
7 fact everytime we've looked for communication you can find
8 the communication exists and therefor inclusion of this
9 proposed expansion area in the project area is essential if,
10 in fact, waste is to be prevented.

11 We're also going to talk about
12 the improved recovery that we realize as a result of
13 the pressure maintenance. This is not something new; it's
14 been recognized repeatedly by this Commission over the years
15 since 1968. But we will show you that pressure maintenance
16 coupled with gravity drainage and gravity segregation will
17 result in increased recovery of oil, recovery of oil that
18 could not be obtained without pressure maintenance.

19 Now I understand at the pre-
20 vious hearings over the years, and particularly in the last
21 year or so, you've heard a great deal about these
22 reservoirs, perhaps more than you've ever wanted to know,
23 and we're going to attempt to keep the evidence on the
24 reservoir restricted, but it is essential for a full
25 understanding of pressure maintenance that we do at least on

1 occasion talk about this particular reservoir and we intend
2 to do that and show you what will happen to the production
3 from this reservoir if our application for expansion of the
4 project is in fact denied, for if it is denied, we submit
5 that waste will occur.

6 We also are going to address
7 the question of correlative rights. Now, we will show you
8 because of the communication there is not a barrier in the
9 reservoir and having done that, we have to take a look at
10 the pressure maintenance credit formula, credits that are
11 given for re-injection of gas produced in the pressure main-
12 tenance project.

13 We will show you and compare
14 voidage, reservoir voidage from wells within the project
15 area with those that are outside the area, and we will show
16 you how this formula is essential and how it works to pro-
17 tect correlative rights of those interest owners, not only
18 in the unit area, but those outside, as well.

19 We are convinced when the evi-
20 dence is in it will be clear to you that communication, ef-
21 fective communication, exists throughout the reservoir; that
22 pressure maintenance is working and we expect it to continue
23 to work, and that only by expanding the project area as we
24 propose can you carry out your duty to prevent the waste of
25 oil and protect the correlative rights of all interest own

1 ers in this reservoir.

2 MR. LEMAY: Thank you, Mr. Carr.

3 Mr. Douglass.

4 MR. DOUGLASS: Thank you, Mr.

5 Chairman.

6 On behalf of Mallon Oil Com-
7 pany, we -- I think the -- from the sound of the opening
8 statement, at least, that the issues have been drawn here,
9 the main issue, and that is whether there is effective com-
10 munication between these wells and that they propose to have
11 this allowable benefit and the injection that's supposed to
12 be taking place.

13 The proposal by Mr. Greer here,
14 and Sun, will result in 991 barrels a day increase in the 2-
15 section area that adjoins the Gavilan Pool.

16 It will increase an already ex-
17 isting 3-1/2-to-1 advantage in oil withdrawal rates to 6-to-
18 1, and according to Mr. Greer's theory of the Gavilan Pool,
19 we suggest that that will result in waste because gas from
20 these wells will be produced and then injected in an area
21 which is not in effective communication with the Greer-oper-
22 ated wells that will have this almost 1000 barrel a day in-
23 crease in production.

24 One of the exhibits that we will
25 submit is a map, a status map of the area, where we have

1 colored in brown the current pressure maintenance area. It
2 is showing the wells that are there and the wells that are
3 producing there.

4 The wells that are in question
5 in this proceeding will be the 2-section area between the
6 pressure maintenance project and the boundary between the
7 Gavilan and the West Puerto Chiquito Pool at this time. In
8 other words, these twelve wells in here that are colored
9 green and operated as unit wells will have their gas taken,
10 injected four to seven miles away in three injection wells,
11 and will receive allowable credits for that and increase
12 their production by 1000 barrels a day immediately offset-
13 ting the Gavilan Pool.

14 The Commission ordered testing
15 that has taken place, we believe has provided at least out-
16 side parties and the Commission the first oil zone pressures
17 taken in the pressure maintenance area that we've been aware
18 of for seventeen years. The last pressure that was presen-
19 ted to the Commission in this pressure maintenance area was
20 a pressure taken in December of 1970 in the C-20 -- excuse
21 me, the C-34 Well. We now have a pressure taken in a recent
22 survey in that well.

23 The Commission ordered testing
24 and pressure data, we think has shown that the pressure in
25 the pressure maintenance area immediately to the east of

1 this barrier that we show is about 1400 pounds and the pres
2 sure immediately east of it is in the range of 950 pounds, a
3 450-pound pressure differential across this barrier, which
4 supports and actually confirms the existence of that barrier
5 and taking the gas from the west side of the barrier to put
6 it on the east side, is not an effective communication with
7 these wells that are proposed to have a 1000 barrel a day
8 allowable increase.

9 The Commission's order of June
10 8th, 1987, said there was limited communication between the
11 two areas. Your testing that was ordered has confirmed that
12 not only is it limited, but it's probably nonexistent be-
13 tween the areas as far as communication is concerned.

14 My client assumes that Mr.
15 Greer will have the burden of proof in this hearing to prove
16 his case and even though Mr. Greer has written your staff
17 telling them when this Commission will act, about what date
18 they will act. We suggest that this Commission is not going
19 to act until it hears all the facts, until it analyzes and
20 is satisfied with what it has been able to determine based
21 on information in this -- in this hearing.

22 The pressure data will not sup-
23 port Mr. Greer as far as effective communication and the
24 pressure data will show no effective communication. We
25 would suggest to the -- to the Commission that under Mr.

1 Greer's theory of taking gas from this area and injecting it
2 over here, when it's not having any effect over here, will
3 cause waste, according to his theory of reservoir production
4 in the Gavilan.

5 What he proposes is to increase
6 that production, as I've indicated, by 1000 barrels a day.
7 If you follow Mr. Greer's logic in this situation, then the
8 Commission should not permit the expansion in this area if
9 you don't want to increase gas withdrawals in this area over
10 here, according to his theories of reservoir (unclear.)

11 In the previous hearings Mr.
12 Greer has stated to this Commission, if you're going to err,
13 err in the side of safety; err in the side of being safe,
14 taking care of the situation if later facts should develop,
15 and I think that's essentially what this Commission has done
16 and it's difficult to be critical of a Commission that is
17 trying to do the right thing and err on the side of safety.

18 In this proceeding if there's
19 going to be an error made, then if you follow Mr. Greer's
20 logic in that respect, then it should be denied to give cre-
21 dit in here, increase these withdrawals, when there's not
22 effective communication, because that, according to Mr.
23 Greer, will cause waste.

24 We are ready to go forwards
25 with evidence to show lack of effective communication across

1 here. We think the production data and pressure data that's
2 been submitted has shown the necessity that you do not ex-
3 pand this area as far as the pressure maintenance project is
4 concerned.

5 Thank you.

6 MR. LEMAY: Thank you, Mr.
7 Douglass.

8 Mr. Kellahin.

9 MR. KELLAHIN: Mr. Chairman, on
10 behalf of Sun Exploration and Production Company I'd like to
11 make a brief statement so that you understand our position.

12 Unlike Mallon, who has inter-
13 ests only in Gavilan-Mancos, and unlike Mr. Greer, who has
14 interests only in the unit, Sun Exploration and Production
15 Company is in the unique position of being in both areas.
16 Sun Exploration has some 40 percent interest ownership in
17 the Canada Ojitos Unit. In addition, it has more than 50
18 percent of the ownership in Gavilan-Mancos, operating some
19 29 wells in that pool.

20 We have independently through
21 our own experts analyzed both reservoirs and we are in sup-
22 port of Mr. Greer and his position.

23 We have carefully worked with
24 him in order not to attempt to duplicate in an extensive way
25 his presentation. We do feel that it's necessary and essen-

1 tial that we present to you two of our own witnesses.

2 We will present to you Dr. John
3 Lee, who testified before you back in March and April of
4 last year when we were discussing allowables in Gavilan-Mancos.
5 Dr. Lee has conducted his own studies of the pressure main-
6 tenance project and he will present to you his conclusions
7 on that subject.

8 It's my understanding and be-
9 lief that I can present his direct testimony within an hour,
10 an hour and a half. We will do our very best not to be re-
11 petitive of Mr. Greer, but we believe that his testimony is
12 essential so that you'll understand our position.

13 In addition, we know the Com-
14 mission has heard extensive geologic testimony; however, we
15 would like to present our geologic witness, Mr. Dick Ellis,
16 who also has testified before you on numerous occasions on
17 the Gavilan-Mancos reservoir.

18 Mr. Ellis has prepared displays
19 and testimony focused specifically on the question of
20 whether or not geologically the expansion area, the 2-tier
21 section area, is geologically suitable for inclusion in the
22 expansion area. We will provide you his displays, conclu-
23 sions, and reasoning for that decision.

24 We have between the two areas
25 established by the Commission and reconfirmed by the Commis-

1 sion, the boundary of the two pools. The boundary between
2 the western side of Gavilan and the eastern side of West
3 Puerto Chiquito-Mancos is not adjusted. We are talking
4 about taking the area that now is included in the West Puer-
5 to Chiquito Mancos Pool and simply expanding that 2-tier
6 area including it into the existing pressure maintenance
7 project.

8 Contrary to the allegations
9 that Mr. Douglass has provided for you, we believe our
10 experts will demonstrate to you, and the truth will be, that
11 every time that alleged buffer is tested, it communicates;
12 every conceivable way our engineers have tested to determine
13 where there is a calculation or a test that can be made to
14 establish communication between the expansion area and the
15 existing area, in fact, proves communication.

16 It will be our testimony and
17 proof that the expansion area is a necessary, viable,
18 integral part of the project area and must be included. We
19 believe it can be included in such a way as not to pose a
20 risk to our interests in the Gavilan and that through a
21 method of gas injection credits we can maintain a system
22 where the reservoir voidage between Gavilan and the pressure
23 maintenance project is in reasonable balance.

24 We believe this is a typical,
25 traditional pressure maintenance project that ought to be

1 approved and the credits applied. We believe after all the
2 proof is in, that you'll see no other course of action but
3 to approve the application of Mr. Greer.

4 MR. LEMAY: Thank you, Mr. Kel-
5 lahin.

6 Mr. Bruce.

7 MR. BRUCE: Mr. Chairman, very
8 briefly, we may have one or two very, very brief witnesses
9 and we'll wait and see about this.

10 I would comment that one of my
11 clients, Reading & Bates, is also an interest owner in both
12 pools and contrary to Sun, it opposes the application of
13 Benson-Montin-Greer. They believe that the facts are other-
14 wise than presented by Benson-Montin-Greer.

15 MR. LEMAY: Thank you, Mr.
16 Bruce.

17 Additional opening comments?

18 MR. BUETTNER: Mr. Chairman.

19 MR. LEMAY: Mr. Buettner.

20 MR BUETTNER: Just briefly, I'd
21 like to reiterate what counsel just pointed out, that con-
22 trary to Mr Kellahin's statement about the ownership, Koch
23 also owns interest in both of the units, both these areas,
24 and also opposed Mr. Greer's application.

25 MR. LEMAY: Thank you. Addi-

1 tional opening comments?

2 If not, we shall continue. Mr.
3 Carr, you may proceed, and then Mr. Kellahin.

4 MR. CARR: I'll begin and at
5 this time we'd call Albert R. Greer.

6 MR. LEMAY: At this time would
7 all the witnesses that are going to be delivering testimony,
8 would you please stand and raise hand and we'll swear you
9 all at one time.

10

11 (Proposed witnesses sworn.)

12

13 MR. LEMAY: Mr. Greer.

14

15

16 ALBERT R. GREER,

17

18 being called as a witness and being duly sworn upon his
19 oath, testified as follows, to-wit:

20

21 DIRECT EXAMINATION

22 BY MR. CARR:

23 Q Would you state your full name for the
24 record, please?

25 A Albert R. Greer.

1 Q What is your relationship to Benson-Mon-
2 tin-Greer Drilling Corporation?

3 A I'm an engineer and officer.

4 Q And you are the applicant in this case?

5 A Yes, sir.

6 Q Mr. Greer, have you previously testified
7 before this Commission?

8 A Yes, sir, I have.

9 Q And at that time were your credentials
10 accepted and made a matter of record?

11 A Yes sir.

12 Q How were you qualified at that time, as a
13 petroleum engineer?

14 A Yes, sir.

15 Q How long have you been involved with the
16 development of the West Puerto Chiquito Gallup Oil Pool?

17 A About -- well, since its -- since the
18 first discovery about 1962.

19 Q Did you also participate in the original
20 hearing which resulted in an order approving pressure main-
21 tenance in a portion of this reservoir?

22 A Yes, sir.

23 Q And have you been involved at all rele-
24 vant times since then?

25 A Yes, sir.

1 Q And you've studied the reservoir?

2 A Yes, sir.

3 Q And you're familiar with what's being
4 sought here today?

5 A Yes, sir.

6 MR. CARR: Are the witness'
7 qualifications acceptable?

8 MR. LEMAY: His qualifications
9 are acceptable.

10 Q Mr. Greer, would you briefly state what
11 Benson-Montin-Greer is seeking with this application?

12 A Yes, sir. If you'll look under Section A
13 --

14 Q And are you referring to what has been
15 marked Exhibit Number One?

16 A Yes, Exhibit Number One.

17 Q Okay.

18 MR. KELLAHIN: That's the brown
19 book?

20 Q And that is the brown book?

21 A The brown book. A plat on the lefthand
22 side in the first part of Section A, and it shows an outline
23 of the existing unit, and by the dashed margin the area that
24 we seek to have added to the pressure maintenance project.

25 Q Mr. Greer, this is the plat with the

1 green outline that is the first document behind the intro-
2 ductory tab?

3 A Yes, sir, this is the introduction tab,
4 I'm sorry.

5 Q It shows not only the unit boundary but
6 the proposed expansion.

7 A Yes, sir.

8 Q Now we're going to be working with this
9 exhibit for some time. Before we start working through the
10 various sections, would you identify for the Commission the
11 general area that you plan to cover working from this exhi-
12 bit?

13 A Yes, sir. We've divided the presentation
14 into four parts: First, the reservoir description; Part II,
15 benefits of pressure maintenance; and Part III, evidence of
16 reservoir stratification; and Part IV is evidence of commun-
17 ication of wells in the proposed expansion area with the ex-
18 isting project area.

19 Q Would you now turn to the first document
20 contained behind Tab A in Exhibit Number One, and first
21 identify what this is intended to show?

22 A Yes, sir. The schematic fracture system
23 shown on the lefthand side is -- is our interpretation of
24 the geometry of the reservoir. Naturally fractured reser-
25 voirs typically are of a matrix porosity laced with frac-

1 tures.

2 We did not find that to be the case in
3 our investigation early on in this reservoir. Studies since
4 that time have confirmed that indeed this is the geometry.

5 The wells act as though they are within
6 little isolated reservoirs by themselves and yet those
7 reservoirs are connected with each other. There's no other
8 way that can be satisfied.

9 In addition, we found what I describe as
10 tight blocks. That's these little, separate blocks we show
11 on the plat, surrounded by a high capacity fracture system.
12 That high capacity fracture system contains a large part of
13 the reservoir oil and as such, that allows for gravity
14 drainage and pressure maintenance to be effective.

15 If the reservoir were a matrix porosity
16 type laced with fractures, only a small part of the reser-
17 voir with fractures, the pressure maintenance would not have
18 worked.

19 We would not even have attempted it in
20 the first place, but in view of the fact that a large part
21 of the reservoir is in a high capacity fracture system, the
22 pressure maintenance project could work.

23 Now we have shown in earlier exhibits in
24 our interpretation of this reservoir, we have presented
25 colored maps over the structure that show flexes and struc-

1 tural flexes as they move from the east side of the reser-
2 voir to the west side. We have interpreted that to mean
3 that there is probably a directional permeability
4 north/south. We've not run an interference test with enough
5 wells to confirm that, but this is logical, we believe, that
6 with the synclinal flexes at different points through the
7 reservoir as it moved from east to west, that these flexes
8 would have had a bearing on the fracture system and I think
9 of them as -- as benches or permeability plateaus, and this
10 has been really helpful in the pressure maintenance project.

11 We inject gas in the up-dip wells, even
12 though where the injection wells are located the reservoir
13 is relatively tight, the gas tends to move north/south first
14 and then diffuse west into the next bench.

15 In that next bench it moves north/south
16 and then diffuses again to the next bench to the west, and
17 so on down the line.

18 This has been helpful in the pressure
19 maintenance project being effective in the past. We look
20 for it to be helpful if we install a gasoline plant, which
21 is our -- our plan now, and as the stripped gas moves
22 through the reservoir, we expect it to move north/south,
23 then diffuse to the west, picking up liquids as it goes.

24 This reservoir geometry, then, becomes
25 important in how we -- how we undertake the pressure main-

1 tenance project and how we propose to continue doing it.

2 One of the significant features in this
3 reservoir is that it's stratified. We've (unclear) this
4 since early on in drilling wells, drilling with air, drill-
5 ing with gas, picking up oil in the different stratified
6 zones. We've confirmed this recently with a production
7 model and we recognize that as one of the problems that we
8 have in dealing with this reservoir is that in time the
9 zones, particularly the upper zones, with gravity segrega-
10 tion and stratification are going to carry a higher percent-
11 age of gas and when that gas reaches a producing well, and
12 we have to recognize that as a problem and how to take care
13 of it. Initially we took care of it by producing the lower
14 zones first.

15 Now with this fracture system the way it
16 is, and particularly within any one of these permeability
17 plateaus, we have found that -- that the drainage is so ef-
18 fective that a well with good communication with the frac-
19 ture system can drain the tract of a well completed in a
20 tight block maybe two or three miles away better than the
21 well in that tight block itself, and what that means is that
22 we don't need a large number of wells to deplete the reser-
23 voir.

24 Q Mr. Greer, how many stratified zones are
25 there in this reservoir?

1 A We recognize three zones, have identified
2 three, but even within those zones there are layers that
3 themselves are stratified. There can be two or three layers
4 within the A zone and there can be gas production in the up-
5 per part of the A zone and oil production in the lower part.

6 Q Are these zones all present throughout
7 the entire reservoir?

8 A Yes, sir, but in some areas one zone will
9 be more productive than another and in one area the A zone
10 may be more productive than it is in a different area and
11 we'll look later at how to identify the zones.

12 Q All right, why don't we go to the next
13 plat in behind Tab 1, which has a portion of the map shaded
14 in yellow, and I'd ask you to identify what the shaded yel-
15 low area is intended to show.

16 A That yellow area shows our interpretation
17 of the area which is predominant A and B zone production and
18 we make that assessment by reviewing the production history
19 of the areas around it.

20 To the southwest, of course, is Gavilan,
21 which generally it's believed it's primarily A and B zone
22 production.

23 Up to the northeast, the East Puerto Chi-
24 quito Mancos Unit has produced 4,000,000 barrels of oil from
25 A and B zones only. The C zone doesn't produce there.

1 North of the unit on some Jicarilla
2 lands, A and B zones only production.

3 The L-27, the well colored in red, pro-
4 duces only from the A and B zones. It produced about 1.6-
5 million barrels of oil out of the A and B zones.

6 At the hearing last April there was some
7 question raised, skepticism as to what the A and B zones --
8 whether the A and B zones really were the producing zones in
9 the L-27 and since that time we've run a production log on
10 that to confirm that, indeed, that is the source of the pro-
11 duction in the L-27.

12 Q All right, now in Tab -- behind Tab A,
13 would you please go to the next plat, part shaded in yellow,
14 part shaded in brown, and explain what that is intended to
15 show.

16 A We've added to the previous plat an area
17 colored in brown and which we interpret to be dominant C
18 zone production. There is also A and B zone production
19 there but the dominant zone is the C zone.

20 We confirmed that with the production log
21 on the F-30, which was reported in the hearing last April,
22 and since that time we've run a production log in the B-32
23 that confirms it, and from the low gas/oil ratios of other
24 wells in the area, we believe that this is a reasonable re-
25 presentation of the dominant C zone production area.

1 Q Would you now go to Tab B in this exhibit
2 and I'd ask you to initially identify the basic benefits of
3 pressure maintenance that you have observed in the unit area
4 as a result of pressure maintenance.

5 A We have listed on the first schedule
6 under Tab B some of the important features of pressure
7 maintenance.

8 Number one, keeps the viscosity low
9 and the formation volume factor high with an increase in the
10 otherwise ultimate recovery.

11 In previous hearings we've spelled out
12 how -- how we estimate the additional recovery.

13 And two, it keeps the productive -- the
14 wells productivities high. That means that there are fewer
15 wells required to deplete the reservoirs in any given amount
16 of time and this is significant.

17 Number three, it provides a gas cap in
18 which will be helpful in our cycling operations when we
19 strip gas through a gasoline plant and reinject it, and
20 cycle the gas in a sense in the up-dip wells while we're
21 still maintaining pressure on the down-dip wells.

22 We're about to that point now.

23 And item number Four, the work that our
24 associates have done, particularly Sun and Dr. Lee, it looks
25 like we can pick up a significant amount of additional

1 liquids by moving the stripped gas from the residue from the
2 gasoline plant, reinjecting that, letting it pick up
3 liquids, and we anticipate a significant increase in ulti-
4 mate recovery that just could not be obtained any other way.

5 Number Five, it augments gravity drainage
6 by pressure maintenance, keeping the fractures open and
7 maintaining higher productivity and a higher rate of gravity
8 drainage.

9 A significant part in the management or
10 operation is lower operating costs. We have no rod and
11 tubing wear; no bottom hole pumps to maintain; no risk of
12 expenses for fishing jobs; all mechanical repairs are on the
13 surface; can flow the wells to depletion; and in the end,
14 any oil remaining in the tight blocks -- tighter part of the
15 reservoir, we'll produce it during "blow-down".

16 Q Now, Mr. Greer, if you'd go to the green
17 pages which follow that summary, first if you would identify
18 the schematic drawing, and then using this, would you review
19 the initial depletion plan you have for this reservoir?

20 A Yes, sir. We show on the righthand side
21 on the up-dip part of the reservoir are injection wells.

22 In the middle of the reservoir are the
23 intermediate wells, what we refer to as cycling wells, and
24 that spacing there is roughly one well to 3, maybe 4, sec-

25

1 tions.

2 Then the down-dip recovery wells the
3 spacing is roughly one well per section.

4 We point out that in the intermediate
5 area there's only one well in 2 to 3 to 4 sections. The
6 reason for that is that once we have achieved with the down-
7 dip recovery wells a rate of reduction that is high enough
8 to meet the gravity drainage potential, then any additional
9 wells not only are unnecessary but they're harmful. The more
10 wells we have and the higher the production rate, the lower
11 is going to be our ultimate recovery because -- for the
12 reason that the producing mechanism slips from gravity seg-
13 regation, gravity drainage, gravity displacement, into solu-
14 tion gas drive, and that's the reason that we've located our
15 wells the way we have.

16 We can do that and produce at high rates
17 on the down-dip wells, the recovery wells, without the in-
18 termediate wells. We just don't need them; we just some-
19 times use them for observation wells. And the end result is
20 this greater recovery, higher efficiency all the way around.

21 The initial depletion plan is to produce
22 the C zone wells first, Z zone first. Where we can't get
23 production out of the C zone, then we had to come up to the
24 A and B zones. The reason for that is in a lower zone we'd
25 expect it to have the lowest gas/oil ratio. It did, and out

1 plan has been as the gas moved down structure displacing
2 oil, we would shut the wells in when the gas/oil ratio
3 reached 2-or-3000 cubic feet a barrel and when the gas fin-
4 ally reaches the down-dip wells, then our plan was to come
5 back, open up the A and B zones and at that time have a
6 large volume of gas.

7 In the meantime, when we're producing on-
8 ly the lower zone with low gas/oil ratios, we can do that
9 very efficiently with a very small amount of horsepower.
10 Initially we were producing the reservoir with probably a
11 fourth or a fifth the horsepower that's now required.

12 This was an essential part of our plan.

13 Once we reach the point that we're to cy-
14 cle gas, which we are now, and install a gasoline plant,
15 then we still continue pressure maintenance until we reach
16 an economic limit, depending on -- on oil production and the
17 plant liquid recovery.

18 Q Mr. Greer, how does the proposed expan-
19 sion that we're discussing here today affect this original
20 or initial basic depletion plan? Does it alter it at all?

21 A The only alteration we have is -- is the
22 problem that we face with Gavilan, the cross boundary migra-
23 tion there.

24 Q And what is the affect of that?

25 A For one thing, we opened up all three

1 zones on the west boundary because that was the way the Gav-
2 ilan wells were completed, and in order to minimize migra-
3 tion -- there's no way we can completely stop the migration
4 from the unit to Gavilan but we minimize it by opening up
5 the same zones going to higher gas handling volumes now than
6 we otherwise would have.

7 And with the high rate of pressure de-
8 cline in the Gavilan, the pressure difference, then, from
9 our injection wells to Gavilan becomes greater and greater
10 and the problem of migration gets greater. So we visualize
11 and commenced last summer when the Commission ordered the
12 high allowables, to market some gas where we could try to
13 keep that pressure differential from -- from getting much
14 worse. It's going to get worse from time to time unless
15 Gavilan does something to hold up their rate of pressure de-
16 cline, but we needed to do something to keep it from being
17 as high as it might otherwise be.

18 Finally, then, if we're not able to pro-
19 duce the wells to depletion the way we had ordinarily plan-
20 ned using the injection gas as our energy to lift the oil,
21 then we'd have to resort back to gas lifting the oil until
22 the time of depletion.

23 Q Mr. Greer, how does stratification actu-
24 ally relate to this pressure maintenance effort?

25 A It relates to it in the sense that we

1 have recognize that we have to handle the gas one way or an-
2 other when -- when it shows up. We can either shut in the
3 wells, seal off the zone, or return the gas to the reser-
4 voir, which means more and more horsepower as gas breaks
5 through in these stratified zones.

6 Q Would you now go to Tab C in Exhibit Num-
7 ber One and briefly review recent evidence on stratifica-
8 tion?

9 A Under Tab C we show results of production
10 logging of two of the wells, L-27 and the B-32.

11 Now the L-27 is the one that there was a
12 question about where the gas and oil were coming from and
13 the B-32 we had the same, same question.

14 If you turn to the first gray sheet,
15 which shows the plat with the location of the well, the L-27
16 and on the lower part of the page we show our log of the
17 well. I've identified there the A, B and C zones.

18 And then if you'll turn to the blue
19 sheets, you'll see here the results of the production log.
20 The logging company's analysis is set out on the righthand
21 page. On the lefthand page we've shown schematically what
22 -- what that shows.

23 On the lefthand column the fluids are
24 identified principally by the densitometer in which we find
25 water in the bottom with no flow between the B and C zones

1 and at the very top of the B zone has oil production and in
2 the top of the A zone and that's oil and gas.

3 On the little triangular shaped plots on
4 the right we show the percentage of oil and the percentage
5 of gas and where they're coming from. In this instance
6 practically all the oil is coming from the B zone, as indi-
7 cated by the center plot, triangle.

8 On the righthand side the gas is indi-
9 cated. Practically all the gas is coming from -- from the A
10 zone.

11 Of significance here is water over the C
12 zone. The well does not make any water and so -- and this
13 log was made while the well was flowing. There's no way
14 that production can be coming up through the C zone with
15 water -- with a water blanket on top of it, so that's just
16 further confirmation that the C zone is not productive in
17 this well.

18 Q Now, Mr. Greer, is there similar informa-
19 tion available on the B-32 Well?

20 A Yes, sir. Following the blue sheet are
21 some white sheets which show the front of the log in detail
22 and then under Section D, if you'll pass the brown sheet and
23 come to the gray sheets again, the well is located on the
24 plat and the A, B and C zones are again identified by the
25 log below it.

1 Q Now, if you'll go to the pink sheets --

2 A Yes, sir, if we look at the pink sheets
3 we'll see the same kind of production logging analysis that
4 we looked at on the L-27. Here, however, we find that the
5 oil, practically all of the oil is coming from the C zone,
6 two parts of the C zone. The major part of the gas is com-
7 ing from the B zone and some additional gas coming from the
8 A zone.

9 Here is a typical example of a stratified
10 reservoir in which the gas and oil have segregated in those
11 parts of the reservoir where there's communication, vertical
12 communication, faults, fractures, such as that, or the upper
13 zones, we've seen displacement of the oil by the pressure
14 maintenance project, the injected gas.

15 This -- the well produced initially with
16 a low gas/oil ratio so we know that all zones, all zones in-
17 itially produced oil. Now the upper zones produce gas and
18 the lower zone, the lower zone is producing a very low gas-
19 oil ratio.

20 If we were to seal off the A and B zones,
21 the C zone, which produces all the oil, and this is a good
22 well, a significant part of the production, can produce 6-
23 700 barrels a day, its gas/oil ratio would be like 6-or-700
24 cubic feet a barrel.

25 Q Now, Mr. Greer, the B-32 Well that we're

1 talking about is a well located in the expansion area, is it
2 not?

3 A It is.

4 Q All right. Behind that is again some
5 supporting information?

6 A Yes, sir.

7 Q I'd like you now to go to Tab E in Exhi-
8 bit Number One and have you now focus for a few minutes on
9 the effect stratification has on pressure maintenance, and
10 first I'd direct you to the first green pages behind Exhibit
11 Number E and would ask you first to explain what these dia-
12 grams show.

13 A These sketches show one of the things
14 that can happen with a stratified reservoir.

15 We show in the upper lefthand sketch a
16 well producing from a stratified reservoir, oil from the
17 lower zone, gas from the upper zone. Its gas/oil ratio is
18 10,000 cubic feet a barrel.

19 Then on Plat II on the righthand side we
20 show if we just open up a well in the gas zone and say take
21 half of the gas out of that well, and only half out of the
22 other well, which will result if depletion takes place and
23 we've found, of course, as we've indicated in one of our ex-
24 hibits last April, everything else being the same, the gas
25 will deplete about 8 to 15 times faster than the oil, and so

1 you have a reduction, then, in the gas coming out of the A
2 Well, as we show it here.

3 Here is a drop in gas/oil ratio, then,
4 this well now only makes 500 MCF a day, 100 barrels of oil a
5 day and its gas/oil ratio has declined from 10,000 to 5000
6 but that has no bearing on the oil production from the oil
7 zone, and particular if that oil zone is producing by
8 gravity drainage, then there can even be damage to the
9 reservoir with the over gas/oil ratio. We see that in the
10 lower sketch where, as we have in this reservoir, places
11 where there's vertical communication, then as the oil -- gas
12 is produced from the upper zone, the gas/oil ratio drops,
13 the oil migrates from the lower zone to the upper zone, and
14 if it were gravity drainage recovery in the lower oil zone,
15 it now deteriorates to solution gas drive as it migrates up
16 into the upper zone.

17 Q Now is there any good news that comes
18 from this situation?

19 A Yes, sir, the fact that the gas/oil
20 ratios seem to change up and down, there's some good news to
21 that, Mr. Chairman, and that good news is that that can
22 happen only if we have some kind of gravity segregation. If
23 we have gravity segregation then somewhere in the reservoir
24 we can have efficient gravity drainage. All we have to do
25 is recognize it and take advantage of it.

1 Q Now, Mr. Greer, would you turn to the
2 gray pages which follow and first identify what the plat is
3 designed to show noting the green circle and the wells in --
4 the green square and the wells inside that square.

5 A All right. Mr. Chairman, we show here
6 something that has happened just almost exactly like the
7 little sketches we were just looking at.

8 In the green outline we've shown two
9 wells in red. That's the N-31 and E-6, two producing wells.
10 the J-6, the orange color, was shut in. The green colored
11 well is Tapacitos 4, a well outside the unit, and the other
12 two wells in the southwest part of that 4-section block are
13 wells that produced at a low rate during June and when the
14 Commission set the high allowables, those wells then
15 produced at high rates, high gas volumes, and they pulled
16 out of the stratified zone a gas which then came from the
17 offsetting wells, the well to the north, the two wells to
18 the east, and as a consequence their gas/oil ratio was low
19 but not because there was increase in production of those
20 wells.

21 The two red circled wells, wells that are
22 operated by the unit, it did not change the production rate
23 in July, and the reason we didn't, we -- in order to try to
24 satisfy the Commisison's directive to go to high rates of
25 production for comparison, we had to change the mechanical

1 equipment, the surface equipment of some of our wells. Two
2 of them are capable of producing about 1000 barrels a day.
3 We typically do not produce the wells at the -- at the al-
4 lowables. We've always produced at less than the allow-
5 ables. We just did not have the equipment in place to go to
6 these high rates of production.

7 Now, these two wells, the N-31 and the E-
8 6, we didn't have to do much to them and what we did was
9 wait until we got most of the wells that we were going to
10 increase production on equipped and then we raised the rate
11 of production; just an arbitrary decision to do that, but as
12 a consequence of that there was then a very good test of
13 what was happening and we didn't know that this would hap-
14 pen. We just in reviewing the records since the high rate
15 of production took place, we found that these offset wells
16 pulling gas out of a stratified zone lowering our gas/oil
17 ratio, but we didn't do a thing to change the rate of pro-
18 duction.

19 If you'll look at the pink sheets, the
20 next two pink sheets, we show on the top line a plot of the
21 well production of the E-6 Well and, Mr. Chairman, we keep
22 very close track of the production of our wells. We have
23 daily records of the oil and gas production. We keep charts
24 of the pressures and part of our process of accumulating in-
25 formation is to convert production every day to daily rates.

1 I know most operators don't do that but
2 there's no way that the pumper can get around to a well at
3 the same time every day.

4 We take the amount of production, the
5 time of the production, convert it to daily rates so that we
6 know what is going on in that well.

7 You can see that the oil production rate
8 stayed very stable all the way across.

9 Now during this period, July and August,
10 at the high rates of production the reservoir pressure was
11 dropping approximately 40 pounds a month. We found that the
12 operating pressure on our wells was dropping 40 pounds a
13 month. Now this meant that the drawdown on the reservoir
14 was exactly the same throughout this period. We had the
15 same size oil chokes, the same size -- same amount of gas
16 lift gas; oil production stayed very stable. Gas produc-
17 tion, as we can see, dropped off.

18 Now this can only happen if you have a
19 stratified -- stratified reservoir situation and that's what
20 happened here.

21 If we go to the next sheets where we've
22 shown on the lower green sheet by the dark shading the vol-
23 ume of gas that was being produced by the offset wells.

24 In June very little gas was being pro-
25 duced by the offset wells and in July the rate picked up at

1 a high rate, and so there is the relation, and not the pro-
2 duction rate of our well but the production rate of the off-
3 set well pulling gas out of the stratified zone.

4 Now, after mid-August we went ahead and
5 increased our production rate. We put in bigger chokes,
6 more gas lift gas, we got a higher rate of production. Now
7 that higher rate of production, then, is coincident with
8 lower gas/oil ratios, but that's not the reason for the
9 lower gas/oil ratios.

10 Now we notice the same thing -- I've
11 plotted here only the E-6; the N-31 had the same result and
12 the Tapacitos 4, and we do not operate that well so I'm not
13 as familiar with it, but it is shown on the statistics of
14 the green sheets above the graph. The Tapacitos 4 appeared
15 to have (unclear) in the gas/oil ratio but also they did not
16 increase the production rate of that well.

17 So my assessment of that is that the same
18 thing happened to the Tapacitos 4.

19 Q Now, Mr. Greer, if we look at the plat,
20 the gray sheet, certain of the wells in the green block are
21 within the proposed expansion area of the pressure mainten-
22 ance project and others are outside.

23 A Yes, sir.

24 Q What sort of a crediting arrangement is
25 authorized for the production that -- for the gas that's re-

1 injectible in the unit?

2 A If we inject 50 percent of the gas we
3 produce, then we get injection gas credits for that 50 per-
4 cent, and if we don't inject anything, we get no credit.

5 Q What would be the effect of not allowing
6 an operator to get this credit for the injected gas?

7 A Then if we cannot get credit for the in-
8 jected gas, then we cannot produce our gas that's moving
9 past us into Gavilan. We have to get that credit so that we
10 can pick up our gas, at least slow it down, we're not going
11 to stop all of it, but we can slow it down and return it to
12 the reservoir. Then two things happen.

13 Number one, it's inequitable that our gas
14 move over to Gavilan and they take it and sell it. That's
15 an inequity. That would tend to offset that inequity.

16 Another inequity is that when that gas
17 moves across to Gavilan it gives those operators a higher
18 gas/oil ratio than they otherwise would have and they get a
19 lower oil allowable, and that's an inequity.

20 We solve both inequities, or at least we
21 move in the direction of solving both inequities by letting
22 us have our gas injection credit and we take our gas and put
23 it back in our reservoir and continue with the pressure
24 maintenance project.

25 Q All right. Now I'd like to have you turn

1 your attention to communication between the proposed expansion area and the existing project area.

3 Will you turn to Exhibit F and first just
4 identify the first plat again that's contained behind Exhibit F on the gray sheet?

6 A The plat, again the plat shows the unit
7 and the proposed expansion unit.

8 Q And what does the first Section F show,
9 what -- what type of communication; what evidence of communication is present?

11 A The evidence of communication that we address here is overinjection. We overinjected in the existing project area and by overinjecting with no pressure increase in the project area means that the gas had to go somewhere, or gas and oil.

16 The only logical place for it to go is to
17 the west into the proposed expansion area, and we show here
18 that for the period of July to November that we overinjected
19 at the rate of an average of 3300 reservoir barrels a day;
20 from November to February, nearly 2000 barrels a day.

21 Q Will you go to the tan sheets that are
22 next in the exhibit book and identify those?

23 A Well, these show the -- the upper -- the
24 upper sheet shows the statistics which we just discussed.
25 The lower sheet shows the pressures in the wells in the gas

1 cap area.

2 Now as we look at the pressure change
3 from June to November we see some substantial changes there
4 in some of the wells.

5 The C-5, for instance, shows a gain of
6 159 pounds. Now that well, we'd not injected in it for ten
7 years and there's a fairly large interference effect as a
8 consequence.

9 By the same token the A-14 has a large
10 pressure decline.

11 Overall it looks to me like there might
12 have been a 20 or 30 pound pressure decline in that period.

13 Then if we look at the pink sheets we
14 show the same information on the pink sheets except this is
15 for November to February.

16 Here again it looks to me like we have
17 overall pressure decline in the area, even though we overin-
18 jected.

19 Now a more definitive comparison is from
20 July to February and we show that on the next green sheet,
21 where we cover the entire period, and there we can see a
22 consistent pressure drop in all these wells except the C-5,
23 the one real tight injection well shows a small increase of
24 five pounds.

25 All right, now during that time the

1 reservoir was overinjected approximately 600,000 resevoir
2 barrels.

3 Q And what does this tell you about the
4 communication in the reservoir?

5 A That means to me that we have communica-
6 tion from the existing project area into the proposed expan-
7 sion area and probably on to the west.

8 Q If there wasn't communication what would
9 this overinjection -- what would be the result of the over-
10 injection?

11 A The pressure would build up in the exist-
12 ing project area.

13 Q Now will you go to the information con-
14 tained in Section G of Exhibit One, looking now at evidence
15 on pressure gradients, and I'd ask you to first go to the
16 first sheet behind that and simply summarize what's intended
17 to be shown with this section.

18 A In this section, Mr. Chairman, we show a
19 pressure gradient across the reservoir, and we determined
20 this pressure gradient principally from surface pressures of
21 the -- of the wells.

22 Now we found that where we produce the
23 wells with gas lift and the gas/oil ratios have risen as
24 high as they have, that we have -- on shut-in we find a gas
25 gradient from the surface to the producing zone, whether

1 it's the A zone, B zone, or whatever is producing oil, and
2 so actually for these wells we can get a very accurate de-
3 termination of reservoir pressure and pressure gradient by
4 taking the surface pressures and there's another reason for
5 doing that.

6 When we try to measure pressure gradients
7 across the reservoir with bottom hole pressures, we run into
8 many problems. The only way it can be accurately done is to
9 calibrate all the wirelines, calibrate all the logs with the
10 same instruments. We have to measure the surface elevations
11 of the wells. We have to take into account the deviation of
12 the holes, and a myriad of problems that you don't have by
13 dealing with surface pressures.

14 Now we show here on the yellow pages a
15 comparison of a pressure increase, a surface pressure in-
16 crease of two of our observation wells, along with the bot-
17 tom hole pressure increase which we concurrently measured,
18 and is shown with the theoretical pressure increase and they
19 fit very well.

20 Q Now, the green sheets, are they just a --

21 A They're just a --

22 Q -- statistical comparison?

23 A Yes, sir. They're the information sup-
24 porting the yellow graph.

25 Q All right.

1 A On the whites sheets we identify some of
2 the problems of attempting to (unclear) bottom hole pres-
3 sures to determine pressure gradients.

4 Then if we'll go to the blue sheet with
5 the colored plat of the pressures opposite it, we've shown
6 here the results of the pressures which were measured. Now
7 these pressures were taken immediately following the Novem-
8 ber OCD order for a pressure survey and at that time we kept
9 our wells shut in. I think the time for the test was about
10 three days; we kept our wells shut in for another week, so
11 we had roughly 8 or 10 days shut-in time to check the be-
12 havior of these wells. We checked them every day, checked
13 them with dead weight testers and on a number of the wells
14 we had two dead weight testers to compare the readings of
15 the two.

16 And we see here, when we plot these pres-
17 sures and study them, we recognize the permeability plateaus
18 that we talked about earlier.

19 In the injection wells the pressure is
20 around 16-1700 pounds. This is after being shut in all this
21 time.

22 For instance, going from the orange to
23 the blue area, a pressure differential there of 4-to-500
24 pounds. Some people interpret 4-to-500 pounds as meaning
25 there's no communication, but we've injected in these wells

1 for twenty years, Mr. Chairman, and there's no question we
2 have communication from the injection wells to the lower
3 presssured next plateau to the west.

4 Then if we -- if we look at the blue
5 colored area, the pressures within about 80 pounds north and
6 south.

7 We get over into the green area and here
8 these wells are all within, oh, 10 or 15 pounds north and
9 south, where the gas is spread north/south as it diffuses to
10 the area to the west.

11 And we show one well in the pink colored
12 area, about 860 pounds, but it carried with that pattern,
13 Mr. Chairman, carries all the way even into the brown and
14 the yellow areas.

15 Now the brown area, we only show a
16 difference of pressure in the brown area to the yellow area
17 of 10 or 15 pounds, but the same pattern applies
18 north/south. We see only 3 or 4 pounds difference in the
19 wells in the brown area.

20 Get into the yellow area and there's only
21 a couple of pounds difference in the wells, and yet they're
22 10 pounds different from the others.

23 Now, this pressure gradient means to me
24 that the overinjection in the present project area has to be
25 moving in a direction of lower pressures and that direction

1 is west to the proposed expansion area and over to Gavilan.
2 Now right on the Gavilan boundary; we don't have information
3 west of there of the same type we took of these pressures.
4 My assessment of what we've seen before, from a (unclear)
5 test before, is that probably the Gavilan wells nearest our
6 yellow area would show very nearly the same pressures, that
7 we could probably equalize.

8 Q Mr. Greer, could you tell me now before
9 we go on, why should the boundary for the pressure
10 maintenance project be on the western side of the Canada
11 Ojitos Unit or the proposed expansion?

12 A Well, that's the area of the present
13 participating area. The participating area has been from
14 time to time expanded. The project area has been expanded
15 right along with it up until this last time and when we made
16 application for this last expansion, then some of the
17 Gavilan operators had objection to it and wanted this heard
18 at a hearing where they could voice their opinions, and so
19 that's why it was not done at that time, and it's the only
20 logical place for the -- for the expansion, is to go to the
21 edge of the unit and, of course, the pressure maintenance
22 formula is designed to provide for pressure maintenance of a
23 part of the reservoir. That's just the way it's designed
24 and it's -- most of the times, pressure maintenance projects
25 cover only a part of the reservoir.

1 Q If there was not communication across
2 this reservoir what would you think the pressure would --
3 what would that do to the pressure gradient?

4 A Well, if there were no communication with
5 Gavilan, we would have a significantly higher pressure.

6 Q Would you now go to the Section H in Ex-
7 hibit Number, which addresses pressure build-up during shut-
8 in times and explain what the brown sheets are designed to
9 show?

10 A Yes, sir. We showed in Case 9113 last
11 April how we had interpreted the pressures in the different
12 zones to be, that they would crossover at about 10-to-11-
13 million barrels cumulative production from both pools, and
14 that occurred in the fall of 1986, and at that time, then,
15 among other things we ran a pressure interference test on a
16 frac treatment and reported that earlier, and we show on the
17 yellow pages then following that the rate of pressure in-
18 crease in this -- these -- this particular shut-in well that
19 was our observation well.

20 Now we can see on the upper yellow graph
21 how the pressure increased following the frac treatment and
22 how it tended to level off at a very low rate, .05 of a
23 pound per day. Prior to that time -- and that's .05 of a
24 pound probably still includes part of the frac (unclear).

25 The pressure leading up to -- or the time

1 ahead of it was only .02 of a pound a day. Now, I interpret
2 that to mean that when the pressure is equalized throughout
3 the area, the only time then that we're going to see effects
4 of pressure maintenance is when the wells are producing and
5 there's a pressure difference and then gas moves into the
6 producing zone from the injection area.

7 Now, we have by contrast then, by con-
8 trast to -- to this leveling off of pressures and staying
9 level, and this is for a number of days, like eight days af-
10 ter shut-in, and it was in a time when there was a problem
11 with the gas plant in -- taking gas from Gavilan. A number
12 of the Gavilan wells were shut in. We had all the wells in
13 the township this well is in shut in, so there's no extrane-
14 ous effects that would change or affect this bottom hole
15 pressure and it just stayed practically flat for 8 or 9
16 days.

17 Now, by contrast, in last November when
18 the pressure survey was taken and we kept our wells shut in
19 beyond the pressure at the time of 3-day shut-in, we found
20 pressures rising in this well and the adjoining well and at
21 that time there was 3-or-400 pounds pressure difference from
22 the nearest well, which is even 2 or 3 miles away, wasn't
23 near, but in terms of wells up dip from these producing
24 wells, and then we have, with that pressure differential, we
25 see a pressure increase then in these shut-in wells. We

1 didn't see that when the pressures were all the same.

2 This means to me that pressure is from
3 the pressure maintenance project from the gas injection is
4 causing the pressure to rise.

5 We show on the blue, blue colored graph
6 at the bottom of the graph the rate at which the pressure
7 increased in September, 1986, and then just a year later the
8 same well, plus the well right next to it, how the pressure
9 is increasing.

10 Now these pressures were surface
11 pressures measured with dead weight tester, two different
12 dead weight testers, and they show a very close comparison
13 of the pressure increase.

14 Now these two wells are high capacity
15 wells. They show early on, on production or shut in, the
16 reflection of reservoir pressure in the area in which a
17 large amount of the oil is taken.

18 Q Now, Mr. Greer, the two wells that are
19 depicted on the blue graphs are wells located in the
20 expansion area, is that --

21 A Yes.

22 Q -- not correct?

23 A Yes, sir.

24 Q How would you expect them to perform if
25 they were not in pressure communication with the injection

1 wells?

2 A Then they would both have the same rate
3 of pressure build-up as shown by the dashed line at the
4 bottom of the graph.

5 Q In your opinion could the pressure
6 increase depicted on the blue graph be caused by anything in
7 the Gavilan?

8 A No, sir. Most of the -- some of the
9 Gavilan wells were shut in for awhile. I don't think it
10 would have an affect on it, but some of them actually went
11 on production, so if those Gavilan wells went on production,
12 then their affect would have been to pull the pressure down.

13 So if there's any -- any affect from the
14 Gavilan wells it's to reduce the amount of pressure build-up
15 that we see here and had they not been producing, then they
16 would have had even a higher rate of pressure build-up.

17 Q In Section 8, Mr. Greer, there are a
18 number of tables of figures on pink, white, and blue sheets.
19 Would you just identify those, please?

20 A Yes, sir. Those are just the statistics
21 which support the graphs we just looked at.

22 Q Would you now go to Section I in Exhibit
23 Number 1, which relates to evidence of communication as
24 shown by gas/oil ratios? Would you go to the gray sheets
25 right behind that tab and explain what this shows?

1 A Yes, sir, this shows -- this is the same
2 plat we looked at earlier. We show the injection wells in
3 the triangles on the righthand side, the producing wells in
4 the expansion area are colored in red, and for those wells
5 that are producing colored in red, we show their producing
6 gas/oil ratios on the gold colored sheet following.

7 Q Now you're going to the gold colored
8 sheets?

9 A Yes, sir. On the gold colored sheets we
10 show a graph. The upper gold colored sheet shows a graph of
11 the gas/oil ratio of the wells in the proposed expansion
12 area. That's the lower solid line.

13 The upper solid line for comparison is a
14 gas/oil ratio in Gavilan.

15 Then the dashed line shows the net
16 gas/oil ratio if we take into account the gas we've injec-
17 ted.

18 The -- in general, what this shows is
19 with the lower gas/oil ratios, they just would not be that
20 low without the effect of gravity drainage and pressure
21 maintenance and the fact that the oil has to be drained from
22 up-dip from these wells and if it's coming from up-dip, it
23 has to be coming from the existing project area.

24 And the efficiency overall for the period
25 of time shown by this graph, the unit used roughly 1/3 as

1 A Yes, sir.

2 Q Would you go to Tab J. This talks about
3 communication as evidenced by pressure behavior and explain
4 what this section is designed to show?

5 A Yes, sir. We realize, Mr. Chairman, that
6 in our pressure maintenance project, that if we inject as
7 much gas up dip as moves out of the project area down dip
8 into the expansion area, that observation wells within the
9 project area will show very little pressure change because
10 there's as much gas coming toward a well as is going away
11 from it, and that, plus the fact that we did not want the
12 pressure difference from the unit area to Gavilan to get any
13 worse than it absolutely had to, we decided to market some
14 gas. By marketing gas we just -- we accomplish two things.

15 One is we tend to hold down the pressure
16 difference between the unit and Gavilan and the other is
17 that there's some action takes place in the -- in the gas
18 cap area. If we inject for awhile, we don't inject, then
19 presumably when we're not injecting we would expect the
20 pressure to decline. When we're injecting, we'd expect the
21 pressure to increase.

22 So the C-34, the lower righthand colored
23 well is the one that we treated, opened up the A and B zones
24 last spring, and we thought that might be a good well to --
25 to test. So we -- we made that as an observation well, and

1 that well was shut in in May and we started taking pressures
2 in it soon after the Commission ordered its high rate of al-
3 lowable and carried that as an observation well up until the
4 November test period.

5 The D-17 was a well we completed last
6 summer. It turned out to be a low capacity well. We
7 wouldn't lose much income by shutting it in, so we shut it
8 in and made an observation well out of it and started taking
9 pressures in it sometime, I think the last week in September.

10 And then if we turn to the tan colored
11 sheets next (unclear), we can see how the pressure changed
12 in the C-34 observation well depending on whether we're just
13 producing, selling gas, or -- or injecting gas. The pres-
14 sure goes up and down; appears to me overall there's probab-
15 ly a general pressure decline in that well.

16 Then if we'll turn to the next pink
17 colored sheets, we show here what happened when wells were
18 shut in for the pressure survey in November. The pressure
19 was declining in the D-17, the upper graph, at about 1.3
20 pounds a day. That's about 40 pounds a month that we had
21 earlier noted.

22 Then in the C-34 it was not quite as
23 much, about 1.13 pounds per day.

24 When the wells were shut in, then the
25 pressure tended to level off and then to increase and that's

1 an interference effect.

2 And one thing that we note here is the
3 flat, flat character of the curves at the bottom. If we had
4 had only a one-on-one situation, one producing well, one ob-
5 servation well, we would expect that curve to be rounded but
6 in both instances there's that flattening and that flatten-
7 ing can only be caused by multiple wells effects on the ob-
8 servation well.

9 Q All right, what do the green sheets show?

10 A The green sheets show the same plot. Now
11 the ones that we looked at before on the tan sheets, they're
12 hand -- hand plotted for a point about ten times a day.

13 The green sheets are mechanical plots and
14 each one of those little dots is where the pressure bomb
15 took a pressure, and they were about every 30 minute inter-
16 vals, and you can see that only by the hand plots they might
17 be skipping part of the plots, there's little change in
18 character but not a lot. The mechanical plot pretty well
19 confirms the general shape of those curves, and the fact
20 that there had to be multiple wells affecting the observa-
21 tion well while shut in, and during this -- that period, Mr.
22 Chairman, we -- we were injecting only a small part of the
23 gas, just prior to shutting in a lot -- most of it, and in
24 order to have a situation which we hoped that the -- that
25 most affect that would be seen on the observation wells

1 would be the result of the producing wells with a minimum
2 effect of the injection wells.

3 Then we have a number of graphs. We
4 might look at the first gray graph following the green.

5 For each of the plots that we showed ear-
6 lier, a tan colored sheet of the C-34, we showed some solid
7 lines and then there are dashed lines in between. The solid
8 lines are duplicates of these individual surveys which we
9 show here and I'd call your attention to what are known as
10 "lubricator bleed". This is where a well -- I'm going to
11 bomb a well and on going through this exercise there's some
12 gas lost to the air and it pulls the pressure down.

13 On this particular observation well we
14 had a new wireline unit on it. It was stiff and in order to
15 get the bomb to fall to the bottom, why the men in the
16 field backed off on the stuffing blocks (sic) and -- and we
17 got a little more leap than we ordinarily would have and
18 that caused the pressure to drop; takes about, oh, a day for
19 it to recover, and then pick up the reservoir -- the true
20 reservoir pressure decline.

21 And if we go to the second, third,
22 fourth, fifth, the sixth gray graph I'd point out something
23 else, and this is where we'd have two dashed lines intersec-
24 ting. It's for the C-34 from the 11th to the 24th of Sep-
25 tember.

1 The bombs that we're using have an adver-
2 tised accuracy of about 2 or 3 pounds. In other words, if
3 we pull a bomb like we have on one run here, the lefthand
4 line of circles, bring it into town and get the information
5 out of it, reprogram it, take it back out and run it in the
6 ground, it's only guaranteed to be within 2 or 3 pounds, and
7 we can see that that would be a big difference.

8 Now many times we have found that they
9 compare just as closely as it did here. They appear to go
10 back in with only 2 or 3 tenths of a pound of difference
11 from the pressure that's indicated when it came out. They
12 are just amazing instruments, and they're not infallible and
13 once in awhile they'll have that 2 or 3 pound drop, and if
14 you have a problem with the battery, why, you have a com-
15 plete failure.

16 I believe that's all we -- these are just
17 back up graphs from which the information was taken to con-
18 duct the tan colored graph at the first part of this sec-
19 tion.

20 Q The rest of the material in this section
21 is just support data, is it not, Mr. Greer?

22 A Yes, sir.

23 Q Would you now go to Section K in which
24 evidence of communication is shown from pressure decline in
25 a reservoir and explain what this section is designed to

1 graph, we show here the tan colored graph, the 1.21 pounds a
2 day that we showed back in October; the 1.31 pounds a day on
3 the next graph in November; and then if we will go to the
4 blue sheets following that, the first blue sheet, we show
5 here the production from February 1st to the 20th on the
6 producing C zone only wells, and we find here that the rate
7 of pressure decline is only .14 of a pound a day for 1500
8 barrels a day, or about 10,000 barrels a pound.

9 We show that on these next graphs. The
10 D-17 we had one run the first part of February; showed about
11 10,000 barrels a pound. And the D-17, now, as I noted ear-
12 lier, is a small well, makes only a few barrels a day.

13 To confirm that the D-17 was showing the
14 pressure decline of the reservoir, of the bulk of the
15 reservoir, we decided to run a bomb also in the B-29. It's
16 our largest well and we knew that if the -- if that con-
17 firmed the pressure decline that we had in the low capacity
18 well, plus being closer to the area of production, that that
19 would be a good confirmation.

20 So we ran a bomb in the B-29 and it's
21 shown on the lower scale and I've shown in there 10,000 bar-
22 rels per psi.

23 Now what that means, Mr Chairman, is that
24 during this period of time just producing these -- a few
25 wells in the unit, that we were realizing and we were recov-

1 ering more barrels per pound, in fact, nearly twice as many
2 barrels per pound as both Gavilan and West Puerto Chiquito
3 together during the higher rate of production. Now this is
4 exceptional evidence of the efficiency the gravity drainage
5 and of the pressure maintenance project and we think should
6 be given large consideration in this hearing.

7 Now to continue, if these wells are in
8 good communication with the main reservoir, then on shut-in
9 they should show a reaction and the wells closest to the
10 production should show the greatest reaction and that's what
11 happened. When the wells were shut-in then in November, the
12 B-29, the high capacity well closest to production showed
13 its -- its immediate and rapid rise in pressure.

14 The D-17 showed its (unclear.)

15 Q Now, Mr. Greer, what conclusions have you
16 been able to reach concerning communication in the reservoir
17 as a result of this reservoir pressure decline?

18 A Well, Mr. Chairman, I conclude that the
19 reservoir from which these wells are producing, primarily
20 the C zone, is under gravity drainage. The pressure main-
21 tenance is effective, and given the right opportunity, high
22 -- high recovery can be expected from the wells.

23 They are sensitive to rate of withdrawal
24 and the rate of withdrawal that has affected these wells,
25 it's clearly the withdrawal in Gavilan.

1 effective measure to expand this project area as you are
2 proposing?

3 A Well, if we cannot expand it, then that
4 means that we do not get pressure maintenance credit. That
5 means that we cannot produce our gas and return it to the
6 reservoir, and if we can't do that, then it's not feasible
7 to install a gasoline plant. It's not even feasible to con-
8 tinue the pressure maintenance project, so we'd just have
9 two Gavilans instead of one good operation and one Gavilan.

10 MR. CARR: At this time we are
11 planning to move to Exhibit Number Two. If the Commission
12 plans to take a break this morning, this would be an appro-
13 priate time.

14 I will warn you, it looks a lot
15 like Exhibit Number One if you look at in on the binding.
16 It does not take as long to present, however.

17 MR. LEMAY: We'll take a fif-
18 teen minute break.

19
20 (Thereupon a fifteen minute recess was taken.)

21
22 MR. LEMAY: Let's continue. Mr.
23 Carr?

24 Q Mr. Greer, would you briefly identify
25 what Exhibit Number Two is?

1 A Well, yes, sir, Mr. Chairman, in estab-
2 lishing communication, one way we can do it is during a
3 frac treatment where a well is given a frac treatment, a
4 large volume of fluid is injected in a reservoir in a short
5 time and sends a pressure pulse through the reservoir and
6 observation wells then can pick up that pulse and that's ev-
7 idence of communication.

8 Q And Exhibit Two reviews that kind of test
9 information.

10 A Yes, sir.

11 Q Would you turn --

12 A Excuse me, it's mostly information that
13 we obtained since the last hearing, although there -- I be-
14 lieve there may be one or two tests that we have referred
15 to earlier.

16 Q All right, would you turn to the first
17 plat behind the introduction tab and identify that, please?

18 A Yes, sir, we show here in the orange
19 colored lines the areas of communication where we have iden-
20 tified communication before in -- in earlier cases, and the
21 green, the upper green area shows communication which we had
22 determined earlier, reported earlier to the Commission. The
23 lower green lines show communication which we had earlier
24 reported in Case 9113.

25 I might point out, we still show the same

1 little plat that we had in Case 9113 with the area with the
2 question marks in the shaded area of postulated low perme-
3 ability.

4 Q What is the table behind that plat?

5 A The table behind the plat identifies some
6 of the tests that we made and some of the statistics for
7 them.

8 Q All right, would you go to Section A and
9 identify what is contained in Section A?

10 This is the frac treatment on the F-30.

11 A The F-30 we reported earlier, the upper
12 graph shows a plot of the pressure increase against log
13 time. The reason we do that is for comparison with some of
14 the other tests that we've made here in case the Commission
15 staff might like to go back and make comparisons on the same
16 basis.

17 Q All right, Mr. Greer, is there anything
18 else behind this particular tab you'd like to address?

19 A That's all statistics.

20 Q All right. If you would go to Tab B now
21 and refer to the first plat on the yellow sheet behind that
22 tab and identify what this is and how this relates to the
23 prior information?

24 A Yes, sir. This is a reproduction of an
25 earlier plat and added to it are two blue lines showing on

1 the righthand side the C-34 well. We fraced the C-34 well
2 in April, 1987, with observation wells being the B-32 and B-
3 29. We had instruments in those wells, approximately 2-to-
4 2-1/2 miles from the treated well.

5 Now, the treated well, the C-34, is one
6 of the wells that produced from the C zone earlier. We've
7 now opened up the A and B zones and fraced at that time with
8 only the A and B zones open.

9 All right, if we turn to the next -- skip
10 over the two green sheets and go to the gray colored sheets
11 that have the log and the graph.

12 The log shows -- identifies the A, B and
13 C zones. We introduced the bridge plug between the B zone
14 and C zone. The gray shaded area shows a response to
15 radioactive sand tracer used in the frac treatment, so we
16 know from that that the frac did go into the A and B zones.

17 There's a little bit of an indication of
18 the tracer down on top of the bridge plug, which we think is
19 some radioactive sand settled on top of it.

20 The two lines shown on the lower graph
21 are plots of pressure decline versus time following the frac
22 treatment. It just happened in this particular well that
23 they had a problem after we had about 70 percent of the frac
24 away and we shut down for awhile and we kept track of the
25 pressure decline and then compared it with the pressure de-

1 cline following the frac treatment, but what this means is
2 that the frac treatment was -- was in a sense getting out
3 into a reservoir. If -- if we were just fracing into a zone
4 that was not in communication with anything else, that
5 second line would have been higher where the pressure just
6 builds up as a consequence of introducing the frac fluid in
7 the formation.

8 That's our first indication that the --
9 that the frac treatment did indeed get into the main reser-
10 voir.

11 Q All right, now go to the blue sheets.

12 A The blue sheets show the pressure
13 response to the frac treatment in the B-32 Well.

14 Now the lower line of circles sloping up
15 to the right shows the pressure buildup or the pressure sur-
16 vey in the B-32 run the last of January, '87, and we can see
17 that the relation of pressure through log time is a straight
18 line all the way up to about the fifth day, at which time
19 that test was ended.

20 Now, when we -- when we fraced the C-34
21 and then we have a similar parallel line, we see that soon
22 following the frac treatment of the C-34, the pressure in
23 the B-32 begins to deviate from that line and that's a con-
24 sequence of the frac. We call that a frac response.

25 Then under Tab C the graph is a similar

1 graph plotted from information taken from the B-29 Well and
2 if you'll recall the B-32 and B-29 are both 2/2-1/2 miles
3 west of C-34; one nearly due west, the other about
4 northwest, and here we see the frac response, a similar kind
5 of a response to what we saw in the B-32.

6 Q Now this is evidence of communication
7 across that area?

8 A Yes, sir, that's evidence.

9 Q Could you now go -- and the remaining in-
10 formation behind these Tabs B and C is the supporting infor-
11 mation, --

12 A Yes, sir.

13 Q Is that not correct?

14 A Yes, sir.

15 Q Will you go to Tab D now, to the pink
16 sheets immediately following that tab and explain what addi-
17 tional information is placed on the plat?

18 A Yes, sir. This is the same plat we
19 looked at before with another set of blue lines imposed on
20 it.

21 These upper blue lines, the junction of
22 them is at the A-16 well. The A-16, we treated the A and B
23 zones in it in the same fashion we did the C-34. We had
24 bombs then and observation wells at A-20 and the B-32, and
25 again, we saw pressure response. And I'll note here that in

1 narrating a description of each of these tests we've in-
2 cluded the previous information simply so that someone
3 studying this could pick up at any point and understand what
4 we're trying to describe.

5 Q Could you now proceed to your Tab E?

6 A Tab E shows the pressure response to the
7 A-16 frac treatment and the A-20 Well and here we don't see
8 quite as much pressure response but we see a strange up and
9 down behavior of the pressure, which I interpret that to in-
10 dicate cross flow.

11 When we fraced that well we had indica-
12 tion of cross flow as the pressure was dropping off and I
13 feel that that is what happened on the A-20.

14 Q All right, Mr. Greer, now we've seen the
15 pressure response for all the blue lines in the plat behind
16 Tab D.

17 Could you go to Tab F and I'd ask you to
18 go to the blue plat immediately behind Tab F and show what
19 additional pressure response you're showing here.

20 A Under Tab F we show the frac treatment
21 along the pink colored line and that's where we fraced the
22 D-17, the northwest end of the pink line, and saw a response
23 in the A-20, and I might note that in this test as well as
24 all of the other tests we've just looked at, we shut in all
25 of our wells in Township 25 North, Range 1 West, and that, I

1 might point out, is a significant -- significant cost. If
2 we're shut in 2000 barrels a day for a week it is a substan-
3 tial reduction in income. In order to support this test we
4 -- we have undertaken it with that understanding.

5 Q Mr. Greer, how quickly was the response
6 to the fracture treatment noted?

7 A Well, I don't show the time exactly here.
8 We've got it plotted against log time on the -- on the next
9 sheet, but it's within a matter of a few hours after the
10 frac treatment that we begin to see the frac response.

11 Q And how far apart are the wells?

12 A These two wells are about a mile apart,
13 under a mile.

14 Q Would you now refer to the information
15 contained behind Tab G?

16 A Tab G we show again the same -- same plat
17 as before and in addition we have some purple lines and two
18 dashed red lines.

19 The dashed red lines one of the tests
20 that we recorded in Case 9113, BMG Exhibit One, Section M.

21 The purple colored lines are those that
22 identify the wells when the F-7 Well was given a frac treat-
23 ment in November, '87. We had bombs to the north in the E-
24 6, to the northeast in the J-6, and to the southeast in the
25 D-17.

1 Q Now, Mr. Greer, you again have seen a
2 quick response to the frac treatment?

3 A Yes, sir.

4 Q What does that show other than just com-
5 munication?

6 A Well, we -- we have found, which we'll
7 look at later, that's it's possible to analyze these tests
8 and determine something about the pore volume of the reser-
9 voir as well as the transmissibility.

10 Q Will you now to the information contained
11 behind Tab, I believe it's H in the exhibit book?

12 A Well, under G I'd like to note --

13 Q Okay.

14 A -- the blue graph, first, which shows the
15 response in the J-6. The J-6 is a (unclear) well which
16 shows a sharp spike and this particular well, the pressure
17 was building up fairly fast as a consequence of us having to
18 cut paraffin in the well later than we had intended, but
19 it's pretty clear that the pressure was beginning to follow
20 a pretty general path, identified path, prior to the frac
21 treatment. There's no question that this sharp increase in
22 presssure was a consequence of the frac treatment.

23 Q Are you now ready to go to Tab H?

24 A Yes, sir.

25 Q Would you go to the graph immediately be-

1 hind Tab H and identify that?

2 A This is the -- shows the frac response in
3 the E-6. It was the next farthest removed well.

4 We can see there the plots of the pres-
5 sure and the frac response, the shaded area.

6 Q All right, Mr. Greer, would you now go to
7 Tab I and review the graph immediately behind that tab?

8 A This shows, Tab I, the graph here shows
9 the frac response to the D -- in the D-17 Well, and here I
10 note that the plot of the pressures prior to the frac treat-
11 ment was approximately 5.3 pounds per log cycle; after the
12 frac response, approximately 11 pounds per cycle.

13 Now, that 2-to-1 slope can occur as a --
14 as a consequence of the -- an indication of a boundary or
15 lower permeability and so I can't tell from this whether
16 that is a frac response or a response from a boundary.

17 Just generally, though, that seems
18 strange to me that it would be nine days after the well was
19 shut in that change in slope occurs; that just by happen-
20 stance we would -- the pressure response to the well would
21 be a consequence of a boundary when just immediately follow-
22 ing the frac treatment a response is shown.

23 So my feeling is that it's probably the
24 result of the frac treatment that causes that (unclear).

25 Q Mr. Greer, what conclusions can you draw

1 from the information contained in Exhibit Two concerning
2 these fracture treatments?

3 A That we have demonstrated communication
4 throughout the area.

5 Q Have you attempted to analyze this test
6 information in terms of reservoir properties?

7 A Yes, sir.

8 Q And how have you gone about making this
9 analysis?

10 A Mr. Chairman, the -- we'll be looking at
11 three -- three frac/pulse tests and an analysis of them and
12 -- or four. Three of the -- three of the tests were recom-
13 mended by the Gavilan Engineering Committee and -- and of
14 those three tests we reported information to -- to the Gavi-
15 lan Engineering Committee and we noted there that there ap-
16 peared to be what we could describe as an empirical relation
17 between the pump volume, the pump rate, and the distance be-
18 tween wells, and then as such, it might be susceptible to
19 analysis.

20 It was my thought that that would be one
21 project the Engineering Committee could undertake would be
22 the analysis of these frac/pulse tests to determine some-
23 thing about the reservoir properties.

24 Unfortunately, when we took the informa-
25 tion for the third test that was at the time when the work

1 of the committee was discontinued.

2 So, we did not do this as a -- as a com-
3 mittee, and I initially felt that it would probably, to pro-
4 perly analyze this would be a very difficult, complicated
5 process. We'd have to get into (not clearly understood).

6 When discussing it with Dr. Lee after our
7 hearing last spring, he said that he felt that from a --
8 just a practical standpoint an analysis of these tests could
9 be done by use of the EI formula, the EI formula by differ-
10 ence, and we need to take just a minute to -- to understand
11 what -- what Dr. Lee was talking about and why we think it's
12 a suitable and practical way to go about trying to analyze
13 this test.

14 And to do that, we look at how engineers
15 analyze pressure build-up tests and how they determine
16 reservoir properties from that.

17 And the way they go about it, let's say,
18 for instance, that we have a well that produces for ten days
19 and is shut in for ten days. There is a -- in a sense a
20 pressure wave moves through the reservoir whenever there's a
21 pressure disturbance within it, and for example, after a
22 well had been producing ten days and the pressure is drop-
23 ping at the wellbore, it's dropping throughout the reservoir
24 as far as it has its communication, you shut the well in
25 and immediately the pressure starts building up in the well-

1 bore, let's say 1000, 2000 feet away it's still dropping.

2 And so what the engineer does in a sense
3 is he takes the previous rate of pressure decline and then
4 he calculates how that pressure would continue dropping, how
5 it would continue dropping, because it does drop out at dif-
6 ferent distances, if the well were to continue to produce.

7 And then to simulate what happens on
8 shut-in he imposes an injection well right next to it of ex-
9 actly the same capacity and then he takes the difference in
10 the amount of build-up caused by the injection well, amount
11 of drawdown that he calculates would be, if the well contin-
12 ued to produce, and then by difference he determines what
13 the pressure build-up is.

14 Now, that's kind of complicated and --
15 and an engineer working on this found that he could make
16 some general assumptions that would simplify this.

17 He could assume, for instance that the
18 reservoir characteristics were the same on the pressure de-
19 cline as they are on pressure build-up and also, -- and in-
20 cidentally, now, he calculates both the pressure decline and
21 the pressure build-up by the EI formula, and he noted, among
22 other things, that after a certain length of time, that the
23 -- the EI function can be expressed as a function of log, of
24 logarithm.

25 So, when he shook it all out, he found

1 that he could come up with a relation between the pressure
2 change and logarithm of ratio of time, the ratio of time is
3 the shut-in time divided by the sum of the producing time
4 and the shut-in time, and -- and that he could make a plot
5 of that; just plot that -- just plot that ratio, the loga-
6 rithm of that ratio against the pressure and then there's a
7 relation that he can use to calculate the characteristics.

8 Now that engineer's name was Horner and
9 whenever we make a plot like that we call it a Horner plot,
10 and the point of this is that if you can use a Horner plot
11 to analyze this reservoir, you can use the EI formula by in-
12 ference with interference tests and for analysis of these
13 frac/pulse tests.

14 So that's how -- how we made this -- the
15 analysis.

16 I think, Mr. Chairman, we ought --

17 Q Yeah, if we can take a minute, we'll pass
18 out a book that shows how this was done, and while we're
19 doing that, Mr. Greer, would you explain how the informa-
20 tion you get taking this approach is different from this in-
21 terference information you got a result of these tests, this
22 straight pressure response?

23 A Oh, well, the -- the interference tests
24 themselves show the pressure response, the time of the re-
25 sponse, and we take that information, then, and analyze it.

1 Now, what we looked at in the black book,
2 we just showed the pressure response without any analysis to
3 it. We just showed that.

4 MR. CARR: The red book is Ex-
5 hibit Three.

6 Q Now, Mr. Greer, could you turn to Tab A
7 in Exhibit Number Three and identify that plat and what is
8 shown on that plat?

9 A Okay, the plat is at the -- at the end of
10 Section A, and we show here the four tests, the area of the
11 four tests that we conducted.

12 Now, the colored area shows the area of
13 influence of the particular tests; like for instance, the
14 yellow colored area covered only a short period of time and
15 covered only a short, small area.

16 The upper lefthand circle and the lower
17 righthand circle in the yellow area are the test well and
18 the observation well for the yellow area. And then the up-
19 per righthand red circle and the lower lefthand one, the
20 lower one is the one for the red colored area.

21 It's important to recognize that in an
22 interference test the properties shown by the test are not
23 necessarily those between the wells, rather the bulk of the
24 effect of the influence comes from outside that area and
25 that's one of the virtue's of an interference test that

1 covers such a big area, you know, we need to realize, of
2 course, that -- that we can't tell from the test itself
3 whether the entire area is productive or not, but one of the
4 virtues of this type of a test is that -- let's take, for
5 instance, one of the areas that we assume is productive,
6 let's say that only half of it is productive, then the cal-
7 culated transmissibility that we get, the calculated pore
8 volume that we get, then, is half as much as it really is.

9 But we have calculated over the entire
10 area, and so if we take our calculated pore volume in the
11 area we get exactly the same answer, even though part of the
12 area is not productive. So this is useful in that sense.

13 Now, we just can't tell exactly where the
14 area is productive, where there's tight spots, but what hap-
15 pens is we get an average. Doesn't have to be a homogeneous
16 reservoir, doesn't have to be uniform properties, what we
17 get are average properties and we're looking at the results
18 on that.

19 Now, we've summarized these tests on --
20 by the tabulation on the white sheet.

21 I would come down to line 9, in which we
22 show the pore volume in terms of stock tank barrels per ac-
23 re. On the first test, the first column, we show about 1500
24 barrels an acre; the next barrel about 2800 barrels an acre,
25 and the next one, 1800, and the next one, 1100.

1 Now, the one on the righthand side, the
2 C-34 and B-32 tests, there only the A and B zones were open,
3 and the other tests all three zones were open.

4 The shortest test, the one with the least
5 reliability would be Tapacitos 4, the second column, which
6 shows the highest volume of stock tank barrels per acre.

7 My assessment is that for the areas that
8 we've tested, that the probable pore volume in terms of
9 stock tank barrels per acre, lies between 1500 and 1800, and
10 I should point out at this point that at the last hearing
11 Mr. Brostuen asked where the 3000 barrel per acre figure
12 came from, and I did not take the stand after that to be
13 able to answer it, but where it came from was in the course
14 of the Gavilan Engineering Study Committee, I volunteered
15 that we had found from interference tests of one zone what
16 we thought was about 1600 barrels an acre. Looked like in
17 Gavilan they're -- at that time they thought maybe all three
18 zones might be productive. I didn't think the three zones
19 would have three times as much the volume as one zone, but
20 it might have twice as much.

21 And so just kind of as a horseback star-
22 ter, we talked about 3000 barrels per acre. We used that
23 figure in our -- one of our exhibits in last April, although
24 we pointed out then that we felt that that was high, and we
25 think that in time it will be shown that with Gavilan and

1 this area here generally has about that volume, somewhere in
2 the range of 1500-1800 barrels per acre of pore volume.

3 Now, we come down to the bottom line, we
4 find -- first, let's see, we should look at the tenth line.
5 By injecting a frac fluid, of course, we can't tell what's
6 in the reservoir; what we can determine is transmissibility
7 in terms of Kh/u , which we've shown in Line 10.

8 Now, if we know the gas/oil ratio of the
9 area in question, then we can convert Kh/u to Koh or trans-
10 missibility in terms of (unclear), and -- which, incidental-
11 ly, we show that in one of the appendix to this -- to this
12 report. It's not generally set out in the technical litera-
13 ture and so we included it here.

14 Then we come down to Line 13 and we show
15 transmissibility in terms of Koh runs from 12 to 50 darcy
16 feet. Again we note that the one with the highest transmis-
17 sibility is the one with the shortest test, probably not as
18 accurate as the others, but it would appear that the range
19 of 12 to 20 darcy feet is a pretty reasonable figure.

20 Now, when we first performed our inter-
21 ference tests 20 years ago, we came up with an average Kh
22 for the areas tested of about 6-to-8 darcy feet, and that
23 included both the high capacity system and the tight blocks,
24 an average of those. At that time we estimated that the
25 high capacity system would probably have transmissibilities

1 on the order of 10 to 20 darcy feet and we reported that to
2 you 20 years ago.

3 We had no way then of testing that high
4 capacity system. We think now that these frac pulse tests
5 probably show the transmissibility of the high capacity sys-
6 tem. As time goes on and the frac fluid diffuses into the
7 reservoir and the reservoir itself responds and the oil dif-
8 fuses into the tight blocks, that then we get closer to an
9 average, and so early -- in each of these tests, we take
10 early time, we show always some higher transmissibility than
11 the later, and my feeling is that that is what that means.

12 Now, the significant thing, the really
13 significant thing in these tests, is that associated with
14 the high transmissibility is a very substantial part of the
15 reservoir volume. Now, this -- this is important.

16 If a large part of the reservoir volume
17 has a high transmissibility, then it's susceptible to --
18 will respond to -- to reservoir management, which allows the
19 gravity drainage to operate and will let the pressure main-
20 tenance project operate.

21 So this confirms what we had earlier
22 found from earlier tests and could be a really rather prac-
23 tical tool that we think, if the industry wants to study it
24 further, they may find that it's quite useful.

25 Q All right, Mr. Greer, will you turn now

1 to Tab B and to the blue sheets behind Tab B, and explain
2 the graph that's shown here?

3 A What we show here, the average character-
4 istics that we found from these tests, we have calculated
5 what the shape of the curve might be for a frac pulse for
6 observation wells at different distances from the -- from
7 the treated well.

8 The -- the upper curve, the squares, is
9 for a 3000 foot radius; and then the next one, 4000, then 6,
10 8 and 10, and what's of interest here is how does this frac
11 pulse behave as it moves through the reservoir. Should we
12 expect a little spike at each well and at different
13 distances? Will it be a little spike or what will happen?

14 And we see here that for wells close
15 enough with reservoir characteristics of the kind that we
16 have here, that at 3000 feet we do indeed get a fairly sharp
17 increase and a fairly sharp dropoff.

18 We get as far out as 10,000 feet, we see
19 no spike but in fact the pressure keeps increasing and at
20 the end of four days at 10,000 feet it's still increasing.

21 Q Now will you go to the yellow graph and
22 explain the difference in this yellow graph as opposed to
23 the first one?

24 A The yellow graph is the same, just a
25 continuation of the blue graph, except we've carried it out

1 to nine days and we see there that at nine days the pres-
2 sures begin to draw together regardless of the distance from
3 the well.

4 Q Now the blue sheets contain statistics
5 that were used in making these computations?

6 A Yes, sir, we -- we show generally here
7 what -- how -- how we analyzed the tests.

8 The first column we show the time after
9 the frac treatment. The second column is a pressure
10 response.

11 Then the third column is one that we in-
12 clude just to be able to -- to study the test and how the
13 accuracy of the EI formula is required under this method of
14 using the EI formula by difference.

15 If we had continuous pumping, then the
16 third column shows what the pressure would be in the well at
17 the different times. Like, for instance, on the bottom line
18 it would be 314 pounds, whereas by difference it's only .75
19 of a pound, so we see we have to have the EI solution fairly
20 accurate in order to come up with the difference that gives
21 us the right answer.

22 Then the other columns, we note that the
23 EI formula is a point source for solution. Wells are not
24 point sources. They have physical dimensions and wells af-
25 ter fracing, they have the large rw. Now, that doesn't stop

1 the engineer from using the principal of the EI formula Hor-
2 ner plot. They go ahead and use it. It has some -- some
3 limitations. We recognize the limitations here, that the EI
4 formula, if the diffusivity constant times time divided by
5 the wellbore radius squared is greater than -- or less than
6 100, less than 100, then the EI formula will not be exactly
7 correct.

8 We've shown here, for instance, like for
9 an rw, the next to last column, of 250 feet, an effective rw
10 of 250 feet is generally recognized as a frac length of
11 about 1000 feet, so if we frac the well at about 1000 foot
12 fracture, induced fracture, the calculations for an effec-
13 tive rw about 250 feet will apply.

14 Okay, we see here in the next to last
15 column that up to about one day our guideline is less than
16 100. That means the EI formula will not be perfect. Okay,
17 to determine how far off the EI formula is, we go to the far
18 righthand column and by taking the diffusivity constant
19 times time and dividing it by the distance squared, that's
20 between the observation well and the treated well, then we
21 can go to some information that's in the appendix here that
22 shows how far off the -- the calculation is.

23 Now we have shown on the plats as we come
24 to them, 2 percent errors and 10 percent errors, so that we
25 would -- so we'll have an idea of the -- how far the -- just

1 the solution itself might be off, and whether it's far
2 enough off the required (unclear) that we go to -- to an ex-
3 act solution to solve our problem or if we can feel comfor-
4 table with where we are.

5 Q All right, Mr. Greer, what is shown on
6 the yellow table?

7 A On the yellow page we have shown an exam-
8 ple here if we look at the lefthand column, after nine days
9 we find that the pressure has increased in the second column
10 up to about a half a pound and then begin to slowly fall
11 off; quite different from the sharp spike that we get for a
12 well close to it.

13 Q Okay, Mr. Greer, let's now take a look at
14 the individual tests. Let's go to the first test and the
15 data on that after Tab C.

16 A This shows the test between the E-6, Can-
17 ada Ojitos E-6, and Canada Ojitos N-31, and we've looked at
18 the summary of the statistics that we calculated for that
19 earlier.

20 Now if we'd go to the gold colored sheets
21 we'll see how we analyze the field data to come up with the
22 amount of the -- of the frac response. Now these -- these
23 gold colored sheets were provided the Engineering Committee.

24 We show here the production on the little
25 schedule on the graph on the left of nearby wells, which ap-

1 difference in K_h , and we've chosen curves that (unclear)
2 back at the (unclear).

3 Q All right, let's go to Tab D and look at
4 the information on the E-6 and the Tapacitos 4.

5 A Here we have the same type of informa-
6 tion.

7 Now, the Tapacitos 4 was -- had to be put
8 on production shortly after the test started and so the area
9 covered, the area of influence, is smaller than any of the
10 other tests.

11 The plot of the field data is shown on
12 the yellow sheets following the next (unclear).

13 You can see how -- how we estimated the
14 pressure increase by extrapolating the rate of pressure de-
15 cline. That's on the yellow sheets.

16 Then for the same well, the Tapacitos 4,
17 still under Tab D, the last graph under Tab D shows again
18 the (unclear) of the field data and my calculations for the
19 pore volume and (unclear).

20 Q All right, let's go to Tab E and the Unit
21 B-32 Well.

22 A This the B-32 and F-30. This is test
23 that was reported last -- in the last hearing with no calcu-
24 lations made on it. The calculations appear here.

25 First, we show again the response in

1 terms of pressure versus log time. We looked at the curves
2 earlier.

3 And we pass on over to the tan colored
4 sheets and here again we show with the orange and blue lines
5 the 10 percent and the 2 percent lines for accuracy of the
6 EI formula.

7 My feeling is that as far as a practical
8 method of determining what these frac pulse tests mean, the
9 EI solution is a very practical way to do that.

10 Q All right, Mr. Greer, go to Tab F and the
11 last test.

12 A This shows the C-34 and the B-32, the
13 calculation for that area, and this graph is shown on the
14 green sheets that follow.

15 Now, this -- these wells are separated, I
16 believe, the greatest distance of any of the tests, about
17 two miles, 10,400 feet, and of course, have the smallest
18 pressure response, but here again the results appear to be
19 about the same as we've found before, a little smaller
20 amount of stock tank barrels per acre in place, but again
21 the treated well had only the A and B zones open and that
22 may have had an effect on it. I think it might.

23 Q Would you now to go to -- I'm sorry, to
24 Tab G and explain the variation of the curves that may re-
25 sult from various input parameters in this frac treatment?

1 A Yes, sir. We wanted to show here about
2 how the sensitivity of the -- of the information and our
3 testing in order to determine do we really have a pretty
4 good analysis or would we, if we used entirely different
5 characteristics, would we still get a match of the curves,
6 and so we show some comparisons of that, and indeed there is
7 a big difference from the -- from the measured field data if
8 we use arbitrarily selected values that are substantially
9 different from the matches that we got.

10 If we look at the tan colored sheets we
11 see that the upper one is a reproduction of the match that
12 we made on the E-6 and N-31 and the comparison we make is if
13 Kh/u is only one darcy feet instead of what we had earlier
14 estimated, like 50 to 80, and if we match the peak pressure
15 and then determine the diffusivity constant in the curve
16 shape, why, we see that the curve nowhere near matches the
17 field data, the field data as being shown by the x's, and so
18 there is a very -- a distinction, clear distinction, if we
19 choose properties that are substantially different from
20 that, which gives a good match.

21 By the same token, the next sheet --
22 well, I guess this one is more tan and the other one's more
23 orange than this, but this shows the match at the time of
24 the two pressures and then compares the pressures.

25 Well, again the field data is shown down

1 at the bottom with the x's and we see that instead of a 6
2 pound increase there would be a 660 pounds and this is for
3 again, kh/u is equal to 1 darcy feet.

4 Q Will you to the blue sheet --

5 A One darcy feet, Mr. Chairman, is higher
6 than some of the engineers have felt is representative of
7 this reservoir.

8 Q All right, Mr. Greer, now would you go to
9 the blue sheets and review those, please?

10 A Okay, here the question arises, we ad-
11 dressed the question if instead of a large part of the
12 reservoir is in the high capacity fracture system, if it's
13 only a small part, say 10 percent, we make a comparison here
14 of how would the match be, and we see on the blue sheets
15 that it doesn't match at all.

16 Q All right, what is contained behind Tabs
17 H and I in this booklet, Mr. Greer? Is this reference
18 material?

19 A Oh, these are just references, yes, sir,
20 references and an appendix where we've done -- show some of
21 the calculations, how we -- how we go from Kh/u to Koh , and
22 such as that.

23 Q What conclusions can you draw from the
24 analysis you've made of the pressure pulses generated by
25 these fracture treatments?

1 A Well, the consistency of the -- of the
2 information that they show, the calculated information,
3 leads me to believe that they're a reasonable way to -- to
4 add to our store of knowledge about this reservoir and that
5 particularly the high capacity fracture system is associated
6 with a large part of the reservoir volume.

7 MR. CARR: May it please the
8 Commission, we are now going to pass out Exhibit Number
9 Four, this additional booklet, and you will see when you re-
10 ceive it that the bulk of it are copies of an appendix and
11 previous orders related to this pressure maintenance pro-
12 ject.

13 The last section contains an
14 explanation of how the crediting arrangement works.

15 I think we can present it very
16 quickly. This is our last exhibit we'll present.

17 MR. LEMAY: The lightest, too.
18 Please proceed.

19 Q Mr. Greer, would you identify what is
20 contained in Exhibit Number Four?

21 A Yes, sir, we thought it would be good to
22 collect the orders that affect the spacing in West Puerto
23 Chiquito and the orders which set out the regulations for
24 the prssure maintenance project, and we have them presented
25 here in case there's any question comes up, that we can

1 A Yes, sir, on Case 1, if you'll look at
2 line 1, we show here for the conditions under which we are
3 now operating, which is 400 barrel per day allowable and 600
4 cubic feet per barrel, for a 320-acre spaced well.

5 This particular well we assign a gas/oil
6 ratio of 1200 cubic feet per barrel, that means -- and its
7 limiting gas volume is 240 MCF a day, that means it has an
8 allowable of 200 barrels a day.

9 Coming further over to the right we see
10 what reservoir space it voids: By oil, 250 barrels, by gas,
11 510, total of about 760 barrels of reservoir space voided.

12 Now, a unit well, say, offsetting that
13 non-unit well, with the same gas/oil ratio, same limiting
14 volume, if there's no gas injected, we show that in the
15 third column, zero percent gas injected, then its net
16 gas/oil ratio is the same as its produced gas/oil ratio,
17 1200-to-1. Its allowable is 200 barrels a day, voids the
18 same reservoir space as a well outside the unit.

19 Now, if some of the gas is injected and
20 the production is held the same, then the unit well voids
21 much less space than the non-unit well. We show that by
22 statistics in the rest of the table; graphically by the
23 sketch below.

24 For instance, if 90 percent of the gas is
25 re-injected, then the unit well only voids about 100 barrels

1 percent is injected, then the well is overproduced and has
2 to be cut back.

3 And that is shown graphically by the
4 middle line below.

5 If more than 50 percent is injected, then
6 the unit well with twice as high a gas/oil ratio as the non-
7 unit well, producing twice as much gas and the non-unit
8 well, nevertheless only voids a fraction of the space of the
9 non-unit well.

10 By the same token we go to 9600 cubic
11 feet a barrel, and so on. But at 9600 cubic feet a barrel
12 gas/oil ratio, then it's necessary to inject or re-inject at
13 least 75 percent of the produced gas.

14 Q Mr. Greer, how does this injection
15 formula affect correlative rights in the area?

16 A It protects correlative rights in a sense
17 that it is really, despite the fact it's a very simple
18 formula, it's very equitable, very practical, and easy to
19 use and to monitor, and the unit is given the option to
20 inject more than is necessary to -- to get the allowable.
21 In other words, if it's necessary to inject 50 percent to
22 get the allowable up the well as we just looked at with the
23 4800 cubic feet per barrel gas/oil ratio.

24 And the unit, the operator and the unit
25 owners believe that it's beneficial to inject more than 50

1 percent. Then the operator has the option to that, to
2 inject more than 50 percent, void considerably less space,
3 less reservoir space than the offsetting well outside the
4 unit, but if he thinks it's beneficial to do that, he has
5 the option to do it.

6 If for some reason, the pressures break
7 down, or whatever, the gas is not injected, then there is no
8 gas injection credit, and the allowable, then, becomes the
9 same as the non-unit well.

10 It's a very fair and equitable formula.

11 Q Is this kind of an injection formula
12 unique to this pressure maintenance project?

13 A Oh, no, it's the standard formula and
14 similar ones apply to water injection.

15 Q Mr. Greer, based on your study of the
16 reservoir and your knowledge of this particular pressure
17 maintenance project, do you have an opininon on whether or
18 not there's effective pressure communication between the
19 project area and the expansion area?

20 A Yes, sir, I believe there is.

21 Q In your opinion has pressure maintenance
22 been working in this reservoir?

23 A Yes, sir.

24 Q Do you believe it will continue to work
25 in the future?

1 A Yes, sir.

2 Q In your opinion is the credit -- the in-
3 jection credit formula working effectively to protect cor-
4 relative rights?

5 A Yes, sir.

6 Q What would be the effect, in your opin-
7 ion, of failure to expand the pressure maintenance project
8 as you are recommending here?

9 A Well, as I noted earlier, the -- we would
10 have to forego our plans to construct a gasoline plant, in-
11 ject the residue, and probably would have to phase out the
12 pressure maintenance project rapidly.

13 Q In your opinion will expansion of this
14 pressure maintenance project that you propose result in in-
15 creased recovery of oil from this reservoir?

16 A Oh, I think substantially increased.

17 Q Would denial of this application result
18 in waste?

19 A Yes, sir.

20 Q Are you aware of any other logical bound-
21 ary at this time for this pressure maintenance project than
22 the one you're proposing after the project is expanded as
23 you're recommending?

24 A Oh, no, it's a very logical boundary.
25 The recovery wells are on the very lowest part of the struc-

1 ture where they need to be. It's -- it's practical.

2 The only better solution would be to, of
3 course, include Gavilan in the unit.

4 Q Mr. Greer, were Exhibits One through Four
5 prepared by you?

6 A Yes, sir.

7 MR. CARR: May it please the
8 Commission, at this time we'd move the admission of Benson-
9 Montin-Greer Exhibits One through Four.

10 MR. LEMAY: Without objection
11 Exhibits One through Four will be admitted into evidence.

12 MR. CARR: That concludes my
13 direct examination of Mr. Greer.

14 MR. LEMAY: Thank you, Mr.
15 Carr. I think we'll take a break for lunch and we'll return
16 at 1:15.

17

18 (Thereupon the noon recess was taken.)

19

20 MR. LEMAY: The meeting will
21 now come to order.

22 You've concluded the direct,
23 Mr. Carr?

24 MR. CARR: Yes, I have.

25 MR. LEMAY: At this time we'll

1 conduct cross examination of the witness.

2 MR. DOUGLASS: Mr. Chairman,
3 I'm ready to go forward but I thought maybe Mr. Kellahin, if
4 he has any questions, I don't know whether they're really
5 cross examination or not, but perhaps I could cover both.
6 If he's going to question Mr. Greer, then that could take
7 place and I can cover both areas.

8 MR. LEMAY: Have you got some
9 questions, Mr. Kellahin?

10 MR. KELLAHIN: For economy of
11 time, Mr. Chairman, I don't propose to ask Mr. Greer any
12 questions on direct.

13 MR. LEMAY: Please proceed, Mr.
14 Douglass.

15

16 CROSS EXAMINATION

17 BY MR. DOUGLASS:

18 Q Mr. Greer, if the proposed expansion area
19 is not in effective communication with your injection wells,
20 then would you agree that your proposed expansion area
21 should not get the benefit of the net ratio for gas injec-
22 tion?

23 A Sir, we don't want credit if we're not
24 entitled to it and I would say that there's no way that we
25 can get credit for the gas injection if there's no communi-

1 cation.

2 Q Well, is the answer to my question, yes,
3 that you should not get injection credit unless there's ef-
4 fective communication between your injection wells and your
5 proposed expansion area?

6 A Yes, sir.

7 Q Turning to your Exhibit One, the struc-
8 ture map, I believe that's under Tab -- the first page under
9 Tab Intro.

10 A Yes, sir.

11 Q Do I understand this -- what's this a
12 structure map on, please? Is it on the Mancos or what is
13 it?

14 A It's on the contour marker, top of the
15 Niobrara Zone A.

16 Q Niobrara Zone A, all right. Does it re-
17 flect that on the east side of your unit here that you have
18 a elevation or structural dip of about 800 feet per mile?

19 A Yes, sir.

20 Q And then when you get in the -- about the
21 middle of your unit, you have about 400 feet per mile?

22 A Yes, sir.

23 Q And when you get, right before you get to
24 the expansion area over here you have about 200 feet per
25 mile?

1 A Yes, sir.

2 Q Now, the contour lines from -- let's see
3 how high they do go. They go up to 3000 feet, +3000 feet?

4 A Just about, yes, sir.

5 Q All right, sir, and from 3000 feet to 600
6 feet, those are 200 foot contours on this structure map, is
7 that correct?

8 A Yes, sir, the dashed line is a 100 foot
9 contour.

10 Q So you change the contour interval when
11 your -- the contour interval on your structure map when you
12 get down to 600 feet, is that correct?

13 A Yes, sir, we did that in order to show
14 the lower part of the area on the lefthand side.

15 Q All right, sir. In the expansion area,
16 which is the dashed area, I take it, on this map, is that
17 correct?

18 A Yes, sir.

19 Q In the expansion area would you consider
20 the structural elevation of that area to be relatively flat?

21 A Yes, sir.

22 Q And then, as I understand it, when you
23 come into Gavilan to the -- to the west over here, there's
24 only a slight structural increase in that area, is that cor-
25 rect?

1 A Yes, sir.

2 Q You would consider the Gavilan to be rel-
3 atively flat, the entire Gavilan area to be relatively flat
4 with reference to the unit area from 600 to 3000 feet,
5 wouldn't you?

6 A Well, on the south part of Gavilan the
7 structure rises again. It's what we refer to as the Gavilan
8 nose or dome.

9 Q But other than that the rest of Gavilan
10 you'd consider relatively flat to your unit?

11 A I believe it drops off to -- to the west.

12 Q You had an exhibit under Tab B. It's a
13 schematic drawing -- diagram, cross section?

14 A Yes, sir.

15 Q Showing an arrangement of your unit wells?

16 A Yes, sir.

17 Q I wonder -- I'd like to keep that green
18 tab and the diagrammatic sketch, or schematic diagram under
19 B, and also look at your structure map --

20 A Okay.

21 Q -- to see if we can identify the wells
22 that you're talking about.

23 A Okay. The down dip recovery wells are
24 essentially those in the expansion area.

25 Q All right, so it would be -- the dashed

1 green line on your structure map would be about where the
2 dotted line is that separates the down dip recovery wells
3 from the intermediate cycling wells on your green schematic
4 diagram, is that correct?

5 A Yes, uh-huh, to the extent that that
6 sketch is not to scale, yes.

7 Q Approximately. Then what would be your
8 intermediate cycling wells?

9 A They run over there from that point to --
10 to the injection wells.

11 Q Now, wait a minute, you've got up dip
12 injection wells. I see K-13 at a minus -- at a +13 is that
13 -- I don't know whether that's 50 or 30.

14 A Yes, sir.

15 Q Would that be an intermediate cycling
16 well?

17 A Probably. We initially intended for the
18 K-13 and just to the west of it the P-11 and the A-14 and A-
19 23 to be cycling wells but as we -- as we worked over and
20 opened up the A and B zone in some of the other wells, it
21 looks to me like there's a good possibility that we may not
22 need those wells, and so they would be cyclins wells with
23 the exception of whether it's unnecessary to just -- to go
24 to the expense of putting them in the production system. In
25 other words, we might do the cycling we want to do without

1 those wells.

2 Q Well, I just want to know what -- what
3 area within your unit would be considered the intermediate
4 cycling wells with reference to the structure position that
5 you have.

6 A Everything down dip from the injection
7 wells to the -- just about to the boundary.

8 Q Okay, and then your up dip injection
9 wells, would that be your five injection wells that you
10 have?

11 A Yes, sir, but we only have --

12 Q You had five; I think there are just four
13 shown on your exhibit, is that right?

14 A Well, yeah. At one time the first well we
15 used for injection was the K-13. That was to initially test
16 our theory as to whether the reservoir might be susceptible
17 to injection. Once we found that out, then we moved the in-
18 jection wells back farther away from it.

19
20 Q So there would be the four, on your
21 structure map it would be the four wells that show tri-
22 angles, the injection wells, wouldn't it?

23 A Yes, sir.

24 Q Now, isn't it -- isn't it a fact that you
25 could construct this gas plant, cycle the gas, and have suf-

1 efficient volume that you don't need any additional gas from
2 the down dip recovery wells?

3 A No, sir, I would not recommend that.

4 Q Let me show you what I'm going to ask to
5 be identified -- I'll bring you a copy of Mallon Exhibit
6 One, I haven't stamped it, but it's a letter dated March 12,
7 1988.

8 Do you recognize that letter?

9 A Yes, sir. Worked Saturday afternoon to
10 get it out.

11 Q You signed it, didn't you?

12 A Yes, sir.

13 Q All right, sir. On the -- on the second
14 page of that letter don't you say in the 1, 2, 3, third new
15 paragraph, at the bottom of the -- the last sentence of that
16 paragraph, you say, "All in all, we expect to have a capa-
17 city from all of these cycling wells of 15,000 MCF per day
18 or more."

19 A Yes.

20 Q And those cycling wells do not include
21 any of the wells in the expansion area, do they?

22 A No, no cycling wells.

23 Q And the plant capacity that you do your
24 economics on is 10,000 MCF a day.

25 A That's correct.

1 Q So even from the cycling wells, according
2 to your letter, you expect to have 5000 MCF a day more than
3 the necessary deliverability to operate this plant.

4 A Yes, sir. Could I respond to that a
5 little more fully?

6 Q Anything you want to, Mr. Greer.

7 A Okay. The economics, Mr. Chairman, on
8 the gasoline plant hinges not only on the total volume which
9 you have to put in the plant, but the total reserves, and
10 one of the concerns that we have is to -- to optimize
11 whatever we can in the way of oil and gas from this
12 reservoir, and we want to take all the gas that we possibly
13 can through the plant and reinject it and with the cost of
14 the plant and the plans that we have for it, I would be
15 concerned that there is not enough total gas in just the
16 cycling wells alone to be an economically sound venture.

17 Perhaps I should go into a little bit of
18 detail about that.

19 The thing that we want to accomplish, Mr.
20 Chairman, is to pick up as much additional reservoir liquids
21 as we possibly can. Now to do that means getting the
22 treated gas as lean as is reasonable to do. Now this means
23 that we have to -- to recover a substantial portion of the
24 ethanes. We can't quit, as a number of plants sometimes do,
25 with just butanes, propanes. We have to go to ethanes.

1 When we go to ethanes, the vapor pressure
2 of the mixture that we'd have will be too high for the pro-
3 ducts to be economically trucked. That means the only way,
4 the only feasible way that we can -- can go forward with
5 this plant is to construct a pipeline from the plant to the
6 nearest pipeline that we can get into to -- to market the
7 products.

8 The nearest point is at Lybrook. That's,
9 I think 40, we can see here, 44-some odd miles, 44.6 miles.
10 The cost of that pipeline alone approaches Two Million Dol-
11 lars, One Million Six-or-Seven Hundred Thousand Dollars.

12 By the time we add that to the cost of
13 the plant we're up to about a Four Million Dollar expendi-
14 ture and I just would not recommend to our partners that
15 they take the risk of this big an expenditure and only plan
16 on treating a part of the gas that we have available.

17 Q You don't condition this AFE on any
18 amount of reserves, do you?

19 A I don't put it in the letter. I asked in
20 a sense in I think it's the last paragraph that -- well,
21 somewhere I asked that they trust our judgment. That's,
22 perhaps, asking a lot of some participants but most of them
23 we've had for a long time and they do trust our judgment.

24 Q Mr. Greer, there's nothing to keep you
25 from putting through this plant the gas that you're current-

1 ly producing in the expansion area, isn't that right?

2 A There's nothing to keep us from doing it?

3 Q That's right.

4 A Well, as I indicated this morning, if we
5 don't have approval of the expansion of the pressure main-
6 tenance project then we can't pick up the gas, we can't re-
7 turn it to the reservoir, we can't run it through a pipe-
8 line, so we'd have to phase out the injection project and
9 forego the plant. I just would not recommend that at all.

10 Q Well, I don't understand why you can't --
11 you're now picking up the gas from the wells in the expan-
12 sion area.

13 A Yes, sir.

14 Q You run it in a gathering system to some
15 point.

16 A Uh-huh.

17 Q Why can't you run the gas that you're now
18 picking up through a plant?

19 A If we don't get this expansion we probab-
20 ly will cease doing that.

21 Q Well, you say you probably will, but
22 won't -- wouldn't the economics be there?

23 A No, sir, the economics would not be
24 there.

25 Q How much gas are you producing today from

1 the expansion area?

2 A Well, it varies from time to time; about
3 4-or-5,000,000.

4 Q 4-or-5,000,000 currently?

5 A Yes, sir. The rough figures that I had
6 in mind, Mr. Chairman, is that we'd pick up about half the
7 gas, 4-or-5,000,000 cubic feet a day from the down dip re-
8 covery wells. Then we would make up the cycling wells with
9 -- and with this capacity, 15,000,000 feet a day or more,
10 then the cycling wells could pick up the difference, what-
11 ever it takes to balance out the load, and we would want to
12 first take the gas from down dip wells because in time, as
13 we inject, or re-inject the residue, then that dry gas, al-
14 though we expect it to pick up liquids, is not going up as
15 much as is currently being produced from the wells.

16 This means that the cycling wells will
17 lean out and so in order to have a viable operation, we need
18 to treat all the gas.

19 Q Mr. Greer, do I understand that you're
20 currently producing under the current allowable, restricted
21 allowable, 4-to-5,000,000 cubic feet a day from the wells in
22 the expansion area?

23 A I'd like to go back and take a look and
24 see. Let's see, let's start with the F-7, it's a full al-
25 lowable. It will have 480,000 feet a day.

1 Then the section to the north of that
2 480, that would be about a million.

3 N-31 a quarter, that's a million and a
4 quarter.

5 The F-18, about a quarter of a million,
6 that's a million and a half.

7 The F-19 will be allowed about a
8 quarter, that's 2-million.

9 The F-30, I believe is about, let's see,
10 close to a half million.

11 Then starting back up from the bottom,
12 the G-5, that will be a half a million, that's up to 3.

13 The B-32 would have another, that would
14 be 3-1/2.

15 The B-29, about 4-million.

16 Q Yes, sir, about 4-million. Now, how much
17 increase are you going to get if you're able to produce your
18 expansion area wells at current restricted rates as far as
19 oil is concerned but not with reference to gas?

20 A Let's see, let's see if I understand your
21 question.

22 Q All right, how much gas increase really
23 are you going to get from this application?

24 A Oh, it may vary from time to time.
25 Initially, if we start out as I just indicated, about half

1 the gas from -- from the down dip recovery wells and half
2 from the others, we will go 4-million to 5-million, perhaps
3 a million feet a day.

4 Q So you're saying the economics of this
5 gas plant project are hinging on 1-million cubic feet a day
6 coming from these pressure expansion area wells.

7 A No, sir. What I said is if we don't get
8 the expansion we probably will not have a gasoline plant or
9 a pressure maintenance project.

10 Q Well, I know you say that, but the econo-
11 mics are there even without the increased gas production.

12 A No, sir, not the way I analyze it, sir.

13 Q Now, let me ask you with reference to the
14 schematic fracture system. I believe it's also under the
15 Intro, is that correct?

16 A I show it under exhibit -- under Section
17 A.

18 Q Oh, do you? I'm sorry, excuse me, you're
19 right. Thank you. That's the one that has the --

20 A Yes, sir.

21 Q Let's see if I understand what your con-
22 cept of the reservoir is.

23 This applies to the Gavilan as well as it
24 does to West Puerto Chiquito, is that right?

25 A Well, we have good tests on wells in West

1 Puerto Chiquito and good information. We have that good in-
2 formation all the way up to the boundary of Gavilan.

3 I've had a lot of concern about the tests
4 that were taken in the Gavilan, that they've been conducted
5 as carefully as they should be and I can't say that the same
6 thing exactly applies, but I do know that in general there
7 is a high capacity fracture system in the Gavilan and I can
8 tell you why I know that.

9 Q That's all right. I'm just asking you
10 what your concept of the reservoir is and does this apply
11 both to Gavilan and to West Puerto Chiquito.

12 A More to West Puerto Chiquito than to
13 Gavilan.

14 Q In Gavilan, you say you think there are
15 the high -- high capacity fractures there, is that correct?

16 A Yes, sir, there are some; may not be as
17 much as in West Puerto Chiquito but there are some.

18 Q And I believe you also said that actually
19 in what you call the tight blocks you can complete a well
20 and it won't drain that tight block as well as a good well
21 two or three miles away. Is that --

22 A That's correct.

23 Q Let's see, for instance, if there's a
24 well over here and it's a poor oil well and it's in Gavilan,
25 and let's say that it -- there's another section here and

1 then here's the current pool boundary here, and over in the
2 next section down here let's say there's a good oil well,
3 one of these good Greer oil wells down there and it's in one
4 of these high fracture systems.

5 A Yes, sir, there's just not enough of them
6 to do it all.

7 Q I understand. I think that's what this
8 fight's been about for the last several years, is that
9 there's some good oil wells over in Gavilan that you want to
10 be -- make good Greer oil wells.

11 Let me -- and what you're saying is that
12 this -- this tight well in this tight block might have some
13 good fracture systems that that well is not even in
14 connection with and that fracture system may come down where
15 it's in good communication with the Greer oil well.

16 A Yes, sir.

17 Q And so if I were to measure pressure in
18 this poor well up here of 750 pounds, that's not the
19 pressure of that section there. The pressure may be 1200
20 pounds out there in that high fracture system but it's not
21 connected to it, isn't that right?

22 A That's a possibility, but we have found
23 there are no instances of that in West Puerto Chiquito,
24 which, of course, as I understand that's the hearing that
25 we've got here today, is West Puerto Chiquito.

1 Q Well, I just want to understand what your
2 wells are capable of doing in this area here.

3 Are you saying that pressure wouldn't be
4 higher out here in this high fracture system?

5 A What we found in West Puerto Chiquito,
6 Mr. Chairman, is that the pressure in that tight block is
7 going to be about the same as the pressure in the high
8 capacity fracture system.

9 The rates of diffusion that we -- we came
10 up with as a consequence of the individual well tests and
11 the interference tests show that we're looking at something
12 like a matter of days for the pressures to equalize.

13 If there was a situation such as is shown
14 on the board here now, it would be different from what we
15 have found in West Puerto Chiquito.

16 Q Okay, when you -- when you say tight
17 blocks, then, are you saying that that pressure in the -- in
18 the tight well is going to be 1200 pounds and it reflects
19 the pressure in the entire section?

20 A Yes, sir, if you get a good pressure on
21 that well, that's what it will show.

22 Q What do you mean by a good pressure, Mr.
23 Greer?

24 A Well, it's accurately taken.

25 Q Well, you can take an accurate pressure

1 in one day, can't you?

2 A Okay, a pressure that accurately reflects
3 the pressure in the block.

4 Q Well, you mean if it's allowed to build
5 up long enough that that tight well would reflect the
6 pressure of the block.

7 A Exactly.

8 Q And are you saying that that is done in a
9 day or two over here in West Puerto Chiquito?

10 A Yes, sir, we've found, oh, three or four
11 days -- in three or four days we've found equalization in
12 most instances.

13 Q So --

14 A Every one of the permeability plateaus
15 that I mentioned earlier.

16 Q So over here in the West Puerto Chiquito
17 this high fracture system is not going reflect a big
18 pressure differential between any well drilled on that
19 section at any point.

20 A I think that's right.

21 Q But it is possible in the Gavilan where
22 you have tight -- if there are tight sections over there,
23 where you can actually have a pressure that's different in
24 the well on a section than in these high pressure -- excuse
25 me, high -- big fracs, isn't that right?

1 A Well, our Gavilan Engineering Committee,
2 Mr. Chairman, when we were studying it we found two or three
3 wells, I think the Mallon Johnson Well was one, that showed
4 roughly 100 pounds higher pressure than the other wells.
5 The consensus, I believe, of the members, at least it was my
6 opinion, that that well was in a little tighter section than
7 the others.

8 By and large, though, they came fairly
9 close. The closer they are, the wells are to West Puerto
10 Chiquito, apparently a better fracture system; the farther
11 they get away from it, the more it appears to deviate.

12 MR. DOUGLASS: Could we have --
13 could we offere Mallon Exhibit One, the letter dated March
14 12th, 1988?

15 If we need to stamp it, I'm not
16 familiar with your procedure here.

17 MR. LEMAY: Without objection,
18 Mallon's Exhibit Number One will be admitted into evidence.

19 Q Mr. Greer, do you think that you've had
20 -- or have cycled all the gas in the pressure maintenance
21 area or is there still additional gas reserves to be
22 produced there that hasn't been injected?

23 A Oh, yes. Yes. There's a substantial gas
24 yet to be -- come out of solution.

25 Q Do you have an estimate, approximately
you've got in the -- in the pressure maintenance area?

1 A Well, we can make a minimum estimate.

2 Q That will be fine.

3 A In the gas cap area generally, I'm going
4 to refer now to gas cap and cycling wells.

5 Q I call it the pressure maintenance area
6 now and the other the expansion area now.

7 A Okay, the existing pressure maintenance
8 area, I'll have to kind of guess but it's something like, I
9 think, maybe 8-million barrels, in that area and a formation
10 volume factor of 1.3 would put you up to about 11 or 12-
11 million barrels (unclear). For the oil in the rest of the
12 resevoir, oh, we might get up to 12-15 million barrels of
13 the space that we know hasn't been voided by oil and so
14 that's roughly about 100 atmospheres, so that would be 3-
15 million barrels, about 100-million feet. 100 atmospheres
16 would be something like, oh, about 10 BCF, and 10 BCF is
17 where we'd run, say, 10-million feet a day through the gaso-
18 line plant, would be -- would be about 3.6 BCF a year. We
19 might have three years of -- of plant volume in the gas cap,
20 as we would feel now is a secure volume. Of course, that's
21 not enough to support the plant.

22 Q Well, I thought, Mr. Greer, that you've
23 already injected 11.1 BCF.

24 A We recycled a lot of that.

25 Q Well, that's what I asked you to begin

1 with, whether you had thought you had cycled the volume of
2 gas that was there.

3 A Oh, I'm sorry, sir, I just didn't under-
4 stand your question.

5 Q Yes.

6 A Oh, yeah, I'm sure that we'd cycled some.
7 The C-34, we ran an experiment on it, you know, to -- to es-
8 timate the gravity drainage from the tight blocks (unclear).

9 Q Well, I thought you were calculating re-
10 maining gas that was in the oil that was in the well that was
11 in the -- in the injection area.

12 A No, I just counted a figure, a secure
13 figure that I feel that when we recommend a gasoline plant,
14 that we would be looking at three years of its cycling
15 course. That would be at 100 percent sweep efficiency. If
16 we don't have 100 percent sweep efficiency, why, the gas
17 will lean out quicker than that.

18 So there's no question, you know, that we
19 have to have additional gas to have a viable, economic pro-
20 ject at the plant.

21 Q How many volumes of gas do you think you
22 have cycled now out of 11.1?

23 A Oh, I'd just have to dig into it and see.
24 I doubt that we've cycled that amount.

25 We've cycled a substantial amount through

1 the C-34, some through L-27, and some through the E-10.
2 We'd just have to look at those figures and see.

3 Q You don't have an opinion on that?

4 A No, not without looking into it.

5 Q Did I also understand your testimony to
6 be that you found a directional permeability over in the
7 pressure maintenance area?

8 A That's my -- my belief. We have --

9 Q North and south.

10 A -- we have not really run any interfer-
11 ence test to show that but I think it's reasonable to as-
12 sume.

13 Q North and south directional permeability.

14 A Right. Yes.

15 Q That means the east and west permeability
16 you can see less than north and south.

17 A Yes, I believe that's true.

18 Q And I believe in the past you have shown
19 an area that you called today as the postulated low perme-
20 ability area in the eastern, excuse me, in the western part
21 of your overall unit. Is that correct?

22 A Yes, sir, but that's a carry-over from
23 two or three years ago when we first talked about it. More
24 than anything else, I think we were thinking that there
25 would be a separation between our unit and the Gavilan but

1 it didn't turn out.

2 Q In your booklet in the -- under Tab --
3 Exhibit One, Tab B, the benefits of pressure maintenance,
4 those will only be experienced by wells that are in effec-
5 tive communication with your pressure maintenance project,
6 isn't that correct?

7 A Yes, sir.

8 Q Under Tab C you've run some production
9 logs on a couple of wells that show where they're producing
10 from, is that correct?

11 A Yes, it is, and evidence of stratifica-
12 tion.

13 Q Evidence of stratification. Let me ask
14 you, is L-27 one of those logs?

15 A Yes, sir.

16 Q And I believe that you show there that
17 gas is coming out of the A zone and oil out of the B zone,
18 is that right?

19 A Yes, sir.

20 Q I notice on the -- on your exhibit there,
21 you show oil plus gas in the A zone but only gas is coming
22 out?

23 A Yes, sir. The column on the left that
24 shows oil plus gas, is -- that information comes from the
25 densitometer and all it can tell is the density of the

1 fluids, and so it can distinguish, for instance, water in
2 the bottom, oil up higher, and the oil plus gas, and so the
3 -- where it shows oil plus gas, why, it's the gas coming out
4 of the A zone and the oil coming out of the B zone that
5 gives it the total of oil plus gas.

6 Q Was this well fraced when it was initial-
7 ly completed?

8 A Yes, sir.

9 Q Big frac?

10 A I'd have to look at the records. That
11 was pretty early; in those days I think we were fracing with
12 2-to-4000 barrels.

13 Q Are there areas where the A and the B
14 zone are in natural communication?

15 A Oh, yes, I think that all three zones,
16 that there is no question they're in communication.

17 Q Natural, vertical communication.

18 A Natural, vertical communication. I think
19 not frequently but enough to -- to give a lot of pressure
20 equalization.

21 Q If this were -- if the L-27, if it were
22 producing from a reservoir, you're normally supposed to find
23 water on the bottom, then oil, and then gas, is that cor-
24 rect?

25 A Well, we never found any oil in this -- I

1 mean water in this formation.

2 Q Well, I see some water right here on
3 this. Is that wrong?

4 A Yes, sir, but that's not water in the
5 sense that it was indigenous to the formation. I have an
6 idea that was either condensation or (unclear) coming out of
7 the gas, maybe. You know, over a -- well, close to fifteen
8 years, just a very small amount of water would find its way
9 here.

10 Q So in a reservoir you'd expect to find
11 oil and then gas above it, is that correct?

12 A Well, we found in this reservoir with
13 these stratified zones, the upper zones are more gassy than
14 the lower zones but not -- not oil-free. They're -- this
15 well, for instance, that you're looking at, the L-27,
16 produced with an initial gas/oil ratio right at solution
17 ratio and so it was known that initially the two zones that
18 are producing there now produced oil and produced oil with-
19 out any free gas.

20 Q What I'm saying is, if this AB zone was
21 a common reservoir you would, after this long period of
22 time, you would expect to find oil on the bottom and gas on
23 the top.

24 A If we have gravity segregation;
25 gravitation segregation.

1 Q If it's in a common reservoir nature
2 takes care of gravity, does't it?

3 A Over -- over geologic time, yes. At the
4 time we produced this reservoir that would not happen.

5 Q And you've got structural height on -- in
6 the pressure maintenance area you're dealing with here that
7 lends itself to gravity drainage, don't you?

8 A Yes, sir, and that's an asset.

9 Q Is it your testimony that the gas in this
10 L-27 is gas from injection where it's gassed out this A zone
11 only and not the B zone?

12 A That's my opinion, yes, sir.

13 Q And I believe what you're telling this
14 Commission is that when you have that kind of situation you
15 need to be aware of it in order to properly complete and
16 produce your well.

17 A Well, we recognized then when we first
18 started operating the area, that that would be a problem if
19 you opened all zones up at once, and so you make a judgment
20 decision as to how is the best way to proceed.

21 Q Well, you opened the A and B in this well
22 at once, didn't you?

23 A Yes. We tried first the C zone and were
24 unsuccessful in establishing production so then we came back
25 to the A and B zones.

1 Q Now, the B-32 Well is another well that
2 you've run a production log on, is that correct?

3 A Yes, sir, that's -- we ran two in 1986
4 and two in 1987; the B-32 and L-27 were run in 1987.

5 Q Is this the only -- you said you ran two.
6 Did you run the same wells both years or --

7 A No, sir. We ran -- in 1986 we tested the
8 N-31 and the F-30 and we reported those tests in the hearing
9 last April, Case 9113.

10 Q And then you ran the L-27 and the B-32.

11 A This year -- or in 1987.

12 I believe you'll find, sir, on our AFE
13 that we sent out for approval to test these wells that one
14 of our objectives was to determine if these zones were stra-
15 tified as we had thought they were in these down dip recov-
16 ery wells so that we would be prepared when gas broke
17 through as to how to handle it. We needed to know if there
18 was a situation in which we might, number one, seal off a
19 zone, or number two, it was best to just pick up the gas,
20 provide the extra horsepower and put it back in the ground.

21 Q Let me ask you on B-32, you got gas only
22 in the A and B zone in that well, is that correct?

23 A Yes, sir, for all practical purposes.
24 There might be a little bit of oil there to the A and B
25 zones but it is primarily gas.

1 Q Are you saying that the B-32 has been
2 gassed out in the A and B zones from your injection?

3 A That's what I would -- that would be my
4 assessment.

5 Q Even though the C-34, which is a nearby
6 well, it's about a mile or two miles to the west -- to the
7 east. I believe it's two miles, the C-34 is two miles to
8 the east.

9 A Yes, sir.

10 Q And it's produced over 4 BCF of gas,
11 hasn't it?

12 A Yes.

13 Q And you would say that this B-32 because
14 it's gassed out has this good pressure communication that
15 exists in the West Puerto Chiquito that we were talking
16 about earlier.

17 A Well, it has communication, yes, sir. It
18 doesn't take as good a communication as would be normal for
19 gas as it does for oil.

20 Q Yes. This is a good oil well, this B-32.

21 A Yes, sir, out of the C zone.

22 Q But it does have that good pressure com-
23 munication that we've been talking about in West Puerto Chi-
24 quito, nor these good --

25 A It has -- it has communication. We need

1 to make a distinction between the pressure and the pressure
2 maintenance project opened up pressure in the expansion
3 area; it can't hold up pressure there because Gavilan pulls
4 it down, but it can move gas and oil from the existing
5 project area into the expansion area and once it gets there,
6 then it's up for grabs; one way or another, Gavilan gets it.

7 Q Well, what you're saying then on this
8 well here is that the gas is communicating -- in a good com-
9 munication in this AB gas zone because you've already gassed
10 out the AB zone in this B-32, is that --

11 A That's my opinion.

12 Q The -- have you looked at the bottom hole
13 pressures that were taken in November and February in this
14 -- in this pressure expansion area?

15 A Yes, sir.

16 Q Did you find that the pressures in your
17 -- is one of the wells that you -- that was measured on both
18 the November and February surveys, the B-32 Well?

19 A Yes, sir.

20 Q Did you find that its bottom hole pres-
21 sure was approximately 450 pounds lower than the C-34 Well?

22 A Yes, sir.

23 Q And the C-34 Well is completed in the AB?

24 A Yes, sir, It's like 400 pounds less than
25 the pressures (not clearly understood.)

1 Q Wouldn't that indicate to you separation
2 between this good C-34 Well and this good B-32 Well when
3 you've got within a 2-mile distance 450 pounds of bottom
4 hole pressure difference?

5 A Well, sir, I would refer you to Section
6 G, the next to the last plat and note there that from the C-
7 34 back up to the injection area, that there is a 500 pound
8 differential, and we know that for twenty years there's been
9 communication across there. It's pretty difficult to say
10 just on the strength of the pressure differences whether
11 there is communication. That's why we prepared the exhibits
12 we did, to show the different ways that we've analyzed it.

13 Q Well, let me -- you referred me to that
14 exhibit. You're saying that 450 pounds difference, accurate
15 pressure, two miles apart do not indicate to you that there
16 is separation between those two pressures, as far as the
17 resevoir is concerned.

18 A Obviously the communication is not as
19 good in this area as in areas where they're equalized; it
20 doesn't mean that there is no communication.

21 Q I thought you told me, though, earlier,
22 that the AB zone had gassed out in the B-32 Well from the
23 injection that you carried on four to six miles away.

24 A Okay.

25 Q That would indicate that for the AB zone

1 to gas out there would have to be good communication in the
2 gas zone, isn't that what you told me?

3 A I believe I said it takes less permeabil-
4 ity in the gas zone than it does in the oil zone and once
5 you get into the lower pressure area, then a small volume of
6 gas expands to (not clearly understood.)

7 Q Let me ask you about your colored map,
8 since you referred to it. The pressures that you show in
9 the orange there are in what you call the gas cap or the
10 injection area, is that correct?

11 A In the gas cap area.

12 Q Isn't it a fact that the 1678 pressure is
13 not a shut-in pressure, it's just, apparently just measured
14 it on the day of shut-in?

15 A I believe it was shut-in about 8 days.

16 Q Well, is that B-18 -- is that the B-18
17 injection well that says 1678?

18 A I'll have to look at my statistics to see
19 what it is.

20 Q Well, I don't know whether you'd need to
21 look at the statistics to tell me whether B-18 is the well
22 with 1678, there.

23 A Oh, yeah, that 1678. I wanted to look
24 at my statistics to see if it was one of the wells that --

25 Q Well, I'm just -- I'm reading from the

1 blue sheet now, above it, that information above it there.

2 It says B-18 in Township 25 North, Range
3 1 East. Is that the same well we're talking about?

4 A It says the pressures for these wells was
5 measured November 19th. Okay, so that would be a 3-day
6 shut-on pressure on that one.

7 I believe, it's my recollection that the
8 November pressure survey --

9 Q Starting on November the 16th it was
10 shut-in?

11 A 16th to the 19th.

12 Q I think I recall that, too.

13 A Yes, sir.

14 Q I talked -- was reading in the upper part
15 up there it says November the 19th. You extended it on, you
16 said, three days, is that correct?

17 A Yes, sir, that well was shut-in -- that's
18 a 3-day pressure.

19 These others in the pink, the brown, and
20 the yellow, we had 8-day pressures on them.

21 Q And the 1726 pressure you show, you'd ac-
22 tually put some gas injection in during the period of time
23 that it was shut in and when you measured the pressure, is
24 that right?

25 A I believe, let's see, that's the November

1 pressure. I'd have to look the records up. I think it re-
2 ceived injection in that -- well, probably about the same
3 time.

4 Q Well, I'm sorry, I --

5 A Is that the other one that I say was
6 shut-in and measured on the 19th?

7 Q No, I think I confused you. I believe
8 the B-18 you actually injected some gas in, also, is that
9 right?

10 A Well, my recollection is that before the
11 shut-in period of November 16th that we were marketing most
12 of the gas and we were injecting a small volume in the B-18,
13 but I'm sure that the -- all injection wells and all produc-
14 ing wells were shut-in before the pressure survey.

15 Q Is the bottom hole pressure going to be
16 greater or less if you have a surface pressure of 1678?

17 A The bottom hole pressure is greater.

18 Q Do you know what the original pressure
19 was in the B-18 Well to the reservoir?

20 A I'd have to estimate approximately. Our
21 initial pressure, as I recall, was about 1600 pounds.

22 Q Well, doesn't that, excuse me, doesn't
23 that reflect then that what you're doing in these two injec-
24 tion wells here, where you got pressures of 1726 and 1678,
25 that you've actually created a greater pressure at the base

1 of the injection surface that you had originally in the
2 reservoir?

3 A Oh, yes, sir.

4 Q And what keeps the reservoir from fracing
5 with that gas going --

6 A It's -- it's considerably below a fracing
7 pressure. We calculated the fracing pressure -- we bought
8 one compressor that we could use for injecting at fracing
9 pressure if we needed to and I think it was about, we
10 figured, 3000 to 3500 pounds surface pressure would be re-
11 quired to reach fracing pressure. So we -- we stay like
12 1000 pounds below that.

13 Q For these up-dip injection wells, do you
14 find them generally to be a little tighter than your produc-
15 ing wells?

16 A Yes, sir. Yes, sir.

17 Q And you're not suggesting that 1678 or
18 the 1726 really represents an average reservoir pressure for
19 what the pressure would be in that area, are you?

20 A I think I made a note there that it is
21 very difficult to tell the weighted average pressure in the
22 gas cap because of the large amount of interference effect
23 where we have no injection and shutting the wells in.

24 Q Do I also read your colored map to show
25 that, for instance, in the yellow and the brown areas, those

1 pressures essentially are very close together?

2 A Oh, yes, sir.

3 Q You indicate good communication through
4 that pressure expansion area.

5 A Yes, sir.

6 Q And then your green pressures, they ap-
7 pear to be relatively close together, is that correct?

8 A Yes, sir, that's one of the permeability
9 plateaus I mentioned.

10 Q Indicating good pressure communication
11 through that area.

12 A Yes, sir.

13 Q And do I see that in the red area here
14 you only have one pressure and that's the G-5?

15 A Yes, sir, that's the only one I had
16 available.

17 Are you in the black book now?

18 Q No, I think I'm in the same one, aren't
19 I, Exhibit One?

20 You mention that you made some
21 calculations that looked like you had overinjected. Do you
22 recall that?

23 A Yes, sir.

24 Q Do you remember that tab?

25 A Perhaps I can help you find it. Yes,

1 sir, Tab F.

2 A The second page of Tab F, there is a
3 tabulation there, is that correct?

4 A Yes, sir.

5 Q I'm not sure I understand, it says test
6 period July 1987 to November 1987.

7 A Yes, sir.

8 Q And it says, withdrawals for test period
9 M, is that thousands of reservoir barrels --

10 A Yes, sir.

11 Q -- a day?

12 A Yes, sir, that's what I mean by that M.

13 Q That means that there were 515,000 reser-
14 voir barrels withdrawn per day over that July to November,
15 '87 period.

16 A Yes, sir.

17 Q And then the injection for that period of
18 time you say is 954,000 reservoir barrels, is that right?

19 A Yes, sir.

20 Q And then the injection less withdrawals
21 is 490 -- 439,000 barrels.

22 A Yes, sir.

23 Q Reservoir barrels.

24 A Yes, sir.

25 Q And it says test days, 135.

1 A Yes, sir.

2 Q And then it says average rate of overin-
3 jection in the thousands of reservoir barrels a day, which
4 is the same measure as above, and it's 3300.

5 A Yes, it would be 3.3 M barrels, or 3300.

6 Q Well, I don't understand, if there's --
7 if there's only been 954,000 barrels a day injected, how
8 could 3.3-million reservoir barrels be the average rate of
9 overinjection?

10 A It's only 3300 barrels.

11 Q Well, that's not what it says. It says
12 3300 thousand reservoir barrels.

13 A Oh, I'm sorry, that's a -- that's a mis-
14 take.

15 Q Should it just be 3300 barrels?

16 A Yes, sir. That's in the clerical. I
17 didn't check that for typographical errors.

18 Q And then during the test period November,
19 '87 to February, '88, there's 1900 barrels overinjection?

20 A Yes, sir, essentially.

21 Q Did you find that the reservoir pressure
22 in the pressure maintenance area increased between November
23 of '87 and February of '88?

24 A No, sir, I believe when we reviewed that
25 this morning what I said was that the pressure dropped prob-

1 ably both times, from July to November and November to Feb-
2 ruary, and then we looked at the overall from July to Feb-
3 ruary as being more definitive of the total pressure drop.

4 Q How about your measured bottom hole pres-
5 sure? Did it show an increase or decrease between November
6 of '87 and February of '88 in your pressure maintenance
7 area?

8 A I'd have to look that up. I don't --

9 Q Well, subject to check, according to the
10 information we have your L-27 and your E-10 had pressures of
11 1389 and 1391 in November of '87.

12 A Yes, sir, they were about the same.

13 Q And then in February of '87 -- '88, in
14 those same two wells the pressure was 1387 in the L-27,
15 which is about the same.

16 A Yes, sir.

17 Q And it was 1403 in the E-10, or about 12
18 pounds greater.

19 A Yes, sir.

20 Q When you overinject do you expect to get
21 some pressure increase?

22 A Well, perhaps whoever is involved in the
23 pressure survey will recall, we decided to - to estimate the
24 pressures of those two wells in February, and the L-27 -- or
25 the E-10 in November, by taking (unclear) surface pressure

1 and estimating the bottom hole pressure.

2 You'd think, of course, those would have
3 been within 10 or 15 pounds but I wouldn't want to guess
4 that they would be any closer than that.

5 There are two other things to consider.
6 The L-27, is one of the closest wells to the C-5 injection
7 well and if we'll look at the pink sheets following, about
8 the second or third sheet following that schedule that
9 you're looking at, we'll see that the C-5 lost 154 pounds in
10 February and so it's not very far from the C-2 but the
11 weighted average pressure would be far from the L-27, but
12 the weighted average pressure would be a pressure change and
13 again, as I stated earlier, it's very difficult to tell.

14 As far as the E-10 is concerned, the E-10
15 was pulled pretty hard in November just prior to shut-in and
16 was produced only a small amount between November and
17 February.

18 So we have to take all these things into
19 account in order to try to arrive at what's happening in the
20 reservoir, and the best way, I felt, was to look from July
21 to February, the entire period, and that's shown on the
22 green sheet and (not clearly understood) overall to the gas
23 cap area lost pressure.

24 Q Well, the only measured bottom hole
25 pressure you have in the -- in July, the -- strike that,

1 because, first of all, you haven't given Mallon all the
2 bottom hole pressure data you have, have you?

3 A Well, we've given them all that we've
4 used for this hearing.

5 Q I understand, but that's not all you
6 have, is it?

7 A Well, no.

8 Q In fact, even for this hearing, for
9 instance, on some of the graphs you gave us you left out
10 pressures in between, didn't you?

11 A If you'll refer to what graphs you're
12 talking about, I'll be able to tell you.

13 Q Yeah. Like on the COU-34.

14 A Okay.

15 Q You gave us 1, 2, 3, 4, 5, 6, 7, 8, 9,
16 10, 11, 12, 13 periods of bottom hole pressure, is that
17 right? I have a list here you can use.

18 A Okay. Let's see, I asked my secretary to
19 make copies of everything that we had on our graphs.

20 MR. DOUGLASS: I'd like to have
21 that identified as Exhibit Two, a copy of a printout of the
22 bottom hole pressure survey given to Mallon, March 9, 1988.

23 Q Is that a list of the pressures that you
24 supplied?

25 A I believe that's the list, yes, sir.

1 Q Well, I'm asking you on the CU -- COU C-
2 34, that's not all the bottom hole pressures you've measured
3 from June 30th to November the 21st, is it?

4 A Well, it should be. It is our intention
5 that that would be.

6 Q Is that --

7 A Yes, sir, because there -- looking at the
8 dashed lines between the pressure surveys?

9 Q Beg pardon?

10 A I'm looking at the pressure plat on this
11 C-34 under Section J, the third -- it was my instructions to
12 the person preparing the pressure surveys to be sure that
13 every one that is being used here was copied for you.

14 Q Well, I understood that. Now, looking at
15 that graph, were there any pressure surveys made in between
16 these points that you've not supplied us?

17 A We tried to take some. Now, July, I
18 think you'll find some plats in July.

19 Q Right.

20 A August, and in September, the early part
21 of September. That's when we were having problems with the
22 batteries. The supplier, manufacturer, of the bottom hole
23 pressure equipment somehow or other got a supply of bad bat-
24 teries, and we didnt' know what the problem was, just that
25 we got failed runs. We would run them down in the hole,

1 come back out with it, and we had no information.

2 We had earlier, when we first started
3 using these GRC instruments, found that if -- if the battery
4 -- it's a battery pack is what it is, and it's got, I think,
5 six cells C size cells, and altogether they've got 1-1/2
6 volts apiece, gives you about 9 volts.

7 We had found in the first part of (not
8 clearly understood) in 1986 that we needed to check the
9 overall voltage of this gravity pack and when it was less
10 than 9 volts, why we found that we would get bad runs, and
11 so in the -- from that time on we checked every, every
12 battery pack before we ran it and they all checked out fine.

13 And so we had no idea until we finally
14 had a -- testing every possible way that we could, we found
15 that an individual cell within a 6-cell battery pack, if it
16 was weak, that that would cause a failure, and so in about
17 mid-September, then, we adopted the system of checking the
18 -- each individual cell.

19 Mr. Chairman, we had to devise in our own
20 way. We think that the manufacturer could tell us how to be
21 sure that we were going to have batteries that would
22 properly operate their equipment, but they didn't. We had
23 to sit down and figure out how to put a load on each of
24 these little 1-1/2 volt cells, test it, we tested for six
25 minutes, then we'd take about one percent of the cell's

1 total ampere hours out of it and then if it does show sub-
2 stantial drop in voltage or in temperature, we found a bad
3 cell would get so hot you couldn't hold it in your hand for
4 the six minutes.

5 So, we just had to do that and the result
6 was that we had to discard about half of the battery packs
7 that we bought.

8 We have since that time worked out an ar-
9 rangement where we buy ourselves directly from the manufac-
10 turer, test them, then have them put in the battery pack.

11 And so here during July, August and Sep-
12 tember we had battery failures, I remember that. I don't
13 know about the one in October, that dashed line.

14 Q Would you say the pressures from these
15 failures were inaccurate?

16 A (Unclear) not accurate. They just didn't
17 record. (Unclear) Then the man takes them out to the field,
18 runs them in the lubricator, hold them there for fifteen
19 minutes, or so, gets a check on a lubricated pressure,
20 writes that down, and goes ahead and runs the bomb in the
21 hole.

22 Then we pull the bomb, I'll say, a week
23 later. We don't know whether we get a run or not until that
24 bomb gets out of the hole and what we found was the bomb had
25 registered every thirty minutes like it's supposed to, reg-

1 istering atmospheric pressures and it might only run for two
2 hours. It would fail, completely fail, before a man ever
3 got back out to the field, and yet there was no way, we had
4 no way of telling that until after we'd run it in the
5 ground, left it there for a week, pulled it out and brought
6 it back and we'd take it out and the printout shows pres-
7 sures for two or there hours and then it's just blank.

8 Q Did you have any bottom hole pressures on
9 this C-34 well prior to July, excuse me, June 30th of 1987?

10 A I think we had some, oh, two or three
11 scattered ones when we treated that well.

12 Q We have a -- we have a pressure you pro-
13 vided us that says in December of 1970, that that pressure
14 was about 1555 in that well.

15 A In 1970?

16 Q Yes, sir. Do you have any since 1970 to
17 1987?

18 A Oh, I doubt it.

19 Q What -- over in your injection area, what
20 seals off the north end and the south end of the gas cap
21 area that you've described?

22 A Well, to -- to the north there's not much
23 production up there. The -- we have plans, and I hope that
24 sometime we do have production up there, but unless we
25 figure something out, there's no -- hardly any place for the

1 gas to go, so --

2 Q Is this -- is there some of this
3 formation production farther to the north than other places?

4 A Yes, sir, but not very much.

5 Q How about to the south? Is there
6 production to the south in this area?

7 A There's two -- two wells beginning to be
8 drilled south of us. We have our fingers crossed it won't
9 be a south Gavilan.

10 Q But right now you don't know of any
11 separation between the north area that's producing a little
12 bit and the south area, which you now say is producing a
13 little bit.

14 A Well, I feel like the gas is not
15 escaping, if that's your point. There's no place for it to
16 go.

17 Q Well. Let me turn you to Tab E. I
18 believe you skipped it going to a later one.

19 A Tab E, you want?

20 Q Tab E, yeah.

21 A All right, sir.

22 Q The green sheet, you show three plates
23 there, is that right?

24 A Yes, sir.

25 Q In the bottom plate, you show a dimen-

1 sion for the oil to get up to another area up there, is that
2 correct?

3 A Yes, sir.

4 Q Well, if -- if that -- that same connec-
5 tion could exist in Plate I and Plate II, also,
6 couldn't it?

7 A Oh, yes, sir. I just took them in se-
8 quence in order to make it a little bit simpler to try to
9 make my point.

10 Q And do I understand in this section that
11 what you're -- what you're talking about here is that you're
12 saying that the E-6 Well, since its oil production didn't go
13 up and its gas/oil ratio went down, that was caused by some
14 other well rather than the E-6, is that right?

15 A Yes, sir.

16 Q And you say that's bad, that the E-6
17 gas/oil ratio going down is bad.

18 A Yes, sir.

19 Q All right, so as I understand your theory
20 in the Gavilan, if the gas/oil ratios go up, that's bad, if
21 it's in the Gavilan wells, but if it the gas/oil ratio goes
22 down in your well, that's good, that's bad also.

23 A It's bad when the gas moves out of our
24 area over to another one. It's bad when gas depletes a
25 stratified zone and our oil migrates up into it, and I think

1 that's what's happening.

2 Q Let me look with you on the third sheet.
3 I think in that section there's two sets of green sheets but
4 the one I want, it says page 3.

5 A All right, sir.

6 Q Do you see that one? Do I see on the E-6
7 Well that in June, when it produced 7128 barrels it has a
8 ratio of 4376?

9 A Yes, sir.

10 Q And when the production went up by about
11 50 percent the gas/oil ratio went down from 4376 to 2509.

12 A No, sir, the gas volume went down first
13 and then (unclear) the oil.

14 MR. LEMAY: Excuse me, Mr.
15 Douglass, where are you?

16 MR. DOUGLASS: I'm sorry, on
17 this page right here, Page 3 under Tab F -- D.

18 MR. PEARCE: The second set of
19 green sheets behind Tab E, Mr. Chairman.

20 MR. DOUGLASS: Tab E, two sets
21 of green sheets there, Tab E.

22 Right there, there you are.

23 MR. LEMAY: Thank you.

24 MR. DOUGLASS: I apologize.

25 MR. LEMAY: That's all right.

1 A Uh-huh.

2 Q The gas production for July is slightly
3 higher than that, is that correct?

4 A Right.

5 Q And then the gas production in August
6 goes down about 4-million, is tht right?

7 A Yes, sir.

8 Q Now, there's a gas/oil ratio. Did it go
9 down from June to August when the production went up 50
10 percent?

11 A As I said before, sir, the ga/oil ratio
12 went down first and then we raised the oil rate in the last
13 part of August. That's when the oil rate went up.

14 The first part of August we show here.
15 the oil rate is still 330 (unclaar) barrels a day.

16 It was the last approximately three weeks
17 in August that we raised the oil rate.

18 Q On the N-31 the April production is 1967
19 barrels?

20 A Yes.

21 Q With a gas/oil ratio of 2710?

22 A Okay.

23 Q Is the oil production in August 5912, or
24 about three times the April rate?

25 A Yes. The same thing happened to the N-31

1 that happened to E-6.

2 Q Yes, sir.

3 A The gas column went down first. Then we
4 changed the producing equipment to pick up the oil rate in
5 the last half of August.

6 Q Does the gas/oil ratio from April go from
7 2710 down to 1346?

8 A Yes, sir.

9 Q On the Tapacitos 4 Well, May production,
10 4548 with a gas/oil ratio of 1003?

11 A Yes, sir.

12 Q August production rate gone down slight-
13 ly, gone down about 300 barrels a day and the gas/oil ratio
14 went from 1000 cubic feet per barrel down to 709, is that
15 correct?

16 A Well, it looks to me like the oil rate,
17 if anything, dropped off a little bit on Tapacitos 4.

18 Q Well, that's what I said, it went down
19 about -- it went down about 300 barrels and the gas/oil
20 ratio went down 1000 to 700, right?

21 A Right, so it increased the production but
22 I did not affect its gas/oil ratio because it had increased.

23 Q Well, if you look at June, the last month
24 it produced 24 days, it produced 3320 barrels at 918 ratio,
25 didn't it?

1 A Yes, sir, only 24 days, it's a little
2 hard to compare that.

3 Q Well, I don't know what's hard about it.
4 The others are dated -- were those 31-day rates on the rest
5 of them?

6 A (Unclear).

7 Q Those 31? The gas/oil ratio, though,
8 went down as production went up between June and July and
9 August, is that correct?

10 A No, sir, the whole production stated
11 about the same, 4548 in May, 4350 in July, 4240, it dropped
12 in August, so it's production, oil production did not go up.

13 Q Well, I asked you in June, the oil pro-
14 duction was 3320 --

15 A In June it only produced 24 days and you
16 can't really compare it by days.

17 Q The -- on the Howard 1-8, the April pro-
18 duction was 363 barrels, is that correct?

19 A Yes, sir.

20 Q And the gas/oil ratio was 6171?

21 A Yes, sir.

22 Q The August production was 8596?

23 A Yes, sir.

24 Q And its gas/oil ratio was 3233, is that
25 right?

1 A Yes, sir.

2 Q And the Howard 1-11, the April production
3 was 815 barrels that month, GOR of 7240, is that right?

4 A Yes, sir.

5 Q And its oil production in August was 5400
6 barrels and its gas/oil ratio was 5881?

7 A Yes, sir.

8 Q And your testimony is that when the --
9 when this shows the gas/oil ratio is going down with oil
10 production going up, that's bad, and when this shows that
11 gas/oil ratios are going up as production goes up, that's
12 bad.

13 A Well, that's not quite what I said.

14 Q Okay. Was there any reason in putting in
15 this blue sheet here on the Mallon wells, showing the uncor-
16 rected daily field readings and the corrected daily field
17 readings?

18 A Oh, yeah, They corrected each of our
19 daily rates by the final total volumes for the month. We
20 tried to do the same thing for Mallon's. We didn't have the
21 figures exactly for them but we used what information we had
22 that was reported by days and then by the month and we re-
23 cognize that that may not be an absolutely correct adjust-
24 ment for the Mallon wells; however, I think it's
25 insignificant insofar as this particular exhibit is con-

1 cerned that one uses the exact amount of gas production
2 (unclear).

3 Q You're not suggesting that Mallon was
4 doing anything improper as far as these figures --

5 A Oh, no, no. We have to make those cor-
6 rections on anybody's report.

7 Q Okay.

8 MR. DOUGLASS: Mr. Chairman, I
9 will continue on but any time anyone needs or wants a break,
10 I lose track of time sometimes.

11 MR. LEMAY: Continue on, Mr.
12 Douglass.

13 Q A number of times when you were referring
14 in your exhibit here to high allowables and high production
15 rates, were you referring to the production that occurred
16 under the normal statewide allowables that were applicable
17 to this field?

18 A I was referring to the high allowables
19 that the Commission set last -- last spring over the three
20 or four month period in the fall.

21 Q When you refer ot those high allowables
22 what you're really referring to is the normal statewide al-
23 lowables for those wells, isn't that correct?

24 A No, sir, that's a high allowable but the
25 normal allowable for this pool is what we're producing at

1 right now. That's what was set by the Commission last (un-
2 clear). The existing allowable is the allowable.

3 Q Well, the existing allowable is actually
4 a restricted allowable by virtue of an application that you
5 made to the Commission or a request you made to the Commis-
6 sion, you've reduced it below statewide allowables, is that
7 right?

8 A Well, it's the allowable that's in effect
9 and I believe the order that set the high allowable said
10 that would be a temporary allowable.

11 Q Well --

12 MR. LEMAY: I don't know if
13 there's much to be gained by arguing relative high, low. I
14 think the Commission knows what the allowables were and by
15 characterizing them as statewide, high, low, average, I don't
16 see any -- any -- where you're going on that subject.

17 MR. DOUGLASS: I just wanted to
18 find what allowables are --

19 MR. LEMAY: I think we under-
20 stand high and low and I think it's the same as your refer-
21 ence to statewide versus restricted; however you want to
22 characterize them, they're -- they're numbers assigned to
23 the wells and we know which ones they are.

24 MR. DOUGLASS: That's -- I
25 wanted to make sure what (not clearly understood.)

1 Q Did I understand that you changed some
2 equipment on your wells in order to produce at the test
3 rates that were set forth in the Commission's order?

4 A Yes, sir, that's correct.

5 Q Do you find that -- that it's important
6 to an operator to know what the allowable is going to be for
7 the field in order that he can set the necessary equipment
8 to produce that allowable?

9 A Well, yes.

10 Q Were you, by installation of this equip-
11 ment, able to produce the higher volume than you had pre-
12 viously?

13 A Yes, sir.

14 Q Referring to your surface pressures that
15 you've used, is it your testimony that surface pressures are
16 more accurate than measured bottom hole pressures?

17 A Under the circumstances of what we were
18 -- made a survey, and particularly where the formation dips
19 from -- from east to west, the only real significant area
20 that would come about for these particular wells that were
21 tested and have a gas column from the surface to the oil
22 pay, would be the density and the pressure difference that
23 would be a consequence of the fluids in the reservoir at
24 different structural positions, and moving from east to
25 west the structure drops to the west, and so if we made any

1 correction at all there, for that part of an analysis, why
2 then the -- the pressure gradient would be greater, and so
3 what -- what we're saying here is that the way we took the
4 pressures would show a minimum pressure gradient across this
5 area. And for the reasons stated, it would be more accurate
6 for pressure differences than the problems you get into
7 trying to get bottom hole pressures.

8 Q Well, has it been your usual experience
9 that bottom hole pressures are more accurate than surface
10 pressures?

11 A It depends on what you're trying to
12 determine.

13 Q If you're trying to determine the pres-
14 sure differential between an area would you normally find
15 the bottom hole pressures more accurate than the surface
16 measured pressures?

17 A Not where we're dealing with 15 to 20
18 pound pressure differences; not -- not the kind of surveys
19 there were conducted for these -- these surveys the Commis-
20 sion ordered.

21 You see, none of the wirelines are cali-
22 brated, the bombs weren't calibrated at the same equivalent
23 (sic); no hole deviation taken into account; no surface ele-
24 vation differences taken into account; the Amerada RKG-3
25 bombs that are typically used, we found that just the tem-

1 perature correction itself at different times that we've had
2 the bombs calibrated can be as much as 5 pounds difference.
3 We subtracted 7 pounds from each of our measurements, appro-
4 ximately, to take care of the -- the effect of the pressure
5 or temperature on the equipment, which is as accurate as we
6 could do. But other operators, how they corrected theirs,
7 we don't know.

8 But unless you have some kind of a stand-
9 ard, there's no way to take bottom hole pressures and expect
10 to get pressure differences within 15 to 20 pounds when the
11 bombs themselves are only supposed to be accurate within 8
12 or 10 pounds, and some not even that much.

13 Q Well, the bottom hole pressure bombs,
14 this Amerada gauge type are 1/4 of a pound per 1000 feet.

15 A They're 1/4 -- some of them are 1/4th of
16 1 percent and some of them are a 1/2 a percent. I believe
17 the ones that -- that were used here primarily were 1/2 a
18 percent.

19 One percent on a 3000 pound element, see,
20 is 30 pounds, and 1/4 percent is 8 pounds; that's the kind
21 that was used on one well, so there's no just no way to tell
22 pressure differences within a few pounds the way these sur-
23 veys were conducted.

24 Q Let me ask you, I think the next section
25 here is H, Did you have the -- this is a graph showing the

1 pressure maintenance effects on shut-in wells B-32 and B-29.

2 Is that is depicted?

3 A Yes, that's correct, the blue graphs.

4 Q That's the blue graphs?

5 A Yes, sir.

6 Q Well, now, let me ask, do I understand
7 that the bottom graph there is the rate of pressure increase
8 in September of '86 in the B-32?

9 A Yes, sir, that's the very bottom dashed
10 line.

11 Q That well was shut in for 12 days?

12 A Yes, sir.

13 Q And was -- during that period of time was
14 the rest of the field shut in?

15 A Yes, sir.

16 Q All of the rest of the field was shut in
17 for those 12 days?

18 A Well, in our area. Now I think I men-
19 tioned that a gas plant was down for a substantial period at
20 that time and a lot of Gavilan wells were down, so there was
21 a minimum of pressure disturbances in the reservoir in Sep-
22 tember of '86.

23 Q Well, was this pressure only 806 pounds,
24 then? That surface pressure was only 806 pounds?

25 A No, sir, the -- what I've shown on the

1 bottom scale is simply the rate the pressure increased, not
2 the pressure itself.

3 Q The pressure was substantially higher
4 than --

5 A Oh, yeah, it was around 1400 pounds.

6 Q And the -- you show in November of '87,
7 you show two lines of pressure increase --

8 A Yes.

9 Q -- for the B-32 and the B-29.

10 A Yes, sir.

11 Q And is that -- was that during the period
12 of time that the entire field was shut down?

13 A Yes, the entire field was shut down for
14 three days and we kept our wells shut in for another, oh, 8
15 or 9 days, as I recall.

16 Q Were there other wells producing from the
17 field during that period of time?

18 A Well, some of the wells in Gavilan were
19 producing and we had our wells shut in.

20 Q Isn't another explanation of the increase
21 in pressure in November of '87 that the B-32 and the B-29,
22 that they've drawn down to the point where they were build-
23 ing up from a pressure influx from an area west of what I've
24 called the barrier or west of the pressure maintenance area?

25

1 came from the pressure maintenance project where we had like
2 way up to 1700 pounds.

3 Q Well, I understand that's your feeling
4 but my question is, couldn't that also represent an increase
5 in pressure from the surrounding area?

6 A I think it's very unlikely. We found all
7 the evidence so far that we studied is pressure drainage
8 from east to west.

9 Q Well, you had the higher pressures in
10 November of '87 on the Mallon acreage and higher pressure on
11 the B-17 than you did at the B-32 or the B-29, didn't you?

12 A The Mallon acreage, I think, felt the
13 pressure that time as significantly higher than the (un-
14 clear).

15 The Johnson well, which as I indicated
16 earlier today, we found during studies in the Gavilan En-
17 gineering Committee, that it's an entire are and typically
18 runs about 100 pounds higher than the rest.

19 Q Well, the pressure was higher in the B-17
20 area, also, wasn't it, in November?

21 A I don't remember. It would not be very
22 much higher.

23 Q Well, if it's any higher in this real
24 good rock that you're talking about here, it's going to
25 cause an increase in the B-29 and the B-32, isn't it?

1 A And if it's higher it got its pressure
2 from the pressure mainenance project (not clearly under-
3 stood.)

4 Q The B-17 had been shut-in, hadn't it,
5 hadn't been producing it?

6 A Yes, sir. It still reflects the pressure
7 in the area.

8 Q But it's going to have a higher pressure
9 if it's shut in if other wells around it are producing,
10 isn't it?

11 A Well, it just reflects the reservoir
12 pressure.

13 Q And I say, if it hadn't been produced,
14 then it can reflect a higher reservoir pressure than the
15 wells around it.

16 A But that would have no bearing, whether
17 it's producing or not on the build-up of these wells here.

18 Q Let' me see if I understand what you're
19 saying.

20 Out in the reservoir here, where I'm not
21 producing and I have a well that is producing, normally the
22 pressure is going to be lower where the well is than out in
23 the reservoir where I'm not producing.

24 A Until the pressure builds up, yes, sir.

25 Q You mean until it equalizes?

1 A Till it equalizes.

2 Q So if I don't produce an area and I
3 measure the pressure, then normally it's going to be higher
4 than the producing wells in the area.

5 A Sure.

6 Q And the way it equalizes is the pressure
7 goes down in the area that I'm not producing and comes up in
8 the area I have been producing.

9 A The -- I would have to look at the P-17
10 pressure and compare it with the B-32. My recollection is
11 that there was not any substantial difference in pressure.

12 Q Well, it doesn't take much pressure at
13 all in this good rock that you're talking about to cause a
14 slight pressure increase, does it?

15 A No, but, Mr. Chairman, in order to deter-
16 mine if there is a pressure difference, a small amount, we'd
17 have to go at it in some other way than the way these pres-
18 sures were taken.

19 Q Well, on the blue graph here, you're
20 talking about small pressure increases, aren't you, 6, 7, 8
21 pounds?

22 A Right, and I show how to determine small
23 pressure differences. We can determine it but not by bottom
24 hole pressures, which was what you were preparing to do.

25 Q I know, you've used the more accurate

1 surface pressure.

2 Q For this purpose, yes, sir.

3 Q Let me go to Tab I. Now, as I understand
4 the heading you say here is that this is evidence that be-
5 cause of the gas/oil ratios in the expansion area, because
6 they're lower than the Gavilan pressures -- excuse me, Gav-
7 ilan gas/oil ratios, that's evidence that your pressure
8 maintenance expansion area is in communication with your
9 present pressure maintenance area.

10 A No, sir, not that they're lower than Gav-
11 ilan; just that the low level that they are would be asso-
12 ciated with something other than a solution gas drive and
13 that something other would have to be gravity drainage or
14 pressure maintenance, or both.

15 The comparison with Gavilan was simply to
16 show the efficiency of recovery by comparing one area
17 against another.

18 Q Well, what -- the area you're comparing
19 on this exhibit, as I understood, the statement, you say on
20 the average, these wells, you're -- are you talking about
21 your pressure expansion area wells?

22 A Yes, sir.

23 Q These pressure expansion area wells show
24 substantially lower GOR's than the adjoining Gavilan wells.
25 Do you mean the entire field, entire Gavilan field, or pool?

1 A On the average, yes, sir, I think that's
2 what we plotted.

3 Q You haven't compared it with the wells
4 that are adjoining, in the two sections adjoining this area,
5 have you ?

6 A I took the average of Gavilan and the
7 average of each well.

8 Q And then you're saying because the GOR on
9 the F-18 is slightly above the solution ratio, that that
10 indicates that it's in the pressure maintenance area as
11 opposed to being in an area out here by -- in the -- in an
12 area connected with Gavilan and not connected with the
13 injection area?

14 A No, sir, I'm not saying that at all. Mr.
15 Chairman, there is a high degree of communication between
16 Gavilan and West Puerto Chiquito. There -- there's just no
17 question about that, and I do not intend to imply that.

18 What the lower gas/oil ratio shows, so
19 far, and we've only found that low gas/oil ratio in the C
20 zone in this area, and that low gas/oil ratio means to me
21 that it's not in the C zone; it means to me that this is
22 showing gravity drainage; it means to me that it's getting
23 help from the pressure maintenance project.

24 Q Did you measure pressure in the F-18
25 Well?

1 A I don't believe we did.

2 Q In this area of pressure maintenance --
3 excuse me, in the expansion area, have you never measured a
4 pressure in the C zone versus a pressure in the AB zone?

5 A As near as we can tell in that area,
6 very little; they're probably the same.

7 Q My question was have you ever measured,
8 wasn't it, between the C zone and the AB?

9 A No.

10 Q Were you requested during this pressure
11 survey area to make that kind of pressure survey to see in
12 the C zone and AB and see what -- if there was a pressure
13 difference?

14 A Yes, sir. I think it would be an exer-
15 cise in futility since each of these wells are fraced in all
16 three zones and the odds are that they probably are tied
17 together in some way with the fracture system, and even
18 though they're segregated, it's very unlikely that we should
19 run a pressure and find a difference. But not only that, we
20 know that reservoir wide that the zones are tied together
21 and so it's only reasonable to assume that the pressures are
22 about the same.

23 Q Are the -- are the wells in the proposed
24 expansion area generally lower structurally than the Gavilan
25 wells?

1 A Yes, sir.

2 Q Under a solution gas/oil ratio producing
3 mechanism you would expect the lower structural wells to
4 have the lowest gas/oil ratio relative to any time in the
5 producing life of the reservoir.

6 A No, sir.

7 Q Why not?

8 A No, sir, a solution gas drive, you expect
9 the gas/oil ratio to be the same regardless of structural
10 position.

11 Q When this gas comes out of solution in
12 this reservoir, where does it go, Mr. Greer?

13 A There is -- we're non-solution gas drive
14 and it segregates by gravity, which I contend it does segre-
15 gate by gravity and the others contend that it does not seg-
16 regate.

17 If you have segregation, then you have
18 the wherewithal to have gravity drainage and efficient grav-
19 ity drainage recovery, and I'm convinced that in Gavilan
20 there is some gravity drainage recovery. There's no way, no
21 matter how bad the reservoir is abused, there's going to be
22 some gravity drainage, and that's evidenced by -- by gravity
23 segregation.

24 Q In a solution gas drive reservoir with
25 the pressure below bubble point, would gas come out of solu-

1 tion in the reservoir?

2 A Yes, sir.

3 Q Where does that gas go when it comes out
4 of solution in the reservoir?

5 A To goes to the wellbore.

6 Q All of it goes to the wellbore?

7 A Yes, sir, that's typical of a solution
8 gas drive reservoir, Mr. Chairman. It makes no difference
9 the rate at which you produce it, how you produce it, a so-
10 lution gas drive reservoir will give you the same gas/oil
11 ratio and if -- if the gas segregates and goes to the top of
12 the reservoir (not clearly understood), then again you have
13 gravity segregation and potential for gravity drainage re-
14 covery, not solution gas drive.

15 Q Well, of course the gas moving structur-
16 ally high in a solution gas drive reservoir is a natural
17 phenomenon in a solution gas drive reservoir, isn't it?

18 A No, sir, not unless you have gravity seg-
19 regation, it is not.

20 Q Well, when you say gravity segregation,
21 oil versus gas is gravity drive, isn't it gravity segrega-
22 tion?

23 A No, sir. Mr. Chairman, the engineers
24 have a clear understanding of solution gas drive and a solu-
25 tion gas drive means that the gas and oil mixed together

1 move to the wellbore and there is no way for gas to segre-
2 gate and to move up structure or to move down structure, un-
3 less you have gravity segregation.

4 If you have gravity segregation, you can
5 have gravity drainage, and to whatever extent that happens,
6 then you moved from solution gas drive to gravity drainage.

7 This is the thing that we've seen in this
8 reservoir and we'd like to take advantage of it and have
9 tried to operate over these twenty years.

10 Q I just want to make sure that your testi-
11 mony is that in a solution gas drive reservoir if you get
12 below the bubble point and the gas comes out of solution, it
13 all moves to the wellbore and none of it moves structurally
14 higher than its current position.

15 A That is right. The permeability is so
16 low, Mr. Chairman, that the gas and the oil can only move
17 one direction and that's to low pressure.

18 If it segregates and goes up structure,
19 then you have gravity segregation. It's just that simple.

20 Q The permeability of 10 darcy feet to 50
21 darcy feet is not going to be much of an impediment to
22 fluids moving, oil or gas.

23 A No, that's our position, that this reser-
24 voir has high enough transmissibility for gravity drainage,
25 gravity segregation.

1 Q Well, if you have that in a solution gas
2 drive reservoir, structurally you expect the lower structure
3 wells to have the lower gas/oil ratios.

4 A No, sir, we've been over this two or
5 three times. That's not the way a solution gas drive
6 operates.

7 Q In -- I believe we're in Tab I and I see
8 here a plat with a sideways pyramid, brown and blue.

9 A Trapezoid, is what I call it.

10 Q Trapezoid, all right. Tell me what that
11 trapezoid is.

12 A Well, Mr. Chairman, I'm sorry that I
13 can't -- have not properly explained these exhibits when we
14 went through them.

15 Q Well, I think the chairman is smarter
16 than I am. That's why I'm asking; I want to make sure I
17 understood what you said.

18 A Okay. My assessment, Mr. Chairman, is
19 that the movement in this area, underground movement, moves
20 from east to west.

21 When we take the amount of oil that the
22 B-29 and B-32 have produced and recognize that it's coming
23 from the east, and then make just an approximate assumption
24 as to percentage recovery and oil in place per acre, and
25 gravity drainage, approximate, and put that oil back in the

1 reservoir, I recognize whether it's either 2/3rds depleted
2 or 1/3 depleted in that area, we come up with a substantial
3 area that has had to supply oil to those two wells and that
4 substantial area is back up into the existing project area,
5 and the point of the exhibit was to show that the production
6 from these wells is not coming just from the wellbore or
7 just from the 40 acres around it, but very probably is com-
8 ing from, it's coming from the present expansion -- or pre-
9 sent project area and doing just exactly the way we expect
10 recovery wells to do, to pickup oil from the intermediate
11 area where we have only one well for three or four sections.

12 Q Mr. Greer, you show no drainage from the
13 west to the east in the B-29 and B-32 wells, is that
14 correct?

15 A Yes, sir. From east to west I show
16 drainage.

17 Q I was going to say, you show no drainage
18 from the west to the east --

19 A No.

20 Q -- of the B-29 and B-32.

21 A No, most of it's coming from up-dip.

22 Q I see, I understand you say -- feel that
23 way, but what keeps the B-29 and the B-32, these very good
24 wells, from draining from the west?

25 A Gavilan.

1 Q Unless the pressure is lower in the B-29
2 and the B-32 than it is to the west, it will be draining the
3 area to the west, is that right?

4 A I don't think the pressure is higher to
5 the west.

6 Q And it --

7 A Not in any, excuse me, not to any -- any
8 significant part of the reservoir. There are isolated
9 wells and tight, tight spacing units that will show a higher
10 pressure but that doesn't mean that the area as a whole is
11 draining to the east.

12 Q And as I understand it, what you're
13 really saying here is essentially all of the drainage that's
14 occurred in the B-29 and B-32 well, all of the oil that
15 is produced has come from the east of those two wells?

16 A Well, of course (not clearly understood)
17 I guess, my opinion is that most of it, you know, there's 10
18 percent or 20 percent coming from the wells fraced west of
19 it, but by and large the source of build up is just like we
20 had planned with this pressure maintenance project, it's up-
21 dip from the recovery wells.

22 Q If there is a barrier to flow to the east
23 of the B-29 and the B-32, that would mean that the drainage
24 area that you show here would have to be west rather than to
25 the east, wouldn't it?

1 A If it was an effective barrier, and if
2 there were no other indications of directional flow.

3 Q Let me turn to the next tab, J, I believe
4 you've already mentioned the 34 well, anyway, in the
5 pressure data. Do you have a graph on that?

6 A Yes, sir.

7 Q Is it your conclusion that the C-34
8 represents a reflection of the injection and pressure
9 maintenance areas?

10 A Well, I think this graph shows the
11 reflection of both production and injection.

12 Q It does not show -- this graph, pressure
13 graph of the C-34, does not show communication with wells to
14 the -- to the west, does it?

15 A Well, it's not a one-on-one test like we
16 had with the -- with the frac pulse tests. The fact that
17 the pressure drops, it appears to me it has to come from --
18 from production or from withdrawals from the reservoir and
19 as I indicated earlier, the reason that we market some gas
20 is in order to get some kind of reaction in the reservoir
21 that otherwise would not show if we were just putting as
22 much gas in as we're taking out.

23 Q Well, is the answer to my question that
24 this pressure graph alone does not show any communication
25 with wells to the east -- excuse me, wells to the west?

1 A It shows communication with the wells; we
2 just can't identify which wells and it appears to me that
3 production or withdrawals is from the expansion area and
4 that that almost has to be the cause of it.

5 Q I'm sorry, would you repeat that answer?

6 A Well, like 3/4 to 90 percent of the pro-
7 duction that we have taken from the wells has been from the
8 expansion area and so I would assume that the -- the pres-
9 sure decline in this well is a consequence of withdrawals
10 since most of the producing wells, or most of the production
11 is in the expansion area, it would just be my assessment
12 that that's probably the cause.

13 Q Well, in the -- in the August and Septem-
14 ber period that you have here, didn't you have a very rela-
15 tively small amount of injection in the --

16 A Yes, sir.

17 Q -- injection wells?

18 A Yes, sir.

19 Q And your pressure was going down.

20 A Yes, sir.

21 Q Let me go over to D-17. Is the -- is the
22 time that the pressure starts -- first of all, the pressure
23 is declining in the D-17 prior to the beginning of this
24 test, is that right?

25 A Yes, sir, we're looking at the green

1 sheets under Tab J.

2 Q Yes, sir.

3 A The wells are producing on the down slope
4 there.

5 Q And that means that the wells in the
6 pressure maintenance -- excuse me, in the expansion area, or
7 the Gavilan area, were causing the pressure to decline in
8 the B-17, is that correct?

9 A Well, that would be my assessment, yes,
10 sir.

11 Q Now, when the pressure starts increasing,
12 is that when all the wells in the field were shut in?

13 A Yes, sir.

14 Q And it continued to increase until when?
15 I get November, about November the 21st?

16 A I think (not clearly understood). I for-
17 get how long (not clearly understood) but something like
18 that.

19 Q And was that -- when were --

20 A Pardon me?

21 Q When were the wells returned to produc-
22 tion, do you recall?

23 A Yes, sir. That's a -- I would consider a
24 typical interference effect.

25 Q And that interference affect -- the expan

1 sion area wells and the Gavilan wells.

2 A Yes, sir. I think I made some rough --
3 rough calculations that (not clearly understood) -- that I
4 believe part of the -- that pressure decline very well was
5 caused by Gavilan --

6 Q The D-17 pressure alone does not show com-
7 munication of that well with the pressure maintenance area,
8 does it?

9 A Not in itself, no, sir. Now those, those
10 -- those curves, I think, tend to reflect more just inter-
11 ference of production and shutting in. That's what our ana-
12 lysis showed.

13 Q Did the bottom hole pressure survey on
14 the C-34, as you described it, that was a bottom hole pres-
15 sure bomb you were describing that you called "an amazing
16 instrument", wasn't it?

17 A Yes, sir. Yes, sir, if we had all of the
18 bombs like that for our survey, we might be able to show up
19 some pressure differences across the reservoir.

20 Q Let me ask you about Item K here in Exhi-
21 bit One.

22 A Yes, sir.

23 Q If the -- if your application -- first of
24 all, do you know about what your oil production is per day
25 under the restrictive allowable in this pressure maintenance

1 expansion area?

2 A It seems to me it's in the range of 1500
3 and 2000 barrels a day. I'd just have to get, you know, the
4 records out and look at that.

5 Q That -- I think that our calculation of
6 one month is around 1732 barrels. Does that sounds in the
7 range of what you're talking about.

8 And on the -- on this Exhibit K, or Tab K
9 here on the gold sheets --

10 A Okay.

11 Q -- it may be an appropriate color; does
12 that show the daily rates you could produce those wells in
13 the pressure maintenance -- in the proposed expansion area
14 if this application is granted?

15 A I believe so. The -- there might be some
16 pressure declines since November; a more realistic figure is
17 probably 2500 barrels of oil per day.

18 Q It shows about 3176 barrels a day, is
19 that right?

20 A Yes, sir. I'm not sure that it still has
21 that capability.

22 Q And, for instance, the B-29 well, it's
23 1066 barrels, it, if this pressure maintenance expansion
24 area is granted, even though its normal allowable would be
25 800 barrels a day, under the rules that you have in effect

1 for your unit, you could actually produced 1066, couldn't
2 you?

3 A Yes, sir, we could. Our practice, how-
4 ever, is again not to do that. The only time we got to pro-
5 duce wells at that high a rate was in cooperation with the
6 Commission here in trying to analyze the reservoir, high and
7 low rates of production.

8 We have never produced these wells at
9 their full allowable. I just don't believe in that.

10 So the answer is we would not produce at
11 3000 barrels a day.

12 We would not produce the B-29 at 1100
13 barrels a day for a 30-day period. We might produce it for
14 half the month and average maybe 5-or-6-or-700 barrels a
15 day, but we would not pull it that hard.

16 Unless, there's only one (not clearly un-
17 derstood) and unless, that's unless we're -- we're losing
18 oil to Gavilan and we have to do that to protect from drain-
19 age. That would be the balancing thing that I hope we don't
20 have to get into.

21 Q Well, if you, have you made a study to
22 determine what the relative producing rates are between the
23 first two rows of sections on the Gavilan side versus two in
24 the proposed expansion area?

25 A No, sir. Of course it depends on whether

1 we continue with the existing allowable or not, and if we
2 do, why, then our threat to drainage is minimized as
3 compared to high rates of production and, if so, then we can
4 slow, slow our producing rates down.

5 Q But you're going to be the one to make
6 that decision.

7 A Well, --

8 Q You, Mr. Greer.

9 A -- I'll probably get some help from some
10 of the working interest owners.

11 Q But you have no -- under your proposal
12 you have no allowable limitation to keep you from producing
13 3176 barrels of oil a day.

14 A If we injected all the gas.

15 Q Is it -- is it a requirement that you
16 inject all the gas or that you inject all the gas above 600-
17 to-1?

18 A To get the full allowable we have to
19 inject everything above 600-to-1, yes, sir.

20 MR. DOUGLASS: I'm going to
21 holler uncle this time, if that's (not clearly understood).

22 MR. LEMAY: Are you suggesting
23 that we take a break so you can analyze the other two books
24 here, Mr. Douglass?

25 MR. DOUGLASS: Well, I'd like

1 to do it for two purposes but that's one of them.

2 MR. LEMAY: We'll break for
3 twenty minutes.

4

5 (Thereupon a twenty minute recess was taken.)

6

7 MR. LEMAY: Shall we resume?

8 Mr. Douglass?

9 MR. DOUGLASS: Thank you, Mr.
10 Chairman.

11 Q Let me ask you to go to Exhibit Two, if
12 you would, Mr. Greer, and the first page I see in there, I
13 believe is a structure map under Tab Intro, and I believe
14 that you -- this is a previous exhibit that you have.

15 A Yes, sir.

16 Q Before I believe you connected up some of
17 these wells in the green here to the wells in orange or
18 gold, is that right?

19 A Well, in Exhibit Two we show some of the
20 connections, yes.

21 Q Not on this one.

22 A No, sir. That represents what we had
23 earlier provided to the Commission.

24 Q Well, for most of the communication that
25 you show in the gold area here, or orange lines, are those

1 shut-in type interference tests where you produce one well
2 and shut-in another, and that type of thing?

3 A Well, as I recall, they were -- they were
4 different. I'd have to go back to our earlier exhibit to
5 identify any one issue or points. The O-33, let's see --

6 Q Well, I didn't want to go to each one and
7 identify each one.

8 When I read the transcript of the two
9 previous hearings and looked at the exhibits, I thought that
10 what you indicated here, that these were not frac type
11 interferences but these were --

12 A Oh, I -- yes, sir.

13 Q -- pressure, what we call normal or usual
14 pressure interference tests where you shut in one well or
15 all the others and produce another and see if you get
16 pressure effects.

17 A I believe most of these, let's see, the
18 interference tests that we ran are not shown on here. They
19 were in addition to what's shown here.

20 The tests that are indicated here, all
21 right, for instance, the C-34, the well that I believe we've
22 said produced 3-or-4 BCF, we felt like there was no way that
23 that C-34 well has produced that volume of the gas with no
24 more pressure decline than it had, and it took at different
25 times the amount of pressure decline and the amount of gas

1 produced and there's no way that that could come about with-
2 out that well receiving support from the gas injection
3 wells.

4 Q All right, maybe I can approach it this
5 way. Are there any of the wells that are connected by the
6 orange or gold here that represent frac type tests, inter-
7 ference tests?

8 A Not -- no, none of these are frac pulse
9 tests.

10 Q Now, as we go to the green wells on this
11 same --

12 A Okay.

13 Q -- thing, are any of those interference
14 tests that are shown here the frac type tests?

15 A Yes, certainly. The lower set of green
16 solid lines are one of the frac pulse tests and they're --
17 and that particular test is covered in the red book.

18 Q Okay, that -- that's an old test, one
19 that you had put on at the last hearing.

20 A Yes, sir.

21 Q And it was a frac type test?

22 A It was a frac type test.

23 Q Now, in the earlier exhibit that you put
24 on, didn't you have a dashed pink line between the green B-
25 32 and the orange C-34 wells, do you recall?

1 A I believe we have that in one of the ex-
2 hibits and I think we showed the exhibit following that or
3 it was probably done in one of those trapezoids, but I don't
4 recall for sure.

5 Q All right. Now in your Exhibit Two here
6 under Tab B, is the communication which you say occurs there
7 from a fracture treatment?

8 A Yes, sir, that's a sand fracture.

9 Q It's not -- it's not what you engineers
10 would normally call an interference test.

11 A No, no, sir. No, sir. This is what we
12 call a frac pulse test, the kind of test the Gavilan
13 Engineering Committee recommends we could look into, and did
14 do, in cooperation with Meridian on one test and Dugan on
15 another and two of the unit wells on another (not clearly
16 understood.)

17 Q This test, the C-34, the B-29 and the B-
18 32 would be across what my client has indicated is a bar-
19 rier.

20 A Yes.

21 Q I want to visit with you about what's
22 happening in this area.

23 As I understand what you've done here is,
24 on the blue graphs here, you've shown on the B-32 and B-29
25 when you thought the frac responses were present, is that

1 right?

2 A Yes, sir.

3 Q Now, wells can have responses as far as
4 pressure build-ups or drawdowns are concerned because of
5 things other than the well being fraced, can't they?

6 A Oh, yes.

7 Q Could be other wells going on production.

8 A Yes, sir.

9 Q Other wells going off production.

10 A Yes, sir.

11 Q Faults.

12 A Sure.

13 Q Permeability barriers.

14 A Yes, sir.

15 Q Any type of reservoir limit that might
16 restrict the pressure.

17 A Yes, sir.

18 Q Going to the first graph --

19 A Oh, excuse me, sir, there has to be com-
20 munication between two wells to -- for that to occur.

21 A I understand. Now, let's see if I under-
22 stand the blue graph here. When do you show the first re-
23 sponse that you call frac response?

24 A In time in terms of days we might ought
25 to look at the next book. This frac is in logarithm, logar-

1 rithmic scale.

2 Q Do you want to --

3 A It may be easier --

4 Q Do you want to refer to another book now?

5 A Well, in order to get away from the loga-
6 rithmic scale it might be simpler.

7 Q Well, I didn't know that I needed to be
8 that precise.

9 You show a line here and then you show a
10 separation of circles. Did it appear that it occurs within
11 --

12 A Well, it's about a fourth of a day.

13 Q About a fourth of a day. Okay, that's
14 good enough for me.

15 And timewise it occurs in about, what,
16 roughly 3-1/3, 3-1/2 days from the shut-in?

17 A Yes, sir, a little better than three
18 days.

19 Q Three days plus. Now, if I were to look
20 back on that B-17 pressure build-up, would it have -- would
21 it's curve look something like this that you have with the
22 pressure build-up on that B-17 that we had back in Exhibit
23 One?

24 A Well, the B-17, if I recall was not drill-
25 ed at the time of this -- this test.

1 Q I'm saying it may not have been drilled
2 but I was talking about the shape of the -- of the pressure
3 increase, there's a curve, build-up at the end there, didn't
4 it?

5 A Are you going to talk about another one
6 of the frac pulse tests that the --

7 Q Nope.

8 A -- B-17 was in?

9 Q Nope. Not -- just a normal -- as I recall
10 you ran a shut-in pressure in that well in November, a
11 bottom hole pressure.

12 A Yes, sir.

13 Q And you have it build up at the end .

14 A Yes, sir.

15 Q And the curve at the end was building up
16 higher than it was to begin with.

17 A Yes, sir.

18 Q Isn't that what's generally happening
19 here as far as the B-32 is concerned?

20 A Well, we show now how the response
21 happened in the B-17 in the frac treatment and in this
22 instance, you know, we had all the wells in the township
23 shut in.

24 Q Well, the pressure survey we discussed on
25

1 the B-17 in Exhibit One was not from a frac response, was it?

2 A The -- the comparison, Mr Chairman, that
3 needs to be made for the point under discussion here now, is
4 the difference in the pressure build-up as a consequence of
5 the frac pulse and for comparison we have a build-up not ne-
6 cessarily on another well; we have a build-up this well and
7 it's the one on -- the lower graph on this page. Let's see,
8 the blue graph, it says a Response to Frac Treatment of the
9 blue graph. It says Response to Frac Treatment of the C-34.
10 As a consequence of the frac treatment in the C-34 and we
11 can see a build-up curve and the B-32 was shut-in in January
12 of 1987. It has a very straight line.

13 Let's see, have you found the graph?

14 MR. LEMAY: We're on the C-34
15 now or the --

16 A Yes, it says Response to Frac Treatment
17 on COU C-34 on the bottom graph, and Bottom Hole Pressure
18 Build Up Survey Well COU B-32.

19 Did you have the right graph?

20 MR. LEMAY: Okay, we had that,
21 yes.

22 A On the lower -- the lower line shows how
23 a pressure build-up in this particular well as a consequence
24 of shut-in following production, and it's very clearly a
25 straight line and for the same -- it was shut-in for about

1 five days. We can see that at the point where the frac re-
2 sponse starts on the C-34, on a similar test just about a
3 few weeks later, it does not follow that same straight line.
4 It deviates and it deviates because of the interference from
5 the frac treatment.

6 So, Mr. Chairman, we'll have to go to an-
7 other well to see what would have been the pressure build-up
8 we had (unclear).

9 Q Let me ask you, Mr. Greer, you haven't
10 prepared what the producing rates were in January of '87 or
11 the producing rates in April of '87 on the B-32 well, have
12 you?

13 A I don't show it here but I did check it
14 out and they were approximately the same.

15 Q And did you check the production in the
16 rest of the Gavilan and the proposed expansion area to see
17 what the production in that area was over both periods of
18 time?

19 A We had all of our wells shut-in, the
20 whole township.

21 Q In what periods of time?

22 A Through the period of the test.

23 Q Each time?

24 A Yes, sir.

25 Q Is this the -- is the -- is the time se-

1 quence the same here on the B-32 in January of '87 or is it
2 --

3 A Yes, sir, the bottom scale while we're in
4 the Delta T is the same; same, so we have comparable graphs.

5 Q All right. Then with reference to the
6 frac response that you had, is this the fracture treatment
7 that was done on the C-34, you actually fractured the reser-
8 voir over a substantial distance, is that right?

9 A Well, the service companies, Mr. Chair-
10 man, will -- will tell you that they can get a frac out 1000
11 feet, 1500 feet, or whatever. We don't know what happens in
12 this fractured reservoir, just how far it goes.

13 The assumptions that we've made so far is
14 that I feel like in general they probably do not exceed 1000
15 feet and that's where we come up with 1/4th of that distance
16 or a 250-foot effective wellbore radius. But just how far
17 they go, it's a little difficult to -- to tell.

18 The classical theory on it apparently
19 just doesn't fit this reservoir.

20 Q If you've got a well two miles away that
21 was fraced you could see the response in approximately a
22 quarter of a day, is that right?

23 A Yes, sir.

24 Q (Not clearly understood.) Now the next
25 well is also a frac response, you say, from the same frac-

1 ture treatment, is that right

2 A Yes, sir. We had a bomb in both wells,
3 when the well was treated and the C-34 was treated.

4 Q Is this B-29 well farther or closer to
5 your --

6 A This was a little bit farther.

7 Q And the pressure response there is about,
8 what, about a half a day, roughly?

9 A Yes, sir, something like that, yes, sir.

10 Q Again you get a -- a well's been shut-in
11 about two and a half days when you get a response, as you
12 call it.

13 A Well, we -- we deliberately plan it that
14 way. You see, Mr. Chairman, these bombs with the (unclear)
15 they have, have about a six-day maximum that we can rely on
16 getting pressures, so in designing a test like this we have
17 to -- have to figure approximately how to allocate that six
18 days and the way I've done it so far, it should take two or
19 three days prior to the -- to the frac treatment that we
20 shut the well in and run the bomb, and then we do the frac
21 treatment and then that gives us maybe three and a half,
22 four days, after the frac treatment to pick up the response.

23 That's really a tricky situation if we
24 have bad weather and we have a problem, maybe, getting a frac
25 job off exactly when you plan it.

1 In this instance, as I recall, we -- we
2 managed to do it about -- well, about that procedure, so in
3 round numbers that's how and why we do it the way we did it.

4 Q Do you have the pressure information
5 prior to the bomb time of 51 hours, for instance, on this B-
6 29 well?

7 A Well, I think so. I imagine we provided
8 it to you people along with everything else.

9 Q You think we already have it after you
10 provided it to us?

11 A I think so.

12 Q And the same would be true on the data on
13 the C -- on the B-32 well --

14 A Yes, sir.

15 Q -- prior to the time of 20.8 (sic) hours?

16 A Yes, sir.

17 Q Was there any change in the curve in the
18 early period of time on these two shut-in wells?

19 A Oh, I don't remember. The -- what we
20 tried to do is fit the information on our graph here and
21 it's a question of whether you start on one end or the
22 other, and we -- I think we balanced it out with the last
23 pressure on the righthand side of the scale and we ran it as
24 far back as the graph would go.

25 Q Did the pressure response that you say

1 here, frac response, have been from a permeability barrier
2 in the reservoir?

3 A I don't -- I don't see it that way here.
4 Ordinarily you have a 2-to-1 slope in a case like that and I
5 haven't measured that and just looking at it, it's not a 2-
6 to-1 slope, so I don't think that's --.

7 Q How about a well being shut-in in the
8 reservoir? It doesn't give you a 2-to-1 slope or increased
9 well communication, does it?

10 A I don't know what you're saying.

11 Q Well A is producing and Well B is shut-in
12 for a pressure --

13 A Okay.

14 Q -- test, when you shut in Well A, through
15 communication you should see an effect --

16 A Yeah, right.

17 Q -- on the pressure.

18 A Yes, sir.

19 Q And it's not a 2-to-1, is it?

20 A Well, we're not talking about a boundary
21 there.

22 Q Let's -- let's go to -- D is the A-16
23 frac and you measured it in B-32 and A-20, is that correct?

24 A Let's see, under which tab now?

25 Q D.

1 A D, like dicker?

2 Q D, as in dog.

3 A D, as in dog. Yes, sir, that's the A-16

4 frac. We observed it in the A-20 and the B-32.

5 Q Now, there, on your -- on your graph com-

6 paring it to the B-32, how quickly did you see the frac re-

7 sponse according to what you indicate there and timewise?

8 A Well, it's like another, oh, a fraction

9 of a day.

10 Q Quarter of a day?

11 A Something like that.

12 Q Now that -- that well is about, almost

13 three miles away whereas the C-34 is approximately, what, a

14 mile and a half to a mile and a quarter?

15 A The C-31 is about two miles, maybe --

16 Q Two miles?

17 A -- two and a half to the B-29.

18 Q I thought we were talking about the 32,

19 I'm sorry.

20 Am I off a well?

21 A Well, I was comparing the C-34 and the B-

22 29 frac with the A-16 and the B-32.

23 Q Well, that wasn't what I was comparing.

24 A Oh, okay, two different things there.

25 Q All right, I thought you -- I thought we

1 were comparing A-16 with B-32.

2 A Okay.

3 Q And that distance is about three miles.

4 A Okay, yes, sir.

5 Q And the B-32 to the C-34, according to
6 what I see here, is about a mile and a half to a mile and
7 three-quarters.

8 A Well, it's 10,400 feet. That's very
9 close to two miles there.

10 Q It's about two miles. All right, and
11 when the -- and you got a response in about the same period
12 of time, about a quarter of a day, is that right?

13 A I was thinking we got a quicker response
14 on the north/south line than we did the east/west line, but
15 I'm not -- I'd have to look at the information to be sure.

16 Q Well, I thought you looked back at the
17 -- I guess it's D, isn't it?

18 A Yeah, I think we're just kind of guessing
19 at a quarter a day. There's probably not that much differ-
20 ence.

21 Q All right, sir. And then the -- timewise
22 what are we looking at from the time of shut-in? Again
23 about three plus days?

24 A Okay, now are you looking at the A-16 and
25 the B-32?

1 Q Yes, sir.

2 A Yes, sir, shut-in about a little over
3 three days at the time of the frac, and ran it out to again
4 about six days, the same method as before.

5 Q All right, under Tab E would be the A-20,
6 is that right?

7 A Yes, sir, the A-20.

8 Q When you fraced the A-16 this is the
9 pressure graph in the A-20.

10 A Yes, sir.

11 Q Again this time the A-16 is closer, ex-
12 cuse me, the A-20 is closer to the A-16, isn't it?

13 A Yes, sir.

14 Q And what is its time to get the frac re-
15 action according to your frac response?

16 A I'd have to run a -- it might be a little
17 bit longer than the other one; looks like, oh, maybe half a
18 day. It's a little hard for me to see it on this small
19 scale.

20 Q Okay, closer but it took longer.

21 A Yes, sir. I think that's typical of our
22 north/south running probably higher than the east/west.

23 Q Okay, and you show here some cross flow.

24 A Yes, that's my interpretation, yes, sir.

25 Q You mean cross flow in the A-20 well?

1 A That would be cross flowing between the
2 A, B and C zones within the A-20 well itself. That -- we
3 found that to be the case when we fraced the well and the
4 pressure bleeding off during the frac. It kind of looked
5 like we had cross flow in it then and that's why I've obser-
6 ved it here, because of the erratic pressure behavior here
7 after it leaves that upper dashed line.

8 Q The rest of the pressure tests, or the
9 rest of these still are frac tests and they're between wells
10 that would all be in the pressure maintenance -- excuse me,
11 in the expansion area, is that correct? In other words,
12 starting with --

13 A Yes, sir, the F-7 frac and the B-17 and
14 the A-20; the A-20 to the B-32 and B-29, yes, sir.

15 Those two wells, the C-34 and A-16 are
16 the only ones we had available for workover in the AB zone,
17 so they're the only wells in the unit we could use to make
18 such a test.

19 Q Turn to Tab I, if you would, please, sir.

20 A Okay.

21 Q As I understand how you deterined whether
22 it's been frac response, or any kind of a response is a
23 slope change, is that correct?

24 A Yes, sir.

25 Q Looking at the beginning of this graph

1 that you have here, it says 4.3 over there.

2 A Yes, sir.

3 Q Isn't there a slope change from about 4.3
4 as you go to a little over 4.42, I guess it is, from there
5 compared to the, oh, from about 4.43 to roughly 4.8?

6 A Yes, sir.

7 Q All right, sir. And you haven't identi-
8 fied that as what that slope change was, is that correct?

9 A No, sir, it's not very much of a change.
10 It would be -- whether that was just the well leveling off
11 or what, we didn't feel that was significant.

12 Q Do I see at the -- where you say the frac
13 of the F-7 started, isn't there a slope change prior to the
14 time that that -- you started pumping F-7 frac there?

15 A Well, I'm not sure. You can see how that
16 pressure ranges around there. It appears to me, and my ana-
17 lysis of it is that a straight line from the lower lefthand
18 set of circles up through that part, it just makes sense to
19 me is that that's the -- what we're looking at there, of
20 course, is 2-or-3/10s of a pound difference in those points
21 that are relatively below the -- that dashed line. I think
22 it's just a question of the first pressure that we measure
23 there appears to be like, probably, within minutes of the
24 frac treatment it's pretty hard to follow that in a graph.

25 I imagine if we go back to the particu-

1 lar pressure survey and we have noticed frac responses with-
2 in -- within minutes rather than hours, I think that
3 could very well be the case here.

4 Q The pressure that you're measuring here
5 is in the B-17, is that right?

6 A Yes, sir.

7 Q And do we have the pressure data prior to
8 146.5 hours, did you furnish that to us?

9 A Okay, that's bomb run number 1 and it
10 shows to be, well, it's the D-17 for -- let me see if I can
11 find the schedule.

12 We show a run from November 7th to
13 November the 12th; then we have another one from 11-13 to
14 11-21, so you have that bomb run.

15 Q The bomb run that's shown here like 1009
16 and the bomb run 1008, does that mean that's the total
17 number of bomb runs that you've made for the unit or is that
18 the total number of bomb runs in this well?

19 A No, it's not really very significant of
20 anything. I thought at one time that we would try to keep
21 the bombs identified by bomb runs and then I decided it was
22 better to start out again by the wells, and so it's kind of
23 mixed up. About all it is, is the identification of them so
24 we can go to our files and find a particular run if we need
25 to.

1 Q And then it wasn't -- do you have a tabu-
2 lation that shows the previous bombs (unclear) what well
3 they were run in or --

4 A We can -- we have like, here we see 1009,
5 we can go to our files and pick out 1009. You see, that's
6 what we had to do to provide you with copies of the runs.
7 The blame things, Mr. Chairman, are a bit of a problem to
8 file. They come of on this perforated computer paper and
9 that's the way our girl files them. To take that out and
10 make xeroxed copies of them is really time consuming and so
11 what we did when they asked for our pressure surveys, we
12 just went back and pulled the disks out and run them through
13 the computer again and just run out an original print for
14 them and then from that, from that print we cut off the
15 tails and all that and stick that into a Xerox and without
16 having to tear up our files.

17 And so what I'm saying is that if we need
18 another run or we find a run that's incomplete, why, we can
19 reproduce it, but my feeling is that you probably got com-
20 plete runs.

21 Q Well, I was just asking about your sys-
22 tem, Mr. Greer.

23 A Yeah, I'm afraid it's not a very good
24 system.

25 Q Let me go to Exhibit Three, Mr. Greer,

1 and let me get you to turn to the Summary of Four Frac Pulse
2 Tests.

3 MR. LEMAY: Will you identify
4 that for us?

5 A Yes, it's the last two pages under Sec-
6 tion A.

7 Q All right. Excuse me, it was Tab A,
8 that's right, I'm sorry.

9 I'm sorry, Mr. Chairman, I didn't get the
10 right tab.

11 MR. LEMAY: It's all right, we
12 got it.

13 Q Mr. Greer, if I understand Item 10,
14 that's the average transmissibility between those two wells,
15 is that -- each of the two wells at the top of the hearing
16 there?

17 A No, sir, this is where we have a differ-
18 ence in interpretation.

19 The interference test was (unclear) we
20 say that transmissibility represents the characteristics of
21 the formation in the colored area, not between the two
22 wells.

23 Mr. Chairman, we put on an exhibit the
24 first time in 1969 that in which we showed that you could
25 completely excavate the material of the formation between

1 the observation well and the treated well, or the test well,
2 and there will be very little difference in the pressure in
3 the observation well if you take as much oil out as an
4 interference test, typical interference test where you're
5 producing the well as it would be with the formation in
6 place and the reason for that is that the area of the
7 formation that influences this test, as the time of the test
8 goes on gets larger, and it's a substantial area as we have
9 colored in here for these different tests.

10 Q Maybe I can get at it this way, Mr.
11 Greer.

12 Would that be a minimum average transmis-
13 sibility between the two wells?

14 A No, sir. What that represents is an
15 average of the characteristics of the area. Between the two
16 wells you might have a high capacity, you might have a low
17 capacity, but the area in general -- and that's not
18 homogeneous, not necessarily homogeneous, not necessarily
19 uniform, it represents the average and, of course, you know,
20 you can have some niceties of what's the shape of the area
21 and how that affects it, but in general, as I discussed this
22 morning, if part of the area is not productive, there turns
23 out to be again another averaging in which if you use the
24 calculated oil in place per acre and the area that you've
25 estimated, then, your total volume would be the same, even

1 if half the area is completely nonproductive.

2 It's just one of the characteristics of
3 EI formula that the interference test (unclear.)

4 Q Well, between the C-34 and the B-32,
5 which is about two miles.

6 A Yes, sir.

7 Q Between those two wells there is an aver-
8 age transmissibility of 48 darcy feet on the average for
9 whatever area those wells are draining.

10 A That's right. Kh/u 48 and you come up
11 with Koh of about 14 darcy feet.

12 Q Does that necessarily tell you that those
13 two wells, though, were in communication with each other?

14 A Oh, yes, sir, they're in communication
15 but it does not tell us that there's 14 darcy feet in a
16 direct line between the two, in fact I don't think there
17 are.

18 As I indicated earlier, I think we have
19 directional permeability. There is directional permeability
20 north/south and my own feeling is that it's probably higher
21 north/south than it is east/west.

22 So it should be substantially less in an
23 east/west direction.

24 Q And each, and the C-34 and the B-32 have
25 both been hydraulically fraced.

1 A Yes, sir. The C-34 was hydraulically
2 fractured in the C zone years ago; just recently for this
3 test in the A and B zones and the B-32 was fractured in all
4 three zones, and so there's that little bit of a difference,
5 the treated well in the two zones and the observation well
6 in three zones.

7 Q Let me ask you under Tab F --

8 A Okay.

9 Q -- the green sheets.

10 A All right, sir.

11 Q This is the Ei function here, is that
12 right?

13 A Yes, sir.

14 Q Up at the top there it says the value of
15 q, barrels of fluid a day, 95,040, barrels -- BFPD, is that
16 barrels of per day?

17 A Yes, sir, and that's -- that derives from
18 the injection rate of 66 barrels a, which is the first --
19 the first line and so in this frac pulse the injection rate
20 is 66 barrels a minute and we show how we modified one of
21 our other programs to come up with this frac pulse program.

22 And the third line from the bottom of the
23 information up at the upper righthand side, it says the
24 days shut in, .071.

25 Okay, that's not the day the well was

1 shut-in, that's the day that -- or the time that the frac
2 ended. The frac lasted for 7/100ths of a day, It would be
3 an hour and a half, or something like that, and so rather
4 than deal in barrels per minute, why we're dealing in bar-
5 rels a day. Our pulse then lasts for (not clearly under-
6 stood) into calculation.

7 Q Mr. Greer, the 95,040 isn't reflective of
8 what's being produced from any well in any of these areas,
9 is it?

10 A Oh, no, Mr. Chairman, I hope I didn't
11 mislead anybody when we first talked about frac pulse test.

12 When a well is fraced we know that the
13 formation opens up when it's fractured and we pump into it
14 at a much higher rate than we could with just pumping
15 without fracing the formation.

16 Now that last (unclear) as indicated here
17 7/100ths of a day, and once you're finished pumping, then
18 almost instantaneously the fracture closes and the pulse
19 that moves through the reservoir is then back to a normal
20 type of -- by normal I mean comparable to a normal pulse
21 test and in a way it moves in the same fashion as it would
22 had the injection been at a lower rate for a longer period
23 of time without fracturing.

24 Q What you've just described is not the
25 flow of fluid through a forced medium is it, the fracture

1 opens and closes?

2 A Right, the fracture opens, the pulse
3 starts, the fracture closes, and then the pulse continues
4 after that 7-or-8/100ths or a 1/10th of a day, whatever
5 otherwise had been induced by a normal test. And for that
6 reason, Mr. Chairman, I should point out that in each one of
7 these tests we show the frac response in the observation
8 well quicker than we would have calculated it, and we think
9 that that's one of the reasons that this pulse gets out into
10 the reservoir a little quicker in the high capacity system
11 than it would be if it was just an ordinary interference
12 test, and we found that in each one of the tests. That's
13 why we don't try to match the curves in the early part of
14 the test, for that reason because we think that does not
15 validate the rest of that pressure flow through the reser-
16 voir. It's not in balance.

17 MR. DOUGLASS: I don't have any
18 further questions. We do offer Mallon's Two.

19 MR. CARR: We have no objec-
20 tion.

21 MR. LEMAY: Without objection
22 Mallon's Exhibits One and Two will be admitted into evi-
23 dence.

24 Additional questions of the
25 witness?

1 Mr. Chavez.

2
3 QUESTIONS BY MR. CHAVEZ:

4 Q Mr. Greer, in your Exhibit Number One
5 under Tab G, we have the multi-colored Isopach.

6 You started quoting the pressures from
7 the east side of the unit to the west side of the unit. Did
8 you also take a look at the pressures as they continued
9 through the Gavilan further west?

10 A Oh, no, sir, we just had our man measure
11 wells every day from our wells.

12 We do not try to make a -- to get over in
13 Gavilan. We might have lost a little of the validity of the
14 test to go back up dip. By confining our surveys to the
15 area in which the formation dips from east to west, then we
16 have a minimum pressure gradient.

17 We come back up dip then to the west,
18 why, you might have another slightly different situation. I
19 think not much different, and it probably would have been
20 good to (not understood) than to carry the thing on across.

21 Anyway, we did not.

22 Q Did you examine the pressures that were
23 taken during the Commission required testing procedure and
24 compare them as to how they would appear in the Gavilan Man-
25 cos Pool as part of the continuation of this map?

1 A Yes, sir, just in general and they were
2 pretty close. I remember the surface pressure at the Mallon
3 (not clearly understood) was within 8 pounds; probably the
4 same is true of the Meridian well, but I have not tried to
5 make an exact comparison for the reason that those pressures
6 were taken with different pressure gauges and so there would
7 be a difference there.

8 One of the main things perhaps I should
9 point out, Mr. Chairman, that we inferred from what we have
10 done here, I know there has been a suggestion that the
11 drainage is not from east to west but from Gavilan to -- to
12 the expansion area, and I would point out that the B-29 and
13 B-32, the wells showing 1814 pounds in the brown colored
14 area is the center of highest withdrawals. We produce some
15 of the wells around 1000 barrels a day down to around 7-or-
16 800 barrels a day, and -- and given the pressure gradient
17 was from east -- or from west to east from Gavilan to those
18 wells, it would have to be -- into the expansion area, it
19 would have to be across the yellow area into the brown area
20 and so highly significant, I think, to our analysis here is
21 that there is a pressure gradient, although small, from the
22 brown area into the yellow area, and from the yellow area
23 west my feeling, as I indicated earlier, is that they prob-
24 ably would be very nearly the same.

25 Q Mr. Greer, if the application is granted,

1 and you're allowed to produce your wells in the expansion at
2 the highest rate under the rules of the pressure maintenance
3 project, would your producing bottom hole pressures be sig-
4 nificantly lower than perhaps the producing bottom hole
5 pressures of the wells in the Gavilan Pool?

6 A I think not. Mr. Chairman, our -- our
7 plan always has been to produce at the -- at the minimum
8 reasonable rate and the only reason we produce at higher
9 rates is in order to minimize as much as possible, from a
10 practical standpoint, migration.

11 If Gavilan is not produced at a high rate
12 and the pressure is not pulled down in Gavilan, then we're
13 not going to pull the pressure down in our area.

14 Q Would you be opposed to the operators in
15 Gavilan being allowed to produce at a rate that would give
16 an equivalent bottom hole producing pressure to what you
17 would be producing in your expansion area?

18 A If we had some way of measuring or
19 accurately determining that, I would have no objection to
20 it.

21 There's a bit of a problem, as you
22 probably know, where the transmissibility is as high as it
23 is, Section 1, for instance, would produce at a higher rate
24 and on shut-in would equalize the entire Section 6 even
25 though it isn't producing, and vice versa, and so it's a

1 very difficult problem to actually measure.

2 Q But if some allowance could be made other
3 than looking at actual volumes but looking at pressures, you
4 would not be opposed to that?

5 A I said if there were a way to do it in a
6 fair, in a fair fashion, but as I see it, the Gavilan
7 operators have -- have a lot of security. The pressure
8 gradient has been from the Unit toward Gavilan for some time
9 now and there's no way that -- that we can take gas out of
10 the area, take gas from Gavilan and put in the gas cap if
11 we're not getting a reaction and a pressure maintenance
12 affect, and the reason for that, Mr. Chairman, is that the
13 system offers a balance or an adjustment.

14 If we take too much gas out of the
15 boundary area, drain Gavilan, and put that gas in our gas
16 cap and find communication with the expansion area, then the
17 pressure builds up in the gas cap and we're already at
18 pressures as high as I want to go and we have no other
19 recourse other than to sell gas.

20 When we sell gas, then we don't get the
21 pressure maintenance credit, so they're balancing, a safety
22 valve, so to speak as far as Gavilan is concerned, where
23 there's just no way that we can take more than our fair
24 share out of the reservoir.

25 Q How significant are producing bottom hole

1 pressures on either side of this dividing line between the
2 pools, even though the shut-in pressures seem to be
3 equivalent?

4 Would there be a difference in fluid
5 movement because of different bottom hole producing
6 pressures?

7 A Yes, sir, you could have fluid movement
8 from one area to the other during production, shut the wells
9 in , and the pressures, I feel, will equalize rapidly across
10 that boundary because of the high -- high transmissibility.

11 MR. CHAVEZ: That's all I have.

12 MR. LEMAY: Thank you, Mr.
13 Chavez.

14 Additional questions of the
15 witness?

16 MR. BROSTUEN: I've got a few
17 questions here.

18 MR. LEMAY: Commissioner
19 Brostuen.

20

21 QUESTIONS BY MR. BROSTUEN:

22 Q Mr. Greer, I'd like to refer to one of
23 your plats that you show in the -- the -- if I can put my
24 hands on one here, the -- that show the wells drilled and
25 completed in West Puerto Chiquito. Perhaps you can help me

1 Here's one in under -- this would be Tab
2 -- Tab A in Exhibit One.

3 A Okay.

4 Q One of the things that was mentioned here
5 today was to protect the correlative rights and what we're
6 proposing to do here, or you're proposing to do, is to ex-
7 pand West Puerto Chiquito Unit, pardon me, the Canada
8 Ojitos Unit into the expansion area that you're showing on
9 this -- this plat, is that correct?

10 A No, no, sir. The Unit already covers the
11 expansion area, not only the Unit but the participating
12 area. Expansion, that comes about by application from the
13 operator to the Department of Interior, the State Land Of-
14 fice, and the Conservation Commission, and all three of
15 those agencies have approved the expansion the expansion of
16 the participating area to cover the entire Unit area, and
17 so the only thing that's left that we need is just expansion
18 of the pressure maintenance project, and that, the control
19 for that expansion, lies solely with the Conservation Com-
20 mission; the State Land Office, and the Department of Inter-
21 ior do not have a voice in that.

22 Q The, Mr. Greer, in the expansion area,
23 then, is that covered by any of the orders that were in-
24 cluded in I believe it's your Exhibit Number Four?

25 A Yes, sir. Yes, sir, all of the -- all of

1 the orders, and they read as only three.

2 Q Could you direct me to the -- to the uni-
3 tization? I'm assuming there was a compulsory unitization,
4 then, of -- of the -- of a portion of this -- of the Canada
5 Ojitos Unit?

6 A I believe it was two years ago -- was it
7 two years ago -- two years ago we had a few outstanding
8 tracts within the unit. Now the participating area had al-
9 ready been expanded to cover the whole unit, and we asked
10 for statutory unitization to pick up a few tracts that we
11 just did not communicate with people and they were a problem
12 and we had to come to the Commission every time we wanted to
13 drill a well, and ask for a forced pooling order to get
14 started and then later on all the adjustments had to be
15 made. So we asked for statutory unitization of the entire
16 area.

17 It was our understanding at that time
18 that -- that that covered the pressure maintenance project
19 expansion. The way we read the statute is that there's no
20 way to have a statutory unitization without pressure main-
21 tenance, and so we felt that -- two years ago, that this
22 really had been legally covered.

23 That's sort of the history of that.

24 Q So finally what you're saying is that two
25 years ago there were some tracts that were brought into the

1 Canada Ojitos Unit by the compulsory -- by utilizing the
2 compulsory unitization --

3 A Yes, sir, there were --

4 Q -- statute?

5 A -- I forget, two or three tracts.

6 Q Can you -- could you indicate those
7 tracts to me on this map?

8 A No. Let's see, I'm sure that by tomorrow
9 morning we could dig out the exhibits for that.

10 Q Fine, fine. In the, and as I say, I
11 haven't -- I haven't reviewed the orders that -- order or
12 orders that may have been issued regarding compulsory uniti-
13 zation in this matter. One of the requirements for compul-
14 sory unit -- to utilize that statute, it's under, I think,
15 Section 70-7-5, and it's paragraph B, a statement that the
16 reservoir or portion thereof involved in the application has
17 been reasonably defined by development, and one of the ques-
18 tions I have in reviewing the entire unit here, is the large
19 number of tracts which apparently have had no wells on them
20 and how -- how this -- how the justification was for saying
21 that these tracts had been reasonably defined by develop-
22 ment.

23 I'm looking up in, say, in the corner, in
24 this particular map there's a lot of writing on it, or
25 printing on it, it's difficult to tell, but say up in the

1 northeast corner of the map there, you have a number of
2 tracts up there, no wells, how was -- how was that justi-
3 fied?

4 A That was by geological inference and the
5 -- in a sense all of the pattern of the participating area
6 expansions themselves, the unit agreement calls for
7 expansion of participating area, that lands be brought into
8 participation which are either, number one, proved to be
9 productive in paying quantities; or number two, are
10 necessary for unit operations.

11 The analysis that we've made, the beliefs
12 that we have, is that those lands are necessary for unit
13 operations; the reason is that if someone came along and
14 drilled a well in that northeast part of the unit, got on
15 the gas cap, a gas well, then they could go to market with
16 the Unit's gas, and then by geological inference we believe
17 that that land is needed in the Unit.

18 Q And you were able to convince the
19 Commission or the Division at that point in time that such
20 was the -- such were the geologic conditions.

21 A Yes, sir. We brought that to the
22 Department of Interior, to the State Land Office, to the
23 Conservation Commission.

24 Q Thank you, that's all I have. Oh, excuse
25 me, I have one more question, Mr. Greer.

1 This is on another matter. On Tab -- un-
2 der Tab E, on page three, Exhibit One, I just want a little
3 information. Page three, yes, and I'm sure you've presented
4 this information already, and it's probably somewhere in
5 here if I could dig it out, but I thought you could get to
6 it more rapidly.

7 On page three you list a number of wells,
8 Canada Ojitos Unit E-6 through -- well, there are some other
9 wells not in the unit.

10 Could you tell me which -- which inter-
11 vals they are producing from, A, B or C?

12 A I believe all of these wells on that
13 schedule -- I'm looking at the schedule, a green sheet says
14 Page III.

15 Q That's correct.

16 A Yes, sir. The E-6 is all three zones; N-
17 31 is all three zones; I'm reasonably certain that the Tapa-
18 citos 4, the Howard 1-8 and Howard 1-11 are -- all three
19 zones are open.

20 Q Thank you.

21 MR. BROSTUEN: That's all I
22 have.

23 MR. LEMAY: Additional ques-
24 tions of the witness?

25 Any redirect, Mr. Carr?

1 MR. CARR: No redirect.

2 MR. LEMAY: If not, the witness
3 may be excused.

4 Call your next witness.

5 MR. CARR: I have one witness
6 and Mr. Kellahin has a couple of them.

7 MR. KELLAHIN: Mr. Chairman,
8 what's the pleasure on time this evening?

9 MR. LEMAY: I think we've
10 agreed pretty much we can stay till six. We'd like to
11 continue this on till six today, picking up at nine in the
12 morning, because I think we are running a little behind and
13 we need to utilize the time.

14 MR. KELLAHIN: Perhaps if I
15 could call Mr. Ellis at this time, there's a chance we might
16 be able to finish his presentation this evening.

17 MR. LEMAY: Yes.

18 MR. KELLAHIN: Mr. Chairman,
19 at this time I'd like to call Mr. Dick Ellis to the stand as
20 our geologic witness.

21 MR. LEMAY: Fine.

22 MR. KELLAHIN: Mr. Ellis has
23 already been sworn.

24

25

1

2

RICHARD K. ELLIS,,

3

being called as a witness and being duly sworn upon his

4

oath, testified as follows, to-wit:

5

6

DIRECT EXAMINATION

7

BY MR. KELLAHIN:

8

Q

Mr. Ellis, for the record would you

9

please state your name and occupation?

10

A

My name is Richard K. Ellis. I'm a geolo-

11

gic consultant.

12

Q

Mr. Ellis, have you previously testified

13

before the Oil Conservation Commission of New Mexico as a

14

petroleum geologist?

15

A

I have.

16

Q

And have you been retained by Sun Explor-

17

ation and Production Company to continue with your geologic

18

evaluation and studies of the Gavilan Mancos Area, as well

19

as the West Puerto Chiquito Mancos Pool?

20

A

I have.

21

Q

And pursuant to that employment have you

22

made a further geologic study with regards to the expansion

23

area that Mr. Greer proposes to include within the pressure

24

maintenance project that now exists for the Canada Ojitos

25

Unit?

1 A I have.

2 MR. KELLAHIN: Mr. Chairman, at
3 this time we tender Mr. Ellis as an expert petroleum
4 geologist.

5 MR. LEMAY: His qualifications
6 are accepted.

7 Q Mr. Ellis, the package of exhibits which
8 I have marked as Sun Exhibit Number Two, I believe, is this
9 a package of exhibits, the displays and the information and
10 conclusions depicted in this booklet, those -- do those
11 represent your personal opinions and conclusions?

12 A They are.

13 Q Did you prepare these displays or were
14 they prepared under your direction and supervision?

15 A They were.

16 Q Let me direct your attention to the first
17 page of the exhibit booklet that you prepared and ask you
18 first of all, sir, to identify the first display.

19 A The first display is a structure map on
20 top of what we call the Niobrara "A" Unit within the
21 Niobrara member of the Mancos formation.

22 Q Is the top of the Niobrara "A" Member the
23 structural point at which you and other geologists that have
24 worked this area and participated in the various operators
25 and working interest owners study groups have used as the

1 marker or the method by which to develop the structure?

2 A It is.

3 Q All right. What does it show you, sir?

4 A Very simply and directly, it shows a
5 varying amount of dip from the outcrop to the western bound-
6 ary of the pool, which is also coincident with the western
7 boundary of the proposed expansion area.

8 It also shows the strike is generally
9 north/south. There is a synclinal face at what we would
10 call a monocline which extends from the outcrop to the west
11 boundary of the pool. That syncline is approximately within
12 one mile of the western boundary of the pool.

13 Q How have you identified the area of the
14 thirteenth revision to the unit participation area?

15 A It's outlined in red.

16 Q And for purposes of this hearing, we have
17 called that the expansion area, have we not?

18 A That's correct.

19 Q And the existing pressure maintenance
20 project area is identified in what color?

21 A In the green outline.

22 Q So let's go on to the next page. What
23 have you prepared here, sir?

24 A This is a true scale section view, struc-
25 tural section view of the reservoir from the outcrop of the

1 west boundary of the pool.

2 Q What do you mean by a true scale?

3 A Basically, a horizontal and vertical
4 scale are the same, one inch equals in this case, I think,
5 one inch equals 8000 feet. That's incorrectly marked at the
6 bottom.

7 Q Describe for us how we know where each of
8 the cross sections are displayed within the project area and
9 the expansion area.

10 A From the previous exhibit we have marked
11 the locations of Sections A, B and C. They're oriented
12 approximately perpendicular to structural strike, which in
13 this case is slightly east of north, and that's all.

14 Q Let's start with the northernmost struc-
15 tural cross section, which is the top display on the second
16 page of the exhibit book and have you describe what -- what
17 it shows you.

18 A It shows a varying progression of dips
19 from the outcrop to the west boundary of the pool beginning
20 at about 53 degrees dip at the outcrop.

21 In the up-dip gas injection portion of
22 the project area we're approximately 5 degrees. At the Unit
23 No. 5 Well the measured dip, at least from the section
24 itself, was approximately 5 degrees.

25 Down in the withdrawal portion of the

1 reservoir near the left boundary of the section I've
2 presented, we're talking about dips, essentially flat to
3 approximately 2 degrees.

4 That same relationship applies for both
5 Sections B and C. We're beginning to see approximately 55
6 to 60 degree dips after the outcrop, rapidly decreasing into
7 the gas injection and withdrawal portions of the reservoir.

8 Q What do your structural exhibits show you
9 concerning the proposed expansion area?

10 A Both of the structural exhibits show that
11 the project area and the expansion area, as proposed, are
12 integral parts of -- of the structural entity, that being
13 the modified syncline that we've identified on the structure
14 map, that defines the West Puerto Chiquito Mancos reservoir.

15 Q Do you have a geologic opinion as to
16 whether the three zones of production in this interval, the
17 A, the B and C, each one individually is a continuous zone
18 or formation within this interval as we go across the exist-
19 ing area through the expansion area?

20 A I do, and they are continuous across the
21 pool as represented in the next exhibit, which is just an
22 induction log cross section across West Puerto Chiquito.
23 There's no horizontal scale implied here. The vertical
24 scale is as indicated at the bottom of the section.

25 We're showing the stratigraphic consis-

1 tency, again at this scale, we're showing the stratigraphic
2 consistency in the Upper Niobrara member specifically,
3 across the reservoir from the gas injection into Gavilan.

4 There are no significant thickness chan-
5 ges involved and lithologic changes from core examination
6 and also log examination don't appear to occur in any signi-
7 ficant fashion.

8 It also shows that the reservoir interval
9 we'll discuss in just a second consists of basically three
10 discrete units that we call the A, B and C units of the Nio-
11 brara. These units we know now from production tests,
12 fracs, and surveys, and core data, are responsible for all
13 the observed hydrocarbon production to date in both reser-
14 voirs, Gavilan and West Puerto Chiquito.

15 Q Turn to the next display. I believe
16 that's a type log, and which well have you used as a type
17 log.

18 A I used one of the gas injection wells,
19 which is the Unit No. B-18.

20 Q What does it show you?

21 A This is an induction log again kind of an
22 expanded scale with the typical reservoir section in the
23 pool. As I mentioned, this is in the gas injection area but
24 this log is typical of all the logs we've observed in the
25 area.

1 The colored and hachured area within the
2 A, B and C units are the discrete reservoir units that we've
3 identified in previous hearings, and as I mentioned just a
4 second ago, they're known through cores and production tests
5 and spinner surveys to have produced all the hydrocarbons,
6 significant hydrocarbons in both the project and expansion
7 programs.

8 These reservoir units, the ones that are
9 hachured, we've used observational data from the core to
10 learn a little bit about these sequences. Basically what
11 they are are highly laminated shales, siltstones, and car-
12 bonates that are dolomitized in places. This, the fact of
13 having dolomite in the reservoir is very significant, parti-
14 cularly for this reservoir. It creates a highly brittle and
15 fracture-prone lithology.

16 We think in the presence of the pronoun-
17 ced structural change along the monocline that we have
18 developed a high fractured reservoir as a result of that.

19 Q Now would you turn to the next page in
20 the exhibit book? Would you identify that for us, please?

21 A This is a compilation of data that's been
22 derived from an interpretation of surface fracture trends,
23 using both Landsat and aerial photography. This study was
24 conducted by the Canada Ojitos Unit.

25 It shows a series of regional and tec-

1 tonic fractures that are present in the area. As you can
2 see, the most -- other most significant part of this is that
3 there is a multi-directional orientation. No particular di-
4 rection appears to be dominant.

5 We feel that, you know, even though these
6 are surface indications, they do give us some clue as to the
7 distribution of fractures in the subsurface. They cannot be
8 be exactly coincident at the surface all the way down to the
9 reservoir at 7000 feet, but they do give us a pretty good
10 idea of what the tectonic and regional fracture distribution
11 is.

12 Q Is that an acceptable method of analysis
13 displayed by individuals of your profession to take surface
14 indications like this and project them as subsurface
15 orientations of fractures?

16 A It has been done, you know. It's
17 certainly -- certainly is a method that can be used; a good
18 first order approximation of the distribution in the subsur-
19 face.

20 It also shows, if I can continue, it also
21 shows a couple of the more significant trends that we feel
22 have appeared to localize some high capacity, high volume
23 production in the reservoir, one of those being the fracture
24 orientation at approximately north 60 degrees west, in the
25 north half of Township 25 North, 1 West. Everybody (not

1 clearly understood) difficult to identify. We could have
2 highlighted it but it's a pretty prominent trend along which
3 most of the high volume Canada Ojitos Unit wells occur.

4 There's also another trend pointed at
5 about 20 degrees West in the west half of Township 25 North,
6 1 West, along which the highest volume of wells in the unit
7 occur. Both of these fracture trends cross the expansion
8 area and at least a portion, if not all, of the existing
9 project area.

10 We feel that the fracture study at least
11 indicates a good chance for connection across all of the
12 expansion and project area.

13 Along these same lines, one of the early
14 conclusions that was reached in conjunction with the court-
15 ordered interpretation study, where was also a electromag-
16 netic study done in a 4-section area in the northwest corner
17 of 25 North, 1 West. Both sets of data appear to support
18 the theory proposed by Mr. Greer concerning the presence of
19 fracture blocks. the orientation and presence of fracture
20 blocks in the reservoir.

21 Q When you said that the existing project
22 area and the expansion area are connected, describe for me
23 what you're meaning by connected.

24 A Connected at least in a vertical and --
25 connected in a vertical sense by fractures which in the sub-

1 surface are probably cutting the reservoir units.

2 I don't know if that answered your ques-
3 tion.

4 Q My question was whether or not there is
5 sufficient information from which you as a geologist can
6 conclude that there is natural flexion to the extent that
7 the A, the B, and the C zones at various points in the
8 expansion area and in the existing area are connected.

9 A That's a reasonable conclusion from the
10 frac distribution we've observed on the surface.

11 Q When you're looking at the surface,
12 describe for me whether or not the mechanism that displays
13 the fracturing as depicted on the surface is also the same
14 mechanism that would have operated to fracture the Mancos
15 itself?

16 A Most geologists and people that study
17 this type of thing are convinced that the existence of
18 surface fracture trends are indicative of the tectonic
19 forces that were operative in the area. This particular
20 distribution that you see here is exactly what we would
21 predict would occur in a situation where you have
22 compressional forces operating at approximately a right
23 angle to the structural strike; in this case, north/south.

24 These resulting fracture trends that are
25 oriented north and southwest and northwest/southeast are

1 an expected outgrowth of those compressional forces in the
2 northeast flank of the basin.

3 Q Do you see any geologic event or feature,
4 either structural or stratigraphic, that would preclude
5 geologically the expansion area from being connected to the
6 existing project area?

7 A I do not.

8 Q Let's turn now to the last page of the ex-
9 hibit book, Mr. Ellis. Would you identify this for me?

10 A This is a -- this is a schematic of the
11 reservoir by which I think we may present a geologic char-
12 acterization of West Puerto Chiquito and -- and Gavilan.
13 It's not meant to imply any scale. There's no vertical or
14 horizontal scale to apply here. We are qualitatively show-
15 ing the steep dips on each side of the reservoir flattening
16 out to a syncline at approximately the west boundary of the
17 West Puerto Chiquito and the proposed expansion area, and
18 then also what's been referred to as the Gavilan over to the
19 west of that.

20 What I've done here is depict the reser-
21 voir as a series of three discrete, vertically separated,
22 reservoir units, the red being the diagrammatic indication
23 of the A unit; yellow, the B unit; and C, within the blue
24 unit.

25 They're essentially constant in lithology

1 throughout the pool and also the adjoining pool, Gavilan;
2 and in fact, pretty much all over the southeast flank of the
3 basin they're consistent in lithology.

4 These vertically stratified units are
5 connected vertically, we feel, along faults and large
6 fractures and in conjunction are next to the wellbores.

7 We've also observed from both production
8 data and observations, visual observations in the core, lo-
9 cal areas where you can have tight intervals that appear not
10 to have any apparent link to the high capacity fracture sys-
11 tem required for commercial production.

12 Q Did you find any agreement or correlation
13 between the good wells and the fracture system versus pool
14 wells and their location to a fracture?

15 A There's a rough correlation. I think
16 that I mentioned those two prominent fracture trends, the
17 Gallegos trend and the trend to the southwest of that. Most
18 of the high volume wells, apparently, do fall within
19 proximity to those -- those established trends. There is a
20 rough correlation, yes.

21 Q When we look at this display, approximate
22 for me where you have located the western boundary of the
23 West Puerto Chiquito Pool and the eastern boundary of the
24 Gavilan Mancos Pool/

25 A Okay, although not depicted on the

1 sketch, it would be approximately the low point just as we
2 roll out of the low point in the syncline.

3 Q Based upon your studies of the geology,
4 Mr. Ellis, what are your geologic conclusions and observa-
5 tions about the reservoir, particularly with regards to the
6 expansion area and the existing project area?

7 A I feel based on a study I've conducted in
8 conjunction with many of the other people who work this re-
9 servoir, that the geologic data, that's structural, strati-
10 graphic, and lithologic, is conclusive on the issue of con-
11 nection and I feel pervasive communication between the pro-
12 ject area and the expansion area.

13 In other words, you know, the success of
14 the existing project area, I think, is inextricably linked
15 to the operations in the proposed expansion area from a geo-
16 logic standpoint.

17 Q When you talk about in a geologic sense
18 the communication of the expansion area with the existing
19 project area, how are you defining that word?

20 A Basically that conclusion is reached by
21 the information gathered from the fracture examination, the
22 surface fracture examination, you know, observed from pres-
23 sure data in the (unclear) interference data.

24 MR. KELLAHIN: Mr. Chairman,
25 that concludes my direct examination of Mr. Ellis.

1 We would move the introduction
2 of Sun Exhibit Number Two.

3 MR. LEMAY: Without objection,
4 Sun Exhibit Number -- is that Two --

5 MR. KELLAHIN: Yes, sir.

6 MR. LEMAY: -- will be entered
7 into evidence.

8 Mr. Douglass, any questions of
9 the witness?

10 MR. DOUGLASS: (Mr. Douglass
11 responded but could not be clearly heard by the reporter.)

12 MR. LYON: I'm ready.

13 MR. LEMAY: Go ahead.

14 MR. DOUGLASS: Does Mr. Carr
15 have any questions?

16 MR. CARR: No, I do not.

17

18 QUESTIONS BY MR. DOUGLASS:

19 Q Mr. Ellis, with reference to your struc-
20 ture map, the first item in the brochure here, do you show
21 any geological separation from north to the south from this
22 structure?

23 A No, we do not.

24 Q You also don't show any geological separ-
25 ation to the west, is that correct?

1 A No, we do not.

2 Q You also don't show any geological separ-
3 ation from the west, is that correct?

4 A That's correct.

5 Q This structure map, is it very similar to
6 the one Mr. Greer has that we visited with him about this
7 morning?

8 A Somewhat different. There's a few addi-
9 tional data on it.

10 Q But essentially you have, relative to the
11 structure itself, steeply dipping on the east and then you
12 get to the flat area, which is in this case almost exactly
13 coincidental with the proposed expansion area, is that cor-
14 rect?

15 A That's correct. The steeply dipping part
16 of that structure map you alluded to there is not, perhaps,
17 as (unclear) as it might be, but I'd just make a quick com-
18 ment that we used three different contour intervals in here.
19 It's very unusual to have dips varying from 60 degrees to
20 flat in a single structure map, so that's one of the reasons
21 why the structure (unclear) wouldn't work.

22 Q And Exhibit Two, are those the structural
23 sections?

24 A That's correct.

25 Q Moving across it? And starting from west

1 to east, does the Niobrara section -- am I pronouncing that
2 correct, Niobrara?

3 A Niobrara.

4 Q Niobrara, is it -- is the -- does that
5 section on the logs appear to be roughly the same in each
6 one of the wells as you go from west to east, shown on these
7 structural cross sections?

8 A That's correct.

9 Q And so looking at those particular log
10 sections, on each of the wells shown on your structural
11 cross section you don't see any separation or any geologi-
12 cal division, is that correct?

13 A If you mean by separation, fault separa-
14 tion, no, we don't.

15 Q Or any other kind of geological separa-
16 tions.

17 A Well, as indicated, there's no lithologic
18 change, no apparent stratigraphic thickness change. So.

19 Q On each of these do I see that the east-
20 ernmost well that you have on your structural cross section
21 is a dry hole?

22 A Yes, they are. There -- you'll also note
23 the number right next to the dry hole symbol indicates
24 they've been projected into the last section. If you'll
25 look at the structure map previous to that, there's an in-

1 dentation which reflects some previous production developed
2 by Sotex (sic) back in the late fifties. That would hinder
3 a well (unclear) of its performance never has appeared to be
4 connected in any fashion in the Canada Ojitos Unit, so in a
5 projection of those wells versus control points for my cross
6 section back to the outcrop, although they appear within the
7 unit boundary, they're not.

8 Q If I understand what you just said is
9 basically one well and maybe more that appear to have the
10 same section, you actually couldn't divide it from the pro-
11 ducing wells but they appear to be separated.

12 A Well, no, in a log sense, yeah, they ap-
13 parently have no -- no difference from the producing wells,
14 and that's typical all over the southeast part of the field.

15 Q The fourth sheet, I believe, is a -- you
16 can skip the third one, I don't have anything on it to ask
17 him.

18 Well, the third one, you show the A, B
19 and C intervals. That's the first time you show them, I be-
20 lieve, on the -- in the exhibit here, is that correct?

21 A That's correct.

22 Q And do I understand your testimony to be
23 from a geological standpoint you believe those, A, B and C,
24 are in natural communication with each other because of
25 natural fracing, natural fractures.

1 A And also wellbore communication along
2 wellbores.

3 Q But that's not considered natural commun-
4 ication, is it?

5 A No.

6 Q My question is do you consider the A, B
7 and C in this producing area that we're involved with here,
8 to be in communication with each other due to natural frac-
9 turing?

10 A Natural fracturing in the reservoir.

11 Q In the reservoir, right.

12 A Limited, limited communication vertical-
13 ly, yes.

14 Q Limited communication.

15 A Enough to be an equalization of pressures
16 vertically.

17 Q And in geological time or over producing
18 time?

19 A Well, probably both.

20 Q Well, obviously, if it's over producing
21 time it's going to be over geological time.

22 A I was concerned about more than over a
23 man's history of producing the reservoir. That's what I in-
24 dicated.

25 Q You say there's effective communication

1 between A, B and C in natural fractures in the producing
2 area through (unclear) years.

3 A Yes, I do.

4 Q Then the fourth sheet, there's areas that
5 have little pluses in them. I didn't understand what those
6 areas mean --

7 A Okay, the --

8 Q -- in the A, B and C zones.

9 A -- combination of coloring and hachuring,
10 not one without the other, would indicate the zones within
11 which we have production survey data, production testing da-
12 ta, and also visual observation of core data would indicate
13 all fo the significant hydrocarbons produced to date in both
14 reservoirs have issued from those hachured zones.

15 Q Are you saying that the other part that
16 doesn't have a hachured part is not productive?

17 A No, they are productive. There's minor
18 production observed in many spots.

19 Q The second question on this B-18 Well, I
20 believe this is an injection well, is that correct?

21 A That's correct.

22 Q All right, then I believe Mr. Greer's al-
23 ready indicated that he thought it was tight. Do you agree
24 with that, that it's in the tight area?

25 A Yeah, most of the injection portion of

1 the reservoir is fairly tight.

2 Q You can't tell from the logs, though,
3 whether it's tight or not, can you?

4 A Not on an injection log, that's true.

5 Q And then the fifth sheet, I believe, is
6 your -- it says fracture interpretation. That's surface
7 fracture interpretation, is that correct?

8 A That's correct.

9 Q It is not being projected to the reser-
10 voir.

11 A No. It may not be an accurate means of
12 showing distribution in the -- in the subsurface.

13 Q And I take it from what you indicated
14 that this is certainly better than voodoo but it's not yet
15 perfected. Would you agree with that?

16 A Oh, I think it's a whole lot better than
17 voodoo. It's a -- it's certainly, as I indicated, a good,
18 first order approximation of the fracture distribution in
19 the subsurface at reservoir depth.

20 Q Doesn't -- doesn't tell you whether you
21 have one or more reservoirs underneath the ground, does it?

22 A No.

23 Q And then the -- the last sheet, as I un-
24 derstand it, is just a schematic drawing with reference to
25 your interpretation of the Gavilan and West Puerto Chiquito,

1 is that right?

2 A That's correct.

3 Q The -- you do show some tight zones in
4 the A, B and C, is that right?

5 A They appear in various parts throughout
6 there.

7 Q And when you say tight zones you mean
8 that fluids can't even flow through those areas?

9 A Oh, I think there's probably a fluid flow
10 and certainly pressure transient movement through that por-
11 tion of the reservoir. They're not meant to imply that,
12 either, that they extend for any distance out of the plane
13 of the actual sheet in which they're presented.

14 Q When you say -- when you say tight,
15 you're just talking about relative?

16 A Relatively tight, right.

17 Q Have you made any studies to determine
18 the amount of fluid that can move through these tight zones?

19 A Oh, I'm not an engineer.

20 Q As a geologist, when you're trying to de-
21 termine whether there's effective communication in a reser-
22 voir, do you normally rely on the pressure data and inter-
23 pretation of that by reservoir engineers to tell you whether
24 there is effective communication in the a reservoir?

25 A Oh, no. First of all, I'd certainly use

1 whatever geologic tools are available to -- to establish
2 that fact.

3 That would be supportive data and just as
4 the (unclear) supports the engineering data.

5 Q I understand, but there's nothing in geo-
6 logy that tells you how effective communication is between
7 two wells, is there?

8 A Not, not in any quantities, yes, that's
9 true.

10 MR. DOUGLASS: Pass the wit-
11 ness.

12 MR. LEMAY; Thank you, Mr.
13 Douglass.

14 Additional questions of the
15 witness?

16 Mr. Lyon.

17

18 QUESTIONS BY MR. LYON:

19 Q Vic Lyon, Chief Engineer for the Commis-
20 sion.

21 I'd like to ask you a couple questions
22 about your exhibit on the Landsat fractures.

23 The traces of the fractures that you've
24 shown here are, I assume, the occurrence of a fracture at
25 the surface.

1 A As observed on photos, yes.

2 Q Do you have any information or do you
3 have any opinion as to whether or not those fractures extend
4 truly vertically from the -- from the surface or are
5 oriented in any particular direction as they progress down
6 from the surface?

7 A Well, we -- we think the orientation of
8 the fracture distribution in the subsurface will be very
9 similar to this because of the -- you know, the expected
10 distribution based on tectonic forces that are out there.

11 In this case we know, for example, that
12 the north/south strike along the monocline would have indi-
13 cated prior tectonic forces (unclear) that are operating
14 perpendicular in that area.

15 As a result of that you get a distribu-
16 tion, the orientation northwest/southeast and a compliment-
17 ary direct, northeast/southwest, and we would expect that
18 distribution, that particular orientation to be present in
19 the subsurface.

20 As to the vertical or near vertical
21 nature of these fractures, we don't make that determination
22 based on our examination of photos. In this particular case
23 it was wisely decided by the unit to support the fracture
24 study using a (not understood) magnetic study that was able
25 to determine that the fractures vary anywhere from an in-

1 clination of 20 degrees off vertical to essentially verti-
2 cal. So they are near vertical in every case.

3 Now, they wouldn't necessarily be
4 through-going to reservoir depth, is the point I think I was
5 making.

6 Q Well, for instance, there are places in
7 here where the fractures have enclosures, where there is a
8 discrete block shown here.

9 If these -- if these fractures were
10 parallel, then you would expect a block of the same size at
11 reservoir depth, same shape.

12 Q Yes, they will be approximately the same
13 size. The block size will be approximately the same or sim-
14 ilar to that.

15 Now, there's also a scale of observation
16 problem in here. We're obviously not going to pick up par-
17 ticular -- we can get all the mechanics to do an interpreta-
18 tion but particularly in an area where you have no other
19 indication and you do (not clearly understood) has been
20 established for us, and you also have a problem of having
21 (unclear) around the surface in the area, and those, the
22 combination of those two things and also the steep (not
23 clearly understood) makes it very difficult to see a lot of
24 fractures. I mean, some of the fractures that aren't, you
25 know, obvious on the photos, you just kind of miss a lot, is

1 what I mean to say.

2 But we have picked up a distribution here
3 that I think is accurate in terms of, you know, what we'd
4 expect in the subsurface.

5 Q And are you talking about the frequency
6 of occurrence or are you talking about a rigorous projection
7 of reservoir data of the same type, same orientation of
8 fractures as you see here on the surface?

9 A The frequency of occurrence is probably
10 going to be very similar to what we observe on the surface.

11 What I just tried to explain was that
12 there could, in fact, be many more fractures that we were
13 not able to pick up because of the conditions on the sur-
14 face, but the frequency that we observed here we'd certainly
15 expect in the subsurface, and as far as any kind of rigorous
16 block size that we could apply using this interpretation, I
17 sure wouldn't want to hang my hat on a rigorous block size.

18 It does indicate that you've got a bottom
19 hole set that creates fracture blocks.

20 MR. LYON: That's all I have.

21

22 QUESTIONS BY MR. LEMAY:

23 Q Mr. Ellis, I have two quick questions.

24 One, did you extend your correlations in-
25 the Gavilan area, and also maybe a little bit to the west of

1 that when you were analyzing the productive interval, the
2 reservoir interval?

3 A Yes, we've done quite extensive work on
4 that in Gavilan.

5 Q Is that interval correlative with the
6 Gallup interval as you get into the basin?

7 A Probably not. If what you're referring
8 to are the Gallup sands, why, that is definitely a differ-
9 ent stratigraphic interval and also a different strati-
10 graphic age.

11 What's commonly referred to as Gallup
12 sand production (not understood.)

13 Q Did you take that reservoir interval and
14 project it into any known formation name into the interior
15 of the basin or just into the Mancos interval?

16 A It is actually under the Gallup in the
17 basin. This highly resistive character you observe in the
18 Niobrara over here on the east flank is -- is still present
19 as you work your way, particularly northwest along the gross
20 paleo (not understood) that direction.

21 But the Gallup itself, you know, that --
22 that particular nomenclature is probably misleading in the
23 sense that, you know, it should refer specifically to that
24 sand interval that develops below what we call the Niobrara
25 on the east flank.

1 This does exist out in the basin, though.
2 It's a very persistent unit. In fact the same thing, pro-
3 ducing interval produces in the fractured Niobrara fields on
4 the northwest hogback.

5 Q One other question. Is there geologic
6 evidence you see to limit production either to the north or
7 to the south in the Canada Ojitos Unit?

8 A No, there isn't.

9 Q Is there any evidence to suggest the
10 field does go further north or further south than the cur-
11 rent confines of the unit?

12 A You can certainly have reservoir capacity
13 all along this monocline bearing north and south. There is
14 going to be some definite sweet spots which are going to re-
15 lated to the presence to tectonic fractures, I think.

16 Just about anywhere on the southeast
17 flank, as we've observed in West Lindrith and parts of the
18 Gavilan, you're going to run into areas that are just not
19 commercial production; but as far as pressure development,
20 commercial reservoir development, I think your proximity to
21 the monocline is going to control the, you know, possible
22 existence of commercial production.

23 Q With your analysis of the fracture pat-
24 tern, have you looked at horizontal fractures at all?

25 A Well, I just don't really know how to go

1 about addressing that problem. We, you know, of course
2 looked at the core with that in mind, but I don't think we
3 were convinced that, you know, any fractures moving in ap-
4 proximately all directions would be anything to look at.

5 MR. LEMAY: Additional ques-
6 tions of the witness?

7 If not, he may be excused.

8 Mr. Kellahin, do you want to
9 put someone else on or not?

10 MR. KELLAHIN: I'm about ready
11 for a break, Mr. Chairman.

12 MR. LEMAY: Let's take ten min-
13 utes.

14

15 (Thereupon a recess was taken.)

16

17 MR. LEMAY: We're just going to
18 go on the record here to -- to adjourn the meeting till to-
19 morrow.

20 We'll reconvene tomorrow at
21 9:00 o'clock and at that time, I think, I have one more wit-
22 ness, Dr. Lee, and then do you plan to have one witness, Mr.
23 Douglass?

24 MR. DOUGLASS: Yes, sir.

25 MR. LEMAY: Were there any

1 other witnesses that were going to be called tomorrow?

2 Okay, so adjourned to 9:00 to-
3 morrow.

4
5 (Hearing adjourned at 5:45 p.m. until 9:00 o'clock a.m. on
6 the 18th day of March, 1988.)

7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

C E R T I F I C A T E

I, SALLY W. BOYD, C.S.R., DO HEREBY
CERTIFY that the foregoing pages numbered 1 through 245,
inclusive, constitute a full, true and correct transcript of
the portion of the hearing in New Mexico Oil Conservation
Commission Case 9111 heard on 17 March 1988, and continued
until 18 March 1988, reported by me to the best of my
ability.

Sally W. Boyd CSR

1 STATE OF NEW MEXICO
2 ENERGY, MINERALS, AND NATURAL RESOURCES DEPARTMENT
3 OIL CONSERVATION DIVISION
4 STATE LAND OFFICE BLDG.
5 SANTA FE, NEW MEXICO

6 17 March 1988

7 COMMISSION HEARING

8 IN THE MATTER OF:

9 Application of Benson-Montin-Greer CASE
10 Drilling Corporation for the expansion of the BMG West Puerto Chiquito- 9111
11 Mancos Pressure Maintenance Project
12 Area, Rio Arriba County, New Mexico.

13 BEFORE: William J. Lemay, Chairman
14 Erling Brostuen, Commissioner
15 William R. Humphries, Commissioner

16 TRANSCRIPT OF HEARING

17 VOLUME II OF THE TRANSCRIPT IN NMOCC
18 HEARING IN CASE NUMBER 9111 AS CONTINUED
19 ON 18 MARCH 1988.

20 A P P E A R A N C E S

21 SAME AS VOLUME I.
22
23
24
25

1

2

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

REPORTER'S NOTE: Thereafter on the 18th day of March, 1988, the hearing in NMOCC Case Number 9111 before the Oil Conservation Commission was reconvened at 9:00 o'clock a.m. and commenced at 9:30 o'clock a.m., at which time the following proceedings were had, to-wit:

MR. LEMAY: We shall resume, excuse the delay, unavoidable. Resume with Mr. Kellahin.

MR. KELLAHIN: Thank you, Mr. Chairman, at this time we will call Dr. John Lee.

W. JOHN LEE,
being called as a witness and being duly sworn upon his oath, testified as follows, to-wit:

DIRECT EXAMINATION

BY MR. KELLAHIN:

Q Dr. Lee, for the record would you please state your name, sir?

A My name is John Lee.

Q And what is your occupation, Dr. Lee?

1 A I'm a consultant for S. A. Holdedge and
2 Associates, a petroleum engineering consulting company in
3 College Station, Texas.

4 I'm also a professor of petroleum engine-
5 ering in Texas A & M University.

6 Q Have you previously testified before the
7 New Mexico Oil Conservation Commission as a professional
8 petroleum engineer?

9 A Yes, I have.

10 Q You testified before the Commission back
11 in March and April of 1987 with regards to the Gavilan
12 Mancos hearings conducted during that period of time?

13 A That's correct.

14 Q And since that period of time you've
15 continued to study and be involved in the evolution of
16 information and the analysis of that information in the
17 Gavilan Mancos Pool?

18 A That's right.

19 Q And have you reviewed and studied
20 information from the Canada Ojitos Unit?

21 A Yes, I have.

22 Q And in addition, have you reviewed and
23 studied information from the West Puerto Chiquito Mancos
24 Pool?

25 A Yes, I have.

1 Q In addition, Dr. Lee, have you prepared a
2 study of the major requirements for the expansion of the
3 pressure maintenance project into what we've identified yes-
4 terday as the expansion area?

5 A Yes, I have prepared such a study.

6 MR. KELLAHIN: At this time,
7 Mr. Chairman, we would tender Dr. Lee as an expert petroleum
8 engineer.

9 MR. LEMAY: His qualifications
10 are accepted.

11 Q Dr. Lee, let me have you identify what is
12 marked as Sun Exhibit Number One. What is that, sir?

13 A That's an exhibit in which I've presented
14 my conclusions in this study and the evidence on which those
15 conclusions are based.

16 Q What, in your opinion, are the major re-
17 quirements that must be satisfied for the expansion of the
18 existing pressure maintenance project to include the expan-
19 sion area that we've identified?

20 A Well, in my opinion there are two major
21 requirements which must be satisfied and these are: First,
22 we need to establish that there's effective pressure commun-
23 ication between the existing pressure maintenance project
24 area and the expansion area; and secondly, we need to estab-
25 lish that the pressure maintenance - gas injection program

1 in the on-going unit has increased recovery in the project
2 area, and can be expected to continue to do so in the expan-
3 ded project area in the future.

4 Q Apart from the two major requirements for
5 the expansion area approval, have you made a study to deter-
6 mine whether there were any additional benefits to expanding
7 the project area into the expansion area?

8 A Yes. In addition, I've found that there
9 is an additional benefit and that would come from installa-
10 tion of a gas plant and additional hydrocarbon recovery
11 which would result from gas cycling in that plant.

12 Q In pursuing your study, Dr. Lee, have you
13 utilized the available field data in making your study?

14 A Yes, I have.

15 Q And have you been able to reach any con-
16 clusions?

17 A Yes, I have.

18 Q What are those conclusions, sir?

19 A Well, to summarize the major conclusions,
20 first, on the issue of pressure communication, my conclusion
21 is that the existing pressure maintenance project area and
22 the expansion area are in effective pressure communication.
23 That's as evidenced by interference tests and other data.

24 In fact, in pursuing the study I found
25 that no interference test run between wells in the unit has

1 ever failed to show communication in the sense of a pressure
2 response.

3 Then on the second issue, improved recovery
4 attributable to pressure maintenance - gas injection,
5 what I found is that gravity drainage, and by that I mean
6 migration of gas up-structure and oil down-structure, is occurring
7 in the Canada Ojitos Unit, and evidence of this is
8 provided by production of oil at low gas/oil ratios in the C
9 zone completions despite the fact that the reservoir pressure
10 has dropped below even 1000 psi, which is substantially
11 below the original bubble point pressure in the reservoir,
12 and if gravity segregation were not occurring, if instead,
13 solution gas drive were the dominant drive mechanism, the
14 gas/oil ratios would be increasing at this lower pressure
15 level.

16 The second conclusion in this area is
17 that some computer reservoir simulation calculations, which
18 I have made, these calculations show greater recovery at a
19 given production rate with pressure maintenance than without
20 pressure maintenance, except at very high rates at which solution
21 gas drive would become more dominant.

22 The third conclusion is that simulator
23 calculations show that recovery increases in the Unit decrease
24 at a rate -- excuse me, recovery increases in the
25 Unit, as rate decreases these recoveries increase because

1 and oil can segregate efficiently under the influence of
2 gravity flow rates but it can't segregate efficiently at
3 high rates.

4 And then the final conclusion has to do
5 with gas cycling, and what we found here was that additional
6 liquid recovery due to the gas plant could be increased by
7 about 700,000 barrels with this process.

8 Q In dealing with your opinions and fulfil-
9 ling the requirements you've set forth for the approval of
10 the expansion area, Dr. Lee, the first step that you've ana-
11 lyzed is pressure communication, is that not true?

12 A That's correct.

13 Q The reason to examine the extent and the
14 effectiveness of pressure communication between the expan-
15 sion area and the existing project area is for what purpose?

16 A Well, if the two areas are not in pres-
17 sure communication, then it serves little point to establish
18 that there is a very efficient gravity drainage process
19 going on with the existing unit. We must show that the two
20 areas are in communication in order for this efficient re-
21 covery to have some meaning as evidence to support expansion
22 of the pressure maintenance area.

23 Q So as a predicate for the balance of your
24 study, you needed to first determine and satisfy for your-
25 self that there was pressure communication between the two

1 areas?

2 A That's correct.

3 Q And what did you conclude?

4 A My conclusion is that the existing pres-
5 sure maintenance project area and the expansion area are in
6 effective pressure communication.

7 Q What is the basis upon which you have
8 evaluated and determined that conclusion is fair and appro-
9 priate?

10 A Well, the basis -- there are really sev-
11 eral bases. To itemize these, first I would mention, as I
12 did in my summary, that interference tests show pressure
13 communication over widespread areas within the expansion
14 area and between wells in the existing unit, and the pro-
15 posed expansion area.

16 The map from Mr. Greer's black exhibit
17 book, Section G, summarize those tests in which pressure
18 communication has been established. I've simply made a copy
19 of that map to re-focus on the results of these interference
20 tests, and that map is the figure that I have labeled Figure
21 PC-1, which is found on page eight of this exhibit booklet.

22 Q It's the figure immediately after the
23 written narrative, after page seven?

24 A Yes, that's correct, and this -- this
25 figure simply shows lines between those well pairs in which

1 a pressure response has been seen due to either a fracture
2 treatment or some sustained production or injection in an-
3 other well.

4 The second basis for my conclusion is
5 that not only did we see pressure response in wells offset-
6 ting wells being fractured hydraulically in the fracture
7 pulse testing work, but I want to emphasize that these re-
8 sponses were seen very rapidly and over large distances.

9 The reason I want to emphasize that is
10 because that indicates high formation permeability. We
11 might get different estimates of what that permeability is,
12 depending on how we approach the analysis, but the inescap-
13 able conclusion is that the permeability is very high, and
14 the reason that I emphasize that is that high permeability
15 is the key to effective gravity drainage.

16 Again, just to bring focus on this key
17 point, I've reproduced a figure I've entitled Figure PC-2,
18 which is on page nine of my exhibit booklet.

19 This is the response to a fracture treat-
20 ment of COU D-17 in Well A-20, and the point I want to em-
21 phasize is that in this example, which is typical of our
22 frac pulse tests, a response was seen in something like four
23 or five hours. It's a little hard to read the time scale
24 exactly because it's a logarithmic scale, but just reading
25 on the scale we see that somewhere near four days the

1 fracture treatment occurred and four or five hours later a
2 response was seen.

3 These two wells happen to be about a mile
4 apart, thus emphasizing the point that we see rapid response
5 over large distances, indicating high permeability.

6 Q The D-17 well and the A-20 well are both
7 wells in the expansion area?

8 A They're -- these are -- these particular
9 wells, D-17, let's see, I think we'd probably need to look
10 at a pay zone map.

11 The D-17 well is located about midway
12 north and south in the expansion area and A-20, about a mile
13 below, or south, of the D-17, on the edge of the expansion
14 area.

15 I think you can find this on any of the
16 several maps that we have. The one that I'm referring to now
17 specifically is in the brown exhibit book, Section C, a map
18 on the second page of that booklet.

19 Q In addition to the interference test and
20 the pressure response observed in these wells, what other
21 evidence can you cite that supports your conclusion about
22 the effective pressure communication between the expansion
23 area and the existing project area?

24 A Well, I would again emphasize that in no
25 case in which an interference test has been run, either in

1 the existing unit, or between wells in the existing unit and
2 the expansion area, or between wells in the expansion area
3 itself, have we failed to see communication in the sense of
4 a pressure increase due to, say, injection of fracture
5 fluid.

6 Other evidence has been presented by Mr.
7 Greer and I don't want to spend a lot of time restating what
8 he has stated, so I simply summarized here the other evi-
9 dence that he has cited supporting pressure communication.

10 The first of these items, quickly, was
11 over-injection and the basic point here was that injection
12 into the reservoir between July '87 and November '87 and No-
13 vember '87 to February, 1988, there has been over-injection;
14 that is, there's been more injection than there has been
15 withdrawals in the existing project area and yet the bottom
16 hole pressures have not increased, even though this over-
17 injection has occurred.

18 The second point to summarize quickly
19 from Mr. Greer's work, which is work on pressure gradients,
20 and the essential point here was that pressures near indivi-
21 dual wells decrease in a regular fashion, starting at the
22 gas injection wells to the rest of the unit, going on down
23 through the existing pressure maintenance project area and
24 on into the proposed expansion area.

25 The third point that Mr. Greer made was a

1 pressure increase in shut-in wells and the main issue here
2 was that pressures continued to build up in observation
3 wells, specifically wells B-29 and B-32, which are in the
4 proposed expansion area, following a 3-day shut-in period,
5 November 16th to 19th, 1987, and for ten further days, and
6 the source of this continued increase in pressure, in my
7 judgment, was the higher pressures in the existing project
8 area, which show communication between the existing area and
9 that expansion area.

10 The next point from Mr. Greer's evidence,
11 gas/oil ratios, here Mr. Greer simply shows that the pro-
12 ducing gas/oil ratios in the proposed pressure maintenance
13 project area were substantially lower than those in Gavilan,
14 and I've used the word "adjoining" Gavilan wells here and,
15 as we clarified yesterday, we're really talking about all of
16 Gavilan here, the gas/oil ratio is substantially lower in
17 the pressure maintenance area than in Gavilan.

18 This implies to me that the -- that the
19 wells in the Canada Ojitos are being fed oil by gravity
20 drainage from unit wells to the east and up-structure,
21 which, of course, will require pressure communication.

22 Finally, Mr. Greer mentioned the pressure
23 history of observation well C-34 and also of observation
24 well B-17, and the main point here was that increases and
25 decreases in pressure in these wells could be correlated to

1 changes in induction -- injection and production rates with-
2 in the unit, which again implies pressure communication.

3 And then the final point, the pressure
4 decline in the expansion area found in Section K of the
5 brown book, the essential point here was that the pressure
6 maintenance project is maintaining pressure in the proposed
7 expansion area. This is reflected particularly in the ob-
8 servation well D-17 in the expansion area at times of re-
9 duced withdrawals from Gavilan, and what the evidence showed
10 there, was that the rate the pressures decline is -- is not
11 steep at all despite withdrawals from the fields generally,
12 which implies there is pressure support to those wells,
13 again implying pressure communication.

14 Q Do you have an opinion, Dr. Lee, as to
15 whether or not there is sufficient field data that you have
16 studied establishing adequate and sufficient pressure com-
17 munication between the two areas, that you then could con-
18 tinue on with the balance of your study?

19 A That's correct. I have concluded that.

20 Q Your second major requirement for the ex-
21 pansion of the pressure maintenance project into the expan-
22 sion area was to determine, first of all, whether or not you
23 could project or see the improved recovery caused by pres-
24 sure maintenance?

25 A That's correct.

1 Q And what did you conclude?

2 A Well, I summarize my conclusions here on
3 page ten of my exhibit booklet.

4 The first of these conclusions is that
5 gravity drainage, or gravity segregation, pseudonyms for the
6 same phenomenon, which means migration of gas up-structure
7 under the influence of gravity and migration of oil down-
8 structure, I've concluded that this segregation is occurring
9 within the Canada Ojitos Unit.

10 The second conclusion is based on some
11 reservoir simulator calculations. These calculations show
12 greater recovery at a given production rate with pressure
13 maintenance than without pressure maintenance, and I want to
14 emphasize greater recovery at a given production rate if you
15 maintain the pressure than if you don't.

16 And the third conclusion, also based on
17 simulator calculations, here we show that recovery increases
18 in the unit as rate decreases because gas and oil can segre-
19 gate efficiently under the influence of gravity at low rates
20 but it can't segregate efficiently at high withdrawal rates.

21 Q Do you find, sir, that there is field
22 evidence that pressure maintenance is improving recovery?

23 A Yes, I have found field evidence that
24 pressure maintenance is improving recovery, and I have
25 summarized this evidence on the page that I've labeled IR-2

1 and IR-3 and IR-4. These are on pages 17, 19, and 20 of the
2 exhibit book.

3 All right, turning first to Figure IR-2
4 on page 17, This is our field evidence, and basically it's
5 this:

6 We have noted that the A and B zones have
7 been invaded by injected gas. Production logs, which Mr.
8 Greer presented yesterday, from the Unit wells L-27 and B-32
9 indicate this invasion of injected gas.

10 Production logs in the Unit Wells F-30
11 and B-32, though specifically indicated that in the C zone,
12 which has not yet been invaded by injected gas in the down-
13 structure wells, in these wells these production logs pro-
14 vide direct evidence that production is still at low gas/oil
15 ratio.

16 Now, there are two other wells that I
17 want to comment on, Wells F-18 and B-29.

18 These two wells have not had production
19 logs run but, by analogy, that is, by proximity to F-30 and
20 B-32, and by comparable producing gas/oil ratios, we infer
21 that also they are producing only modest amounts of free gas
22 from the C zone, producing gas at something close to the
23 current solution gas/oil ratio.

24 Now, to be more specific, I've tabulated
25 in this figure for each of these wells that I mentioned, two

1 with production logs and two wells which are close analogs
2 of these wells, their approximate current productivity;
3 their current producing gas/oil ratio; and the C zone gas-
4 oil ratio, which either was measured in a production log or
5 which is inferred by analogy, and the essential point is
6 that the C zone gas/oil ratio is in the range of 600-to-700
7 cubic feet per barrel for each of these four wells, two of
8 these based on direct measurements, and these are probably
9 the -- the (not clearly understood.)

10 Our point is that if we have low ratio
11 production from the C zone wells, then gravity drainage must
12 be effective because the -- the pressure in this area has
13 dropped to the range of 1000 pounds, or less, and if we did
14 not have effective gravitational segregation of these
15 fluids, then we would have solution gas drive dominating and
16 the gas/oil ratio would be growing substantially by this
17 time.

18 All right, the second bit of field evi-
19 dence that we have is based on a look at other wells in the
20 Canada Ojitos Unit which produce at low gas/oil ratios for
21 long periods of time, at which periods of time they had sub-
22 stantial volumes of production.

23 These, the two wells that I'm going to
24 cite as examples are not in the expansion area as the title
25 of this figure might imply, so let me clarify the record on

1 that point, but they are wells within the unit.

2 What we'll see when we look at these fig-
3 ures is that they produce low gas/oil ratios for long per-
4 iods of time and then there is a rather sudden increase in
5 gas/oil ratios spread out over a limited period of time, and
6 this particular behavior is characteristic of wells that are
7 operating under the gravity drainage mechanism. This in-
8 crease in gas/oil ratio would indicate the approach to the
9 well of a gas/oil contact as injected gas is displacing the
10 oil down toward these wells.

11 All right, the specific figures that we
12 show are, first, in Figure IR-3, which is on page 19 of our
13 exhibit, this is the production history from well L-27.
14 There are two pages to this figure; the first page takes the
15 history through 1982.

16 On this figure what we see plotted is
17 gas/oil ratio and through 1970, through 1982, the gas/oil
18 ratio has been in the 300-to-400 standard cubic feet per
19 barrel range.

20 The production has been -- was held
21 reasonably constant in that era and we'll see the cumulative
22 production, with the top line we went off scale in 1979.
23 The cumulative production went over a million barrels by
24 that time.

25 Then if we continue to look at the pro

1 duction history, in 1983, '84, '85, and '86 and '7, what
2 we'll note first, continuing the gas/oil ratio, is produc-
3 tion at a ratio on the order of 400 cubic feet per barrel,
4 and then in 1986 the gas/oil ratio began to increase rapidly
5 and by the end of 1986 had gone to 2000-to-1 gas/oil ratio.

6 This is characteristic of a well produ-
7 cing under a gravity drainage mechanism. This particular
8 well is a little bit complicated in that the A zone probably
9 gassed out completely. There's continuing production of oil
10 from the B zone but, nevertheless, a contact, in my judg-
11 ment, moved into the vicinity of this well causing this in-
12 crease in gas/oil ratio, but there was no significant solu-
13 tion gas drive component to production through this -- from
14 this well for these many years through 1985.

15 The second well history on Figure IR-4 is
16 even more dramatic. This is also a well in the unit but
17 outside the expansion area, production history of the well
18 L-11, and here we see, starting in 1964, a gas/oil ratio in
19 the range of, generally, 4 -- say, 200-to-400 standard cubic
20 feet per stock tank barrel, and then suddenly, in 1974, at
21 which time the cumulative production had gone over a milion
22 barrels, the gas/oil ratio increased very sharply and within
23 a matter of a few months the gas/oil ratio was quite high.

24 Again, this indicates to me, approach in
25

1 this well of a gas/oil contact with the gas efficiently
2 being segregated above the oil for the time prior to the ap-
3 proach of this contact, and no significant solution gas
4 drive component prior to this time.

5 In this well the perforations are in the
6 C zone only.

7 So that summarizes my field evidence.

8 Q Is that evidence consistent with calcula-
9 tions an engineer might make to check field data?

10 A Yes, it is. I think to understand the
11 calculations and to further understand what's going on in
12 the field, we might take a look at a hypothetical or schema-
13 tic illustration of mechanics of gravity drainage, and
14 that's illustrated in Figure IR-1, which is on page 16 of
15 the exhibit booklet.

16 This is simply again intended to be an
17 exhibit, schematic in nature, which illustrates why gravity
18 drainage can be effective when it's allowed to operate and
19 the conditions under which it may not be particularly effec-
20 tive.

21 In the schematic what we've shown is a
22 cross section of an oil column, say, with an injector up-
23 structure and a producer down-structure.

24 There are two figures shown here, one
25 showing what might happen at low oil withdrawal rates and

1 the other showing what might happen at high oil withdrawal
2 rates.

3 And let's look first at low oil withdraw-
4 al rates.

5 In our schematic here, at low oil with-
6 drawal rates, the gas continues to encroach into the oil
7 column. If the gas is invading relatively slowly, the oil
8 has an opportunity to drain down and rejoin or continue to
9 stay up with the oil column and drain down to quite a low
10 oil saturation at abandonment conditions. The longer we let
11 the oil drain, the lower that abandonment condition of oil
12 saturation will be.

13 At the same time, near the producing well
14 on the lefthand side of our diagram, (unclear) are drawn in-
15 to the producing well, we are necessarily going to have some
16 gas coming out of solution of that oil.

17 Now, there are competing forces near the
18 producing wells. There are pressure forces; there's low
19 pressure in the well and higher pressure in the formation,
20 so one force wants to make the gas flow into the producing
21 well. So I've shown an arrow there with some gas moving in
22 toward our producing well.

23 But other forces active in the reservoir,
24 gravity forces, specifically, want to let the gas move up to
25 the top of the oil column, and I show an arrow with forces

1 in that direction.

2 Now, obviously, what we're looking at
3 here is the force balance. If the rates are quite low,
4 these pressure forces causing the gas releases from solution
5 to move into the well will be relatively small and, of
6 course, the gravitational force is fixed, but if the pres-
7 sure forces are small, small relative to the gravity forces,
8 then a lot of the gas that's released from solution can mi-
9 grate upwards, perhaps forming a gas layer above the oil
10 zone, but again the forces of gravity will tend to have that
11 gas migrate back up and rejoin the oil column and further
12 displace some of the oil -- or rejoin the gas column and
13 further displace some of the oil that remains in that gas
14 column.

15 So if we produce slowly, and slowly means
16 relative to the rate at which oil can drain under the in-
17 fluence of gravity, we'll have a little free gas saturation,
18 basically, in our oil zone, and that will be confined mostly
19 to an area around the producing well.

20 All right. The schematic on the bottom
21 illustrates the difference that we'll have if we produce at
22 high rates.

23 Here again we've shown our injector and
24 producer but now at high withdrawal rates, with a given
25 amount of injection we don't maintain the pressure in the

1 reservoir as high, so the pressure drops more, more gas
2 comes out of solution, and in particular at high rates, we
3 have higher drawdowns near the individual producing well.

4 All right, now the dominant forces will
5 be the pressure forces which will cause gas that comes out
6 of solution to predominantly go into the producing wells.

7 In addition, another thing happens at
8 high withdrawal rates, and that is that the gas in the re-
9 maining gas column will tend to override that oil column.
10 The gas and oil are always competing for going toward that
11 pressure sink in the producing well, and the gas is a lot
12 more mobile than the oil.

13 The only thing tending to hold the gas
14 back is the influence of gravity, but if we produce at high
15 rates, gravity can't win so the gas will tend to override
16 the oil column and break through down into the producing
17 well, resulting in production at relatively high gas/oil
18 ratios.

19 Also, because we're moving relatively
20 rapidly, the oil doesn't have time to drain to as low a sat-
21 uration by the time we're reached an economic limit gas/oil
22 ratio in our producing well.

23 So when we go slow, in summary, slow
24 meaning slow enough that gravity drainage can occur, then we
25 can continue to produce for long periods of time at low gas-

1 oil ratios.

2 When we produce rapidly, meaning rapidly
3 relative to the rate at which oil can drain naturally under
4 the influence of gravity, then we'll produce at high gas/oil
5 ratios and really we'll have solution gas drive dominating
6 the recovery.

7 All right, that's -- that's a background
8 for the computer studies that we did and my intent is to
9 present here the results of the computer simulation, which
10 is really our way of quantifying how high a -- how high a
11 high rate is and how low a low rate is in order for gravity
12 drainage to be effective.

13 So given that background, we can look at
14 the results of this computer simulation. I'll be following
15 the notes that I have on page 13 of my exhibit booklet, in
16 which I say that we are now going to be looking at a compar-
17 ison of simulated recovery with and without pressure main-
18 tenance.

19 Q While we're looking at that section, we
20 also find on pages 22 and I believe 23 a description of the
21 gravity drainage model?

22 A Yes, and I'll -- I'll refer to that as I
23 -- as I go through this section of my discussion. Of course
24 it was a computer simulation and a computer simulation means
25 that there are certain characteristics of the reservoir

1 which we have to input into our computer simulator, and
2 those are described in the Figures IR-5 and IR-6 on pages 22
3 and 24 of our exhibit booklet.

4 I'm not going to go into a lot of detail
5 in this description of our model. It's -- it's there for
6 a complete reference should we need to clarify any
7 questions, but I do want to point out some highlights of the
8 simulation.

9 What was simulated was a one-mile wide
10 slice through the reservoir, and this was a cross section
11 through the reservoir, a cross section similar to the
12 schematic cross section that we've been looking at in the
13 last few minutes.

14 This particular cross section was eight
15 miles long. It went from the top of the structure down to
16 the edge of the expansion area.

17 It was 40 feet thick. We tried to
18 simulate only the production from one zone, say, the C zone,
19 in the unit.

20 The other noteworthy points, or most
21 noteworthy points in our simulation, I think, include the
22 absolute permeability; we assumed a horizontal permeability
23 of 100 millidarcies with -- to go along with our 40 feet of
24 thickness for this one zone.

25 And then on the second page of this dis-

1 cussion of the model, on page 23 I describe our producing
2 well conditions and our pressure maintenance conditions.

3 We had one production well in this sec-
4 tion. We're simply trying to illustrate a principle and
5 we're not trying to capture in detail what would go on in
6 the actual reservoir. Of course, in the actual reservoir we
7 would have three or four producing wells along this milewide
8 slice starting at the gas cap and going down to the edge of
9 the unit, but we put all our production down-structure.

10 This production well we located one-half
11 mile east of the western edge of the unit. This production
12 well was produced at constant rate, and we're looking at
13 several different rates, but it was maintained at that rate
14 until the pressure in the reservoir -- until the flowing
15 bottom hole pressure reached 500 pounds, and at that point
16 the well was then produced at a constant bottom hole pres-
17 sure of 500 pounds from that point forward.

18 Now we didn't take this depletion of the
19 reservoir all the way to an economic limit. We terminated
20 these runs at a gas/oil ratio of 2000 standard cubic feet
21 per stock tank barrel. By that point, in our judgment, it
22 was time to have seen the relative effects of solution gas
23 drive versus gravity drainage.

24 Also, we would terminate an individual
25 run if the flow rate in our one producing well' dropped below

1 10 stock tank barrels per day.

2 But the major point I want to emphasize,
3 and it will be important when we look at some of our recov-
4 ery numbers later, is this was not taken to depletion at a
5 much higher producing gas/oil ratio.

6 Next I want to summarize what we did in
7 our injection well to maintain pressure. We had a single
8 injection well near the top of the structure. It's a half
9 mile west of the eastern edge of the unit. And here, to
10 simulate partial pressure maintenance, we injected gas at a
11 constant bottom hole pressure of 1600 pounds, and the actual
12 injection rate varied as the depletion process continued.
13 If it increased, tended to increase as the gas saturation
14 around this well increased; but in the pressure maintenance
15 cases it was not sufficient for complete pressure mainten-
16 ance but at least for partial pressure maintenance, somewhat
17 such as is going on in the unit today.

18 All right. I think of major interest is
19 what did the simulator study show; what were the results.

20 Well, Figure IR-7, which is on page 25, I
21 think summarizes well the results of the study.

22 In this figure we have a couple of com-
23 parisons but the first one that I want to mention is the
24 comparison of recovery efficiency with pressure maintenance
25 with recovery efficiency without pressure maintenance.

1 In the Figure IR-7 we've plotted recovery
2 efficiency as a percent of oil in place within this milewide
3 section as a function of the production rate from the single
4 producing well that we had.

5 The top curve, the dotted line, shows the
6 recovery efficiency when we had pressure maintenance with
7 our injection at a constant bottom hole pressure of 1600
8 pounds.

9 The lower curve shows the recovery with-
10 out pressure maintenance and the first thing that I hope is
11 pretty obvious in this figure, is that there's -- given pro-
12 duction rate, let's say 1000 barrels of oil per day, there's
13 really quite a substantial difference in the recovery, at
14 least up to this 2000-to-1 gas/oil ratio, between the pres-
15 sure maintenance case and the no pressure maintenance case,
16 on the order of 3 or 4 percent of the oil in place if no
17 pressure was maintained, and on the order of 23-to-24 per-
18 cent if pressure was maintained.

19 So the simulator said that maintaining
20 pressure makes quite a difference at a particular withdrawal
21 rate.

22 Q What is the main reason for the improved
23 recovery with pressure maintenance?

24 A The reason for improved recovery with
25 pressure maintenance is that if we maintain pressure we have

1 less gas coming out of solution, less of a solution gas
2 drive component, and therefore, this gas not coming out of
3 solution means that that gas is not produced and we don't
4 lose this reservoir energy. It's basically a difference be-
5 tween a gravity drainage drive mechanism dominating and a
6 solution gas drive mechanism dominating.

7 Pressure maintenance gives gravity drain-
8 age more chance to operate.

9 Q Did you continue with your studies and
10 determine what is the effective rate on recovery? At what
11 rate should be produce the reservoir to have the most effi-
12 cient recovery?

13 A Yes, I did. I won't say that this study
14 quantified the rate at which the reservoir ought to be pro-
15 duced most efficiently, because it was not an attempt to
16 capture all the exact detail of the reservoir, as I men-
17 tioned earlier. It was a -- it was a study in which we used
18 properties typical of the reservoir but without trying to
19 include all the details of the reservoir; however, what it
20 did show, I think, can first be summarized on this same Fig-
21 ure IR-7, when we not only compare recovery with and without
22 pressure maintenance but look at a given case, let's say,
23 with pressure maintenance at what the recovery is at various
24 rates. We know that at rates above approximately 1000, per-
25 haps 1100, barrels per day there's a sharp increase in re-

1 recovery; that tends to improve as the rates get lower and the
2 lowest rate that we studied was on the order of 500 barrels
3 per day.

4 So somewhere in the range of 500 to 1000
5 barrels per day for the properties used in this cross sec-
6 tion, we have improved recoveries.

7 As rates get higher, let's say, dropping
8 to 1100 barrels per day and moving on upward to extremely
9 high rates, the recovery drops off sharp -- sharply, and the
10 essential point to be made here is that if you produce too
11 fast in a reservoir which has an opportunity to have gravity
12 drainage (unclear) dominating, you lose the benefits that
13 that gravity drainage can provide to you. The reservoir es-
14 sentially operates completely under a solution gas drive
15 mechanism.

16 The next figure, Figure IR-8, is intended
17 to give further insight into this phenomenon.

18 In Figure IR-8 what we show is producing
19 gas/oil ratio at our single producer as a function of cumu-
20 lative oil recovery from the reservoir.

21 We show here the cumulative gas/oil ratio
22 at three different rates. The lowest that's shown here is
23 633 cubic feet -- excuse me, at 633 stock tank barrels per
24 day.

25 Here we see that up until the time ap-

1 proximately 20 percent of the oil in place has been re-
2 covered from the reservoir, that the gas, producing gas/oil
3 ratio remains quite low or comparable to solution gas oil
4 ratio.

5 At that point the contact is sufficiently
6 closed to the producing well, the reservoir pressure is also
7 dropping because we're not claiming any reservoir pressure
8 (unclear) in the simulation, at that point the gas/oil ratio
9 begins to increase sharply.

10 At the other extreme, at a production
11 rate twice that 633, the gas/oil ratio begins to increase
12 after only a small percentage of the oil in place has been
13 produced.

14 There is one intermediate case and it's
15 -- it's a complicated-looking case, but it illustrates some
16 of the mechanics of gravity drainage. Here we show recovery
17 at a producing rate of 950 barrels per day. At this rate,
18 too, at first the gas/oil ratio was beginning to increase
19 from early times due to the drawdown near the well, and of
20 course, this was caused by gas coming out of solution and
21 being produced in that producing well, but some other gas
22 was also coming out of solution but migrating to the top of
23 the structure, as I illustrated in my schematic.

24 When the gas saturation had developed
25 throughout the oil column at the top of the structure and

1 that gas had sufficient permeability to flow, that that gas
2 could then begin to flow away from the vicinity of the well
3 and up to the top of the structure and rejoin the gas cap
4 which was growing and because that gas could now flow away
5 readily, rather than be produced, the gas/oil ratio actually
6 dropped back but couldn't stay low forever, eventually began
7 to rise as the contact approached nearer and nearer the
8 well.

9 The -- that -- that figure showed the
10 behavior with pressure maintenance.

11 Figure IR-9 shows the gas/oil ratio
12 versus cumulative recovery for the case where there is no
13 pressure maintenance. Herein we see that with a greater --
14 that with a given amount of recovery the gas/oil ratio
15 doesn't rise as rapidly if the rate is low but -- but here
16 we see in all cases the producing gas/oil ratio rising to
17 the point at which we terminated our runs much sooner than
18 was the case with pressure maintenance.

19 The Figure IR-10, page 28, summarizes the
20 recovery efficiencies. These are not meant to be indicative
21 of what's to be expected in the field except directional.
22 They are not forecasts of field recovery.

23 The essential, most essential qualifier
24 is that these recoveries are recoveries up to producing gas-
25 oil ratio 2000 cubic feet per barrel, and, of course, we

1 would produce a well to an economic limit ratio much higher
2 than that.

3 However, directionally what these recov-
4 ery efficiencies show is that for the case of no pressure
5 maintenance, at an extremely high rate we reach this limit-
6 ing ratio when only 1-plus percent of the oil has been pro-
7 duced and at a much lower rate of 633 cubic feet barrel we
8 reached this limiting gas/oil ratio when only about 7 per-
9 cent of the oil in place had been produced.

10 For the case of a partial pressure main-
11 tenance at a very high rate, the recovery is essentially the
12 same as with no pressure maintenance, but at the low rate
13 the recovery efficiency has approached 30 percent because
14 gravity drainage has been allowed to do its thing.

15 Q You've satisfied your first major re-
16 quirement with regards to the project and have satisfied
17 yourself that there substantial evidence of pressure commun-
18 ication between the expansion area and the project area?

19 A That's correct.

20 Q And under the second major point you have
21 satisfied yourself that there is substantial evidence that
22 improved recovery in the existing project area is caused by
23 pressure maintenance.

24 A That's correct.

25 Q Then you also conclude that improved re-

1 recovery can also be applied to the expansion area and that
2 recovery attributable to pressure maintenance.

3 A Yes, I am.

4 Q In addition to those two major require-
5 ments and your opinions on those areas, you mentioned in the
6 beginning of your presentation that you had made a study to
7 determine if the expansion of the project area into the ex-
8 pansion area would have additional benefits.

9 A That's correct.

10 Q And what did you find?

11 A What I found was that expansion of the
12 Canada Ojitos Unit would provide the opportunity to build a
13 gas plant with attractive economics. This plant would allow
14 the unit operator to replace the reservoir gas - gas cap,
15 cycle it out, send it through a gas plant and reinject the
16 residue gas from the gas plant back into the reservoir to
17 maintain pressure and this cycling of gas we estimate could
18 increase the hydrocarbon liquid recovery by over 700,000
19 barrels during the life of the project.

20 Q To make sure I understand, you're includ-
21 ing the cycling of gas from the expansion area and the exis-
22 ting area?

23 A That's correct.

24 Q What happens if we don't have the expan-
25 sion area included in the project and you're simply cycling

1 the gas in the existing area?

2 A If we're simply cycling the gas in the
3 existing area, we really don't have enough gas to send
4 through the plant long enough to have attractive plant eco-
5 nomics.

6 As Mr. Greer pointed out yesterday, his
7 estimate of current gas in place in the gas cap, is in the
8 area of about 10-billion cubic feet.

9 All right, with that 10-billion cubic
10 feet being the target if the cycling were confined to the
11 existing area, the plant needs to be able to process about
12 10-million cubic feet of gas per day to have attractive
13 economics because (not clearly understood) and some quick
14 mental arithmetic indicates that if you process 10-million
15 cubic feet per day, and have about 10-billion cubic feet to
16 process, we'd only have about a 3-year life for that gas
17 plant, and the economics of that don't look very attractive.

18 Q What evidence do you find to support your
19 conclusion that the expansion area hydrocarbons are neces-
20 sary in order to make a gas plant economical?

21 A Well, the evidence is based on, again,
22 some reservoir simulation.

23 In this case we used a so-called composi-
24 tional reservoir simulator.

25 The compositional reservoir simulator is

1 different from the usual simulator in that it allows us to
2 look at vaporization of liquids within the reservoir, vapor-
3 ization of those liquids into the gas phase, or vice versa,
4 if that's the way the fluids want to transfer, and this is
5 essential in looking at this gas plant because a lot of the
6 additional hydrocarbons liquid recovery is going to come
7 from taking the cap gas out, which is saturated with inter-
8 mediate molecular hydrocarbons, sending those liquids into
9 the gas plant and in the gas plant removing a major fraction
10 of the ethane and heavier hydrocarbons and then re-injecting
11 a gas which is mostly methane back to the reservoir.

12 Now, when we re-inject methane, the oil
13 in the reservoir will tend to vaporize its lighter compo-
14 nents and this re-injected gas will pick up vaporized hydro-
15 carbons from the oil remaining in the reservoir.

16 To be able to study this process of
17 vaporization of oil and a pick up of hydrocarbons which will
18 ultimately become plant liquids, we needed this composition-
19 al type simulator which can model this change of phase of
20 hydrocarbons within the reservoir.

21 Specifically we looked at two cases.
22 First, continued re-injection of reservoir gas, that is, no
23 cycling, continue the current operations; and secondly, re-
24 covery of liquid hydrocarbons in a gas plant, the cycling
25 operation.

1 The results, I think, are brought into
2 focus in Figure GC-1, which is following the two written
3 pages of this part of my testimony.

4 This is output from the compositional re-
5 servoir simulator. Here we have the cumulative production
6 in millions of barrels versus time. This simulation assumed
7 as a starting date for a gas cycling operation, 1-1-88. I
8 realize that the operation did not begin 1-1-88, but what
9 we're really trying to do here, is look at -- at 10 years
10 following known history of cycling operations.

11 Shown on this graph on the top line are
12 the total liquid hydrocarbons recovery with the cycling
13 operation on a cumulative basis.

14 Under that we show the total hydrocarbons
15 recovery without cycling, and, of course, the difference in
16 these two curves is the additional recovery that we could
17 attribute to this gas plant.

18 You'll notice in 1997 that there's a kink
19 in the curve. What we did to compare cycling to noncycling
20 was to assume that the cycling operation would -- would con-
21 tinue for 10 years and then we would follow that cycling
22 operation by blowdown in both cases.

23 In the blowdown phase, of course, with
24 the cycling we assumed we would continue to send to reser-
25 voir gas through the plant.

1 To be fair to the noncycling case, we as-
2 sume that at that point there would be some hypothetical re-
3 covery process installed; that may or may not be a realistic
4 assumption and if it's wrong, of course, no recovery process
5 being installed, then we wouldn't recover the hydrocarbon
6 liquids from -- from the produce (not clearly understood),
7 so this -- this, if anything, would penalize the cycling
8 case when we compare it to the noncycling case.

9 The additional recovery at the end of the
10 10-year operating phase, you'll note on the graph, at the
11 end of 1997 approximated 2-million barrels.

12 After that the -- some of the benefit of
13 the cycling operation actually began to match.

14 If we install this hypothetical recovery
15 process for the noncycling case starting at blowdown, that
16 blowdown phase itself would vaporize some of the lighter
17 hydrocarbons in the reservoir oil; however, I would note
18 that even if those plant liquids would be recovered, they
19 would be recovered more than 10 years from the start of
20 cycling operation and so if you discount them to their pre-
21 sent worth, they would be much less valuable than hydrocar-
22 bon liquids which would occur in the first 10 years after
23 the plant was installed.

24 The bottom line, I think, is brought into
25 even sharper focus on the next figure, GC-2. It's a bar

1 graph and here we show production with and without cycling.

2 We show the plant natural gas liquids,
3 PGNL, in the two cases and, obviously, with cycling there's
4 a lot more plant natural gas liquids.

5 We show the crude oil next to the plant
6 natural gas liquids. As you can see from the bar graph,
7 there's more crude oil recovered without cycling; however,
8 there's a very logical explanation for that. With cycling
9 what might have been produced later as crude oil will be
10 vaporized and produced as plant liquids, so we just change
11 the form in which the liquifiable hydrocarbons are
12 recovered.

13 The important point is that the sum of
14 the plant liquids and crude oil is greater by about 700,000
15 barrels in the cycling case than in the noncycling case, and
16 to give some more specific numbers to look at, on the next
17 page, Figure GC-3, we summarize the plant natural gas
18 liquids, crude oil, and total recoveries with cycling, with-
19 out cycling, to the difference, and ultimately, the differ-
20 ence is approximately 700,000 additional barrels of hydro-
21 carbon liquids being recovered with the gas plant.

22 The remaining pages in this exhibit sim-
23 ply give details of the model that was used for simulation
24 and again I don't want to spend a lot of time on these de-
25 tails, but I think some of the -- some of the details are

1 important.

2 The model dimensions, here, while we were
3 not trying to simulate the reservoir exactly, we were at
4 least trying to capture the essential features of the reser-
5 voir, so this simulation was also a cross section, a 2-
6 dimensional cross section; however, this cross section was 8
7 miles wide, which is a reasonable average for the total
8 width of the Canada Ojitos Unit.

9 It was about 7 miles long and although
10 the unit is longer in some places, we used 8 miles in our
11 earlier gravity drainage study, 7 miles again is a reason-
12 able average for length of the unit.

13 Here we looked at 3 layers, which are in-
14 tended to be representative of the A, B and C zones, and
15 these layers were 30, 30 and 40 feet in thickness.

16 The permeability that was used I think is
17 the next number of essential importance. We used 100 milli-
18 darcies, horizontal permeability.

19 We had some vertical permeability. Re-
20 member, in simulating these zones with -- with single
21 layers, the vertical communication between these zones is
22 necessarily going to be limited, although it does exist. If
23 nothing else, it exists in wellbores, through hydraulic
24 fractures, but also, probably, through some natural frac-
25 tures in some areas of the reservoir, and so we had a modest

1 amount of vertical permeability between these layers.

2 In a model of this size and with the por-
3 osity that was used, the original oil in place was about 47-
4 million stock tank barrels, which I think is a reasonable
5 approximation to the oil in place in the Canada Ojitos Unit.

6 We summarized the plant recovery factors.
7 We believe that the plant can recover 70 percent of the
8 ethane; 90 percent of the propane; and 100 percent of the
9 butane and heavier hydrocarbons.

10 And the way the model actually worked,
11 the unit production is from four wells located in alternate
12 cells in the model. By cells in the model, I think that
13 might be best explained by looking at perspective and areal
14 view of the model, which is a couple of pages later in the
15 exhibit.

16 Basically in alternate cells we had pro-
17 duction and we had our injection in one of these cells.

18 The furthest up-dip well was converted to
19 gas injection and historically the time at which injection
20 began, which was 1968.

21 Of course, with only four wells in our
22 model, and many more wells in the unit, we have to allocate
23 actual production to the nearest well in the model and
24 that's what we did.

25 The model ends at the Canada Ojitos Unit-

1 Gavilan Pool boundary on the west, but we found that in or-
2 der to be able to match observed historical gas/oil ratios
3 and pressure performances in this area, that we had to have
4 migration out of the Canada Ojitos Unit, and we did this
5 simply by putting an additional well in the most western cell
6 of our model, and the so-called "Gavilan Migration" was sim-
7 ply represented by the production from this well.

8 Well, that, I think, describes the essen-
9 tial features of the model. We might take a brief look at
10 the history match.

11 When we -- when we model a reservoir,
12 it's important, even though we're trying -- not trying to
13 capture every detail, at least to brief these important de-
14 tails.

15 Figure GC-7 shows the production in the
16 model versus observed production of oil and the model
17 gas/oil -- the model MCF per day of gas versus the observed
18 MCF per day of gas.

19 The oil production was forced; that is,
20 we forced the wells to produce what had been observed
21 historically and what we matched on was the gas/oil ratio,
22 and basically this is a reasonable match. We seem to have
23 captured the essential characteristics of the reservoir and,
24 of course, doing historically gives us more confidence that
25 if we project forward in the future, that the future

1 performance projection will be realistic.

2 The remainder here is simply more detail
3 information about the model.

4 Q In your opinion, Dr. Lee, is there sub-
5 stantial evidence of the ability of the project to function
6 and recover liquid hydrocarbons that would not otherwise be
7 recovered if the expansion area is included into the project
8 area and gas cycling is implemented as proposed with the in-
9 clusion of the installation of a gas plant?

10 A Yes.

11 Q The idea of a pressure maintenance
12 project is an accepted method of enhanced recovery, is it
13 not, sir?

14 A Yes, it is.

15 Q And what is the basic concept by which
16 that is an accepted method of recovery?

17 A Well, the basic concept is that to pro-
18 vide outside sources of energy, such as gas injection in
19 this case, we can improve oil recovery by maintaining pres-
20 sure at a higher level and in this case, minimizing the con-
21 tribution of solution gas drive, which will improve recov-
22 ery.

23 Q Is it an integral part of pressure
24 maintenance projects such as this to have an injection gas
25 credit apply for that operation?

1 A Yes, it is.

2 Q What is the necessity for an injection
3 gas credit in terms of the effect it has on the net voidage
4 of the reservoir?

5 A Well, in terms of net voidage of the re-
6 servoir, if we -- if we re-inject the produced gas, of
7 course, we minimize the amount of the reservoir voidage;
8 however, that re-injection has an expense and therefor I
9 think it's logical to give credit for that because that re-
10 injected gas is doing good for recovery from the reservoir
11 as a whole.

12 Q In your studies, Dr. Lee, have you seen
13 any data, evidence, or have you made any calculations or
14 simulations that cause you to believe that the expansion
15 area is not appropriately included in the existing project
16 area?

17 A I have seen no evidence that would lead
18 me that conclusion.

19 Q Do you have an opinion, sir, as to
20 whether the inclusion of the expansion area into the exist-
21 ing project area will prevent waste of hydrocarbons?

22 A Yes, I believe that it will prevent waste
23 of hydrocarbons.

24 Q Do you have an opinion as to whether it
25 will result in recovery of hydrocarbons that would not

1 otherwise be recovered?

2 A Yes, I believe it will result in addi-
3 tional recovery of hydrocarbons.

4 MR. KELLAHIN: Mr. Chairman, at
5 this point that concludes my direct examination of Dr. Lee.
6 We would move the introduction
7 of Sun Exhibit Number One.

8 MR. LEMAY: Without objection,
9 Sun Exhibit Number One will be admitted into evidence.
10 Are you having any questions?

11 MR. CARR: I have just a couple
12 of questions, yes, sir.

13 MR. LEMAY: Fine. Why don't
14 you do that at this time, if you would, Mr. Carr.

15

16 CROSS EXAMINATION

17 BY MR. CARR:

18 Q Dr. Lee, would you refer to what is
19 identified as Figure IR-7? Page 25.

20 A Yes.

21 Q If we look at this, if I understand the
22 purpose of this exhibit, it shows that there was greater
23 efficiency and greater recovery obtained by producing wells
24 at lower rates, is that correct?

25 A That's correct.

1 Q You are not attempting here to suggest
2 that an appropriate allowable is 1000 or 1100 per day per
3 well, are you?

4 A Oh, goodness, no. In fact, what we've --
5 what we've simulated here is production from a number of
6 wells along each mile of section. We simply, for simplicity
7 in modeling, allocated all that production to a single well,
8 so actually, in practice, each individual well along that
9 milewide section might be producing, say, 3-or-400 barrels
10 per day. We're just looking at a total because we're trying
11 to model the rate at which the gas/oil contact moves, given
12 a total amount of production.

13 Q And you're modeling the rate of withdraw-
14 al from a certain area within the reservoir.

15 A Yes.

16 Q Not an allowable or a rate --

17 A No.

18 Q -- that should be assigned to any well?

19 A No.

20 MR. CARR: That's all I have.

21 MR. LEMAY: Fine.

22 MR. KELLAHIN: May we have a
23 short break?

24 MR. LEMAY: I think I was going
25 to recommend it at this point.

1 Let's take a fifteen minute
2 break and then we'll proceed with cross examination.

3

4 (Thereupon a recess was taken.)

5

6 MR. LEMAY: We will continue.

7 Are you ready, Mr. Douglass?

8

MR. DOUGLASS: Yes.

9

10 CROSS EXAMINATION

11 BY MR. DOUGLASS:

12 Q John, I hope you don't mind if I call you
13 John, I think we've known each other long enough where you
14 can call me Frank.

15 John, as I understand your -- your study
16 here, first of all you looked at the situation to see
17 whether you thought there was effective pressure communica-
18 tion, and then in addition, you made a study to see whether
19 the pressure maintenance project had been effective. That's
20 generally what you did.

21 A That's right.

22 Q All right, now if the -- if the proposed
23 expansion area is not in effective communication with the
24 pressure maintenance project, would that in any way detract
25 or change the conclusion that you had with reference to the

1 second part of your study; that is, that the pressure main-
2 tenance project appears to have been successful?

3 A It wouldn't change the conclusion that
4 the pressure maintenance project appears to have been suc-
5 cessful; that wouldn't change at all.

6 Q So, really, these are two separate items
7 that we've got here. In other words, you could have made
8 the study with reference to whether the pressure maintenance
9 project was effective or not, and there could have been a
10 barrier, actually, in the reservoir between the pressure
11 maintenance area and the propose expansion area, and your
12 study on the effect of this pressure maintenance area would
13 essentially have been the same.

14 A Except that part of my evidence, Frank,
15 was the fact that we appear to have gravity drainage was ev-
16 idenced by a low GOR well, low GOR production in the expan-
17 sion area, so I think, really, the conclusion is based on
18 evidence from the expansion area directly.

19 Q On the GOR, we'll get to that.

20 Well, other than that, then, your --
21 still your study on the effectiveness of the pressure main-
22 tenance area, the effectiveness of that would not be af-
23 fected by whether it was connected to the expansion area.

24 A I'll agree with that.

25 Q Now, let's look at your -- your proof of

1 effective pressure communication.

2 Are essentially all of your opinions
3 based on the work that was done by Mr. Greer?

4 A That's correct.

5 Q And I believe on page 4 is where you
6 start with your discussion of the pressure communication as-
7 pect, is that correct?

8 A That's correct.

9 Q Do you have gravity segregation or grav-
10 ity drive when you have a reservoir that essentially has no
11 dip in it?

12 A You can have if you have high vertical
13 permeabilities.

14 Q So you can have a solution gas drive re-
15 servoir that has relatively little or no dip and still get,
16 as you say, the benefits or the effect of gravity segrega-
17 tion, is that correct?

18 A We're talking about a matter of defini-
19 tion here. By definition, pure solution gas drive has no
20 gravity drainage benefit. When you can't have gravitational
21 segregation then you have solution gas drive. That's simply
22 a definition of what that means.

23 When the gas and oil can segregate, then
24 you have a contribution, at least a small contribution, from
25 gravity drainage, but you can't call it a solution gas drive

1 reservoir.

2 Q Well, do you -- let me ask this. When
3 you get below the bubble point in a reservoir that's fairly
4 flat and gas starts coming out of solution, as it comes out
5 of solution does all of it go to the wellbore?

6 A It depends on the -- it depends on the
7 permeability in the reservoir, and in particular how the
8 well, well away from the wellbore, it depends on the verti-
9 cal permeability.

10 Q Let's assume that you have good vertical
11 permeability.

12 A All right.

13 Q In fact you've got fractures in this re-
14 servoir, where you had some (unclear).

15 Under those circumstances would all the
16 gas move to the wellbore?

17 A No, then the gas, given that vertical
18 permeability, could migrate upward.

19 Q Upward. The first item that you talk
20 about here is the interference test, I believe, and you show
21 a map that Mr. Greer put on previously, is that correct?

22 A That's correct.

23 Q Under G, I believe, in Exhibit One. No,
24 that's --

25 A It's from the black exhibit book, though.

1 Q Right, Exhibit Two. Is this the map?

2 A Yes, it is.

3 Q When you say interference test are you
4 talking about the two fracture response tests, that is, the
5 fracture on the C-34 well to the fracture on the A-16 well?

6 A I include those, yes.

7 Q Those are the only fracture response
8 tests that were done between the pressure maintenance area
9 and the proposed expansion area.

10 A I believe that's correct.

11 Q And it's your -- you say those interfer-
12 ence -- you think of those as the interference test between
13 those two areas.

14 A Yes.

15 Q Do you have any other interference tests
16 between the proposed expansion area and the pressure main-
17 tenance area?

18 A No, all those tests are shown on this
19 map.

20 Q Well, when you say no, you mean that
21 there are no other interference tests that you know of be-
22 tween the pressure maintenance -- expansion area and the
23 pressure maintenance area.

24 A That's correct.

25 Q Now have you looked at the bottom hole

1 pressures that were run as a result of the Commission's or-
2 der during the last six to eight months?

3 A I've seen those. I don't have a copy of
4 those, but I'm generally aware of them.

5 Q Assume with me, then, -- with me, John,
6 that the pressures in the pressure maintenance area that
7 were measured, were about 1400 pounds, and -- in both sur-
8 veys -- and assume with me in both surveys that the pres-
9 sures measured in the expansion area were approximately 950
10 pounds.

11 A All right.

12 Q 450-pound difference. Does that indicate
13 a highly transmissibility rock, or a highly permeability
14 rock, existing between the proposed expansion area and the
15 pressure maintenance area?

16 A Well, just taking it as an isolated fact,
17 it might appear that you're not having good flow; however,
18 that was one of the reasons for Mr. Greer's pressure contour
19 map throughout the entire reservoir, where he showed smoothly
20 changing pressures throughout the entire reservoir, cause by
21 -- caused in particular by continued, substantial over-
22 injection.

23 Q You describe those pressures as shown on
24 Mr. Greer's, what I call, rainbow map, being smooth --

25 A Yes, I do.

1 Q -- through the transition. All right,
2 we'll get that in a second.

3 Have you observed the calculations that
4 Mr. Greer did using, apparently, a formula that you
5 confirmed would be helpful to him, and I believe it's
6 Exhibit Two. I'm sorry, it's Three, Exhibit Three.

7 A Yes, I've looked at his results.

8 Q Yes. His results, where he shows Koh in
9 darcy feet, Item 13 there, for instance, between the -- in
10 the area of the COU -- the 34 well, which is in the pressure
11 maintenance area, and the 32, which is in the expansion
12 area, he says 14 darcy feet Koh.

13 A Could you refer me to the section that --

14 Q Yes, I believe it's after Section A and
15 maybe the last page of Section A, right before Tab B.

16 A All right, sir, the well pair again?

17 Q COU 34 and COU B-32.

18 A Yes.

19 Q 14 darcy feet, is that correct?

20 A Yes, that's correct.

21 Q Do I recall in the -- in reading the
22 transcript of the March and April '87 hearing that you
23 indicated that you made some calculations or thought that
24 the 10 darcy feet was a representative figure for the
25 reservoir rock that you were dealing with here?

1 A Yes.

2 Q Would that be -- would the 14 be compar-
3 able to that?

4 A Yes, it would.

5 Q Do you recall Mr. Chavez asking you a
6 question about if you had 10, I think he said millidarcy
7 feet and you corrected him to 10 darcy feet, do you recall
8 him asking you if you had, in effect, 10 darcy feet, would
9 you expect there to be a pressure differential that would
10 exist at around 400 psi when the wells are about 4 miles
11 apart? Do you recall that question?

12 A I don't recall the question but --

13 Q Well, he asked you that, let me read back
14 your answer --

15 A All right.

16 Q -- and I'll read the whole question and
17 answer to you. I don't have an extra copy.

18 Dr. Lee -- this is Mr. Chavez.

19 "QUESTION: Dr. Lee, at a reservoir per-
20 meability, an average of 10 millidarcy
21 feet, would you expect there to be
22 pressure differential that would exist
23 around 400 psi when the wells are about 4
24 miles apart?

25 ANSWER: I think you meant to ask me at

1 10 darcy feet, and I'm going to respond
2 to that, Mr. Chavez.

3 QUESTION: Yes, that's right, yes.

4 ANSWER: Not if there is a -- not if
5 there is continuous communication at
6 that transmissibility level but we would
7 need to -- we need to compare permeabili-
8 ties within the communicating strata and
9 I need to qualify my answer to that ex-
10 tent, specifically, if you don't want to
11 compare a pressure measurement in the C
12 to a pressure measurement in the A some
13 distance away; if we believe that the A
14 and C are basically in very poor communi-
15 cation."

16 Do you recall that?

17 A Yes, sir.

18 Q The first part of your answer is "not if
19 there is continuous communication at that transmissibility
20 level", is that right?

21 A That's correct, but again, in the context
22 of this field, remember that we have this substantial over-
23 injection in the gas cap causing these pressure gradients,
24 and we're not talking about simply production from offset
25 wells without the over-injection into one area.

1 Q Well, even if you've got over-injection,
2 if you've got this good transmissibility, it's just going to
3 move just as fast with over-injection as it is without any
4 injection, isn't it?

5 A Well, apparently it's not.

6 Q And apparently one of the reasons is that
7 there may be a barrier between the C-30 -- the B-32 and the
8 C-34.

9 A Well, but we -- we see -- we see pressure
10 drops from the cap to the -- to the east of this supposed
11 barrier. It's not a sudden drop, based on the data that I
12 remember. It's a continuous drop starting at the cap on
13 down to the edge of the expansion area.

14 Q The pressure that you're talking about
15 was in these injection wells right after they were shut-in
16 after having been injecting for some period of time.

17 A Well, pressures, pressures in shut-in
18 wells, generally, yes, wells in the cycling area, but inclu-
19 ding some in the expansion area, those in which Mr. Greer
20 used surface pressure measurements to get a large number of
21 well pressures at the same time.

22 Q On your -- turning to page 5, on that
23 over-injection aspect, we see there was no pressure in-
24 crease. It says, "Despite the over-injection, the average
25 reservoir pressure did not increase during either period of

1 time." Is that correct?

2 A That's correct.

3 Q Have you looked at the bottom hole pres-
4 sures to see if it indicated that the bottom hole pressure
5 in the pressure maintenance area actually did show some in-
6 crease --

7 A Well --

8 Q -- in November to -- November to February
9 time?

10 A Well, I've looked at the bottom hole
11 pressures and the surface measured pressures all together,
12 and taken as a collection I don't see any pressure increase.

13 Q Let me ask you with reference to the
14 rainbow map, the one that you said has a smooth -- I believe
15 it's in Exhibit One, Tab G, is that right?

16 A Yes, sir.

17 Q Down in the yellow and brown area, you
18 would consider that a smooth gradient, wouldn't you? You
19 talked about a lot of pressures at about 803 or 804, and
20 then it looks like it's about a 10 pounds increase in the
21 surface pressures there.

22 A Yes, that's correct.

23 Q All right, sir. When you get up here in
24 the pressure injection area up here, you've got real high
25 pressures, 16-1700 pounds, is that correct?

1 A Yes, sir.

2 Q In a mile or a mile and a half those
3 pressures just -- there's not a smooth there, that's a pre-
4 cipitous drop from that injection area to the next row of
5 pressures, isn't it?

6 A Well, yes.

7 Q And then the -- from about -- from the
8 blue area to the green area you have fairly smooth area of
9 pressures, isn't that correct?

10 A Yes.

11 Q And then you have another precipitous
12 drop from about 1140 pounds ot about 800 pounds or even 340
13 pounds difference on Mr. Greer's exhibit, is that correct?

14 A Yes. As you move into an area of very
15 concentrated withdrawals, I would note. The precipitous
16 drop that you are referring to, 800 pounds to, say, 1100
17 pounds, is into an area of high withdrawals. The precipi-
18 tous drop near the injection area is in an area of very high
19 injection.

20 Q The -- but you would still describe that
21 as a smooth pressure gradient.

22 A Continuous, smooth, yes.

23 Q Any pressure gradient is going to contin-
24 uous if it's going down, isn't it?

25 A Yes, sir.

1 Q All right, sir. Now, next you talk about
2 the gas/oil ratios, I believe, is that correct?

3 A Yes, sir.

4 Q And I believe later in your exhibit you
5 talk about the -- comparing the B-32 well that has a produc-
6 tion log on it, is that correct, --

7 A Yes, sir.

8 Q -- on page 17?

9 A Yes.

10 Q Would you refer to Exhibit One, Tab D?
11 Is that the production log on the B-32?

12 A Yes, it is.

13 Q Is the -- is the pressure in the area of
14 the B-32 some 4-or-5-600 pounds below the bubble point pres-
15 sure?

16 A Yes, it is.

17 Q And do I understand that on this produc-
18 tion log here, that it shows essentially solution oil or no
19 gas coming out of the oil at the lower level in the C, is
20 that right?

21 A Well, yeah. I would say the producing
22 GOR is probably in the 600-700 standard cubic feet per bar-
23 rel range.

24 Q Essentially solution ratios?

25 A Somewhat above but close to solution

1 ratio.

2 Q Why -- why isn't this gas coming out of
3 solution because it's being below the bubble point, coming
4 out with this oil down in the C zone?

5 A Because of gravitational segregation.

6 Q Oh, do you mean that the gas in that area
7 is moving up in this wellbore?

8 A It's moving up in the wellbore or, if
9 there's not communication with the other zones in this well,
10 up, back up to the gas cap.

11 Q In other words, this could be fracture
12 communication from the hydraulic fracturing in this well
13 where the gas that you're talking about that ought to be
14 coming out of the C, that could be coming out in the A and
15 the B up here.

16 A Could be.

17 Q Right in that immediate area.

18 A That would -- that would mean gravita-
19 tional segregation, right.

20 Q And if you have a -- in the area we're
21 dealing with here, in the pressure -- excuse me, in the
22 expansion area, that's essentially a very flat, almost no
23 structural relief in that area as far as the well is
24 concerned, isn't it?

25 A That's correct.

1 Q Then another logical explanation for the
2 gas in the B-32 coming out of the A and the B zone could be
3 that the solutoin gas that's coming out of solution in that
4 area is accumulating around the wellbore and moving up and
5 coming out of the A and B zone.

6 A Yeah, under the influence of gravity
7 moving up, which is exactly what I described in my
8 description of gravity drainage.

9 Q Well, you're going to have that kind of
10 gravity segregation even in the reservoir. We've already
11 established that.

12 A Yes.

13 Q John, if the, if you have this -- this
14 good pressure communication between the pressure maintenance
15 area and the proposed expansion area, has that communication
16 always existed there since the time that nature essentially
17 finished moving the rocks around in this area?

18 A Yeah, I would say if it's there now it
19 has to have always been there.

20 Q So the fluids that we're talking about
21 that you and Mr. Greer think, you know, think move the
22 pressure maintenance area into the expansion area, those
23 fluids could move in the other direction just as easy.

24 A They will move in the direction of the
25 pressure gradient, that's correct.

1 Q All right, and if you're producing only
2 the pressure maintenance area, then fluids are going to move
3 just as easily from the expansion area into the pressure
4 maintenance area.

5 A Given, given a pressure difference, they
6 will move in the direction of that pressure difference.

7 Q And with these transmissibility figures
8 and calculations that Mr. Greer's made here, you can actual-
9 ly calculate how much movement that could be over a period
10 of time with reference to that, couldn't you?

11 A You could make calculations, yes.

12 Q You haven't made those.

13 A No, I haven't.

14 Q You don't know how much oil would have
15 moved from Gavilan to the pressure maintenance area -- ex-
16 cuse me, the expansion area, into the -- into the pressure
17 maintenance area in the twenty years that it produced before
18 Gavilan and the expansion area started producing.

19 A I made no -- no projections about it.

20 Q Would that be -- in making those calcula-
21 tions, would that be a pretty good test to see if this --
22 the transmissibility in darcy feet calculations appear to be
23 accurate?

24 A If you took into account everything that's
25 going on.

1 Q Let's talk just a little bit about your
2 -- your pressure maintenance -- your effective pressure
3 maintenance here.

4 Is it fair to say whether the -- whether
5 the pressure -- whether the expansion area wells are in or
6 out of the reservoir that you're looking at, you would have
7 arrived at the same conclusion on pressure maintenance? It
8 looks like it's a benefit to the area that you're dealing
9 with.

10 A Yes.

11 Q Is the model that you made in -- you made
12 two models, I believe, used two models.

13 A Yes, correct.

14 Q Is -- on page 16, is that a depiction or
15 an observation that -- schematically of the model that
16 you're talking about?

17 A Oh, the phenomena that we observe here,
18 we observe in modeling at different rates.

19 Q Let -- let me ask you, one of the things
20 that I see, I believe, is that you use a significant factor
21 dip, is that correct?

22 A That's correct.

23 Q Is the angle of the dip important to
24 whether you have what you call gravity drive, gravity
25 segregation?

1 A Well, the steeper the dip, the more ef-
2 fective gravitational segregation can be, yes.

3 Q All right, have you made any studies
4 about just the -- how effective gravity is without pressure
5 maintenance? Is that part of your study?

6 A Yes, that's part of this study.

7 Q And I assume that you get about 5 per-
8 cent, or so, recovery?

9 A Yeah, at a limiting gas/oil ratio, it's
10 pretty low, but yes.

11 Q So even with just gravity and this high
12 angle dip, you're only going to get about 5 or 6 percent re-
13 covery.

14 A Without pressure maintenance?

15 Q Without pressure maintenance.

16 A Right.

17 Q What if you have essentially flat or just
18 very little dip, what type of -- of recovery would you get
19 from gravity with those conditions?

20 A It depends o withdrawal rate. If you
21 produce slowly enough you could -- you could get good recov-
22 ery.

23 An example of where that happens is the
24 Oklahoma City Pool, which is flat, which is producing a high
25 percentage of oil in place under gravity drainage.

1 Incidentally, this model near our produc
2 ing well, we put it in the flat area of the reservoir honor
3 ing the structure that we have here.

4 Q That's the second model.

5 A No, the first model, also. Let's look at
6 page 24, Figure IR-6. That's the elevation above sea level
7 versus horizontal distance from the western edge of the
8 unit. Our producing well was right in the middle of that
9 first mile, so it was in the flat part of the reservoir.

10 Q So that -- that particular well gets the
11 benefit of the -- of the dip or the gravitational forces for
12 the rest of the model, is that correct?

13 A Right, but gas that migrates away from --
14 from the oil near that well has to go up.

15 Q You didn't make a study of where -- the
16 500 foot level there, you just closed it off there to see
17 what effect it would have at that well and the bottom of
18 that area where the top of the reservoir was essentially 500
19 feet.

20 A No, I did not.

21 Q But you say that you could produce that
22 well slow enough where you'd even get some effect then of
23 gravitational --

24 A Yes, and I will speculate that that rate
25 would be so slow that it would be uneconomic; it would

1 never pay the well out.

2 Q And that's one of the problems that you
3 have with trying in almost every reservoir, in trying to get
4 some benefit from gravity segregation, or gravity drive, as
5 you describe this, that your rates may be so low that you
6 can't economically produce your well.

7 A That's true in most reservoirs. It's the
8 rare reservoirs with high permeability in which you have
9 this opportunity that we have here.

10 Q High permeability and large dip.

11 A Some dip. Again there are reservoirs on
12 record with two or three degree angle dips that -- in which
13 gravity segregation is quite effective.

14 Q What -- at 335 feet per mile, what --
15 what gravity is -- I mean what angle dip is --

16 A I don't know. That's -- that's steep.
17 It's steep here. That's an average for this reservoir, but
18 I will agree with the point you're making, that that's
19 steep.

20 Q Well, it is about 3.6 degrees?

21 A I don't remember. Yeah, sure, yes, but
22 that's an average. It's much steeper in parts.

23 Q Let me also ask you on page 16 with
24 reference to your IR-1 that you have there. I know that
25 this is (unclear) schematic, but as I understand the forces

1 that are here, in each of them you show the gas above the
2 oil column.

3 A That's correct.

4 Q Now, we're talking about in the reservoir
5 that distance being only about 100 feet, 30 feet as far as
6 net pay is concerned.

7 A That's correct.

8 Q And if it's got some shale in between
9 maybe another 50 or 100 feet, is that right?

10 A Correct.

11 Q But the distance from, say, the producer
12 that you're talking about and injection, you're talking
13 about 3 or 4 miles, aren't you?

14 A In our model study.

15 Q Yes.

16 A 8 miles, well, 7 miles.

17 Q All right, 7 miles.

18 A Yes.

19 Q So you're talking about 100-200 feet
20 versus maybe 25,000 to 35,000 feet.

21 A Correct.

22 Q So if you were drawing this true scale,
23 the reservoir would look more like just a line, just a line
24 here, versus the distance between the lowest producer you've
25 got and the injector, wouldn't it?

1 A That's correct.

2 Q So the -- the effect of gravity within
3 that -- that little area, the gas is not going to have to
4 move very far to get to the top of that -- the top of that
5 area.

6 A That's right.

7 Q Do I -- is the -- when you said that your
8 model that you prepared went to the edge of the expansion
9 area, were you talking about the western edge?

10 A Yes.

11 Q The fracture response that you say that
12 you see in such a short time, you say it's got to be attri-
13 butable to the inescapable conclusion of a high permeability
14 formation.

15 A I think the fact that we see it contin-
16 uously in case after case a short time after fracture leads
17 us to the logical conclusion that that high transmissibility
18 formation must be the cause.

19 Q And that high transmissibility formation
20 is between C-34 and the B-29 and the B-32.

21 A Well, in those areas where these tests
22 have been conducted.

23 Q Well, that's in the area that's been com-
24 pared on that interference test, isn't it?

25 A Right.

1
2 Q Do I also see that -- that in your study
3 of the pressure maintenance area that it appears that what
4 has been taking place there is the normal effect of a gas
5 injection project where the gas is taken from the wells that
6 are producing relatively low structure, inject it back into
7 the -- to higher structural positions and that gas, plus
8 the normal gravity drive that you have because of the angle
9 of the formation, is pushing the oil down and you're produc-
10 ing it from the relatively low structural position, is that
11 correct?

12 A That's correct.

13 Q And as that happens you, -- one of the
14 normal consequences of that is that you have oil wells to
15 gas out.

16 A Correct.

17 Q It's just like in a waterflood project,
18 if you have a successful waterflood, you're going to have
19 oil producing wells to water out. Is that correct?

20 A Yes.

21 Q So in a successful gas injection program
22 you're going to have gas wells -- I mean, excuse me, oil
23 wells to gas out as the gas moves down in the formation.

24 A That's correct.

25 Q Did you find that that appeared to be ex-

1 actly what was happening in the pressure maintenance area,
2 that you were having a successful gas injection project and
3 the wells were gassing out because of the gas being injected
4 and moving down in a normal or expected pattern as far as
5 the reservoir was concerned.

6 A Correct.

7 Q Now, let me talk about the gas plant.

8 A Okay.

9 Q Did you hear Mr. Greer's testimony yes-
10 terday?

11 A Yes, I did.

12 Q Do you think the difference of 1000 MCF a
13 day producing ability is going affect, adversely affect, the
14 economics of this gas (inaudible)?

15 A Depending on where that 1000 barrels per
16 day is.

17 Q 1000 MCF.

18 A 1000 MCF. Yes. If I might elaborate, we
19 don't have the ability to produce gas from the wells in the
20 remaining oil column. We don't have the opportunity with
21 the reinjected gas to strip out the liquifiable hydrocar-
22 bons, or the vaporizable hydrocarbons from that oil column,
23 so the loss of 1000 barrels per day in the proposed expan-
24 sion area would be crucial.

25 So it's not so much, you know, it's part-

1 Q Well, that's 1000 MCF a day. The gas
2 that's being produced in the expansion area now, it doesn't
3 know how far it is from the gas plant, whether it's in the
4 expansion area with a net ratio or without, does it?

5 A Right.

6 Q And so if there's 4-or-5-million cubic
7 feet a day in the expansion area, then that would be a sig-
8 nificant volume to a gas plant operation, wouldn't it?

9 A Yes.

10 Q Are there other operators in the Gavilan
11 Field that are actually taking their gas and processing it
12 through a gas plant now?

13 A I don't know.

14 Q You're not aware that the Mallon wells
15 have their gas processed in a gas plant.

16 A No, I'm not aware.

17 Q You're not -- there's not any gas cycling
18 project or gas injection project in Gavilan, is there?

19 A No.

20 Q If the -- if there is effective separa-
21 tion between the pressure maintenance area and the expansion
22 area, that's not going to detract from the attractiveness of
23 the field trying to cycle the gas that's available in the
24 pressure maintenance area, is it?

25 A Well, that was the point I was trying to

1 make earlier. I think, yes, it will, because, you know, if
2 we cycle out the existing cap and reinject methane, we've
3 got to be able to contact oil with that methane.

4 If we can't contact the most down struc-
5 ture wells continuously and continue to strip out the vapor-
6 izable hydrocarbons from that, then the plant economics
7 don't look attractive.

8 Q Well, if there is effective separation
9 between the pressure maintenance area and the pressure ex-
10 pansion area, you're saying that if that, if there is that
11 kind of separation, then it's really not going to be econom-
12 ical to put in a gas plant in the pressure maintenance area
13 --

14 A That's what I'm saying.

15 Q The only -- the only way this would make
16 it economical is that if you were to take the rich gas out
17 of the separated area and inject it and run it through the
18 plant, you'd either have to inject it or sell it, wouldn't
19 you?

20 A Right.

21 Q You still would have, even if these are
22 two separate areas pressurewise, you'd still have the gas
23 that's available from the pressure expansion area out of
24 those oil wells to run to a gas plant with.

25 A Once.

1 Q Well, that's all the gas is being run
2 through -- to the gas plant that's being produced out of
3 Gavilan now, isn't it?

4 A Well, but here a look at the economics of
5 the operations, says the plant is not a going operation if
6 that's the way it has to be operated.

7 Q Let me ask you about both of your models
8 here.

9 Do you -- do you assume a homogeneous
10 type of system throughout these models?

11 A Yes.

12 Q You don't model in over in the pressure
13 maintenance area these tight blocks that Mr. Greer has
14 talked about?

15 A No.

16 Q Let me ask you with reference to GC-7, I
17 don't have the page number on it, I think it's page 6 or 7
18 (not clearly audible), which is your --

19 A Yes, sir, the history match?

20 Q -- history match. This is a production
21 history match on the -- on the unit production, is that
22 correct?

23 A Yes.

24 Q Did you -- did you attempt to match
25 pressure?

1 A There aren't enough pressures to match.
2 What we tried to do was come close to matching at the end of
3 history, at the end of '87.

4 Q You didn't -- didn't see -- didn't try to
5 match any pressures from 1963 on?

6 A No.

7 Q Would this type of model give you some
8 pressures now if you wanted to find out what the pressure
9 was in 1963 or '65 or '67?

10 A Yes.

11 Q Where are those pressures?

12 A I can provide them to you. We have the
13 computer output.

14 Q We -- do you have them?

15 A Yes. I could get it in just a moment and

16 --

17 Q All right.

18 A -- tell me specifically the numbers you
19 would like for me to read for you and I think we can be ef-
20 ficient.

21 Q Well, if we could just look at your com-
22 puter output maybe that would help us (inaudible).

23 A All right.

24 Q Do I -- do I also see that as far as
25 within the area you studied, that the additional recovery of

1 the cyclings is just a little bit over 8 percent of the to-
2 tal recovery?

3 A I haven't put it on a percentage basis
4 but if you're taking the 700,000 barrels and comparing the
5 total recovery, and that turns out to be 8 percent, I would
6 agree with you.

7 Q Well, I was looking at GC-3. It says
8 without cycling it's 8482 on your -- in your model study,
9 and with cycling it's 9183.

10 A Yes, that looks like about 8 percent.

11 Q About an 8 percent (unclear). John, did
12 -- did you study the gas/oil ratios in the Gavilan and the
13 expansion area during the production test periods that oc-
14 curred since July of this -- this last year?

15 A No, I haven't.

16 Q You didn't observe that at the test rates
17 that the test rates produced by the Commission hearing in
18 July, August, September, October, and the first half of No-
19 vember, the gas/oil ratios in the Gavilan and in the pro-
20 posed expansion area were lower than they were in the pre-
21 vious producing periods or in the subsequent producing per-
22 iods?

23 A I just haven't studied it.

24 Q Assume with me that they were. Let's as-
25 sume these factors.

1 Assume first of all that there's
2 effective separation or noneffective communication between
3 the expansion area and the pressure maintenance area, first
4 assumption.

5 The seocnd assumption, assume with me
6 that when the Gavilan and the expansion area wells produce
7 at the rates from July through the first part of November,
8 that their gas/oil ratios were less than they were previous
9 and less than they were from November and December and
10 January of this year.

11 Have you got the two assumptions?

12 A I think so.

13 Q What is your explanation of that
14 occurrence as far as Gavilan and the expansion area is
15 concerned?

16 A Well, I guess I don't have an explanation
17 because I know that yesterday Mr. Greer tried to explain
18 that, and he didn't hold with those assumptions and in
19 particular his explanation was gas being drawn off the
20 expansion area in a sequence of diagrams.

21 So, you know, I -- I have no explanation.
22 I think the best explanation is the one that Mr. Greer had,
23 which is that there is no barrier.

24 Q That removes one of my assumptions.

25 A Yes, sir, I understand it.

1 Q Do you have that computer printout? May
2 we look at it for just a second?

3 MR. DOUGLASS: My computer ex-
4 perts tell me it will take a little while to look at this
5 and get the data that we want. What I was going to suggest
6 is I don't have any further cross examination of Mr. Lee
7 other than this, what information we might obtain from this.

8 I was wondering if -- I'm will-
9 ing to close out my cross examination and let anyone else
10 here have questions and then we would be ready to start our
11 case before the lunch hour and then perhaps use the lunch
12 hour -- I do like to let my people at least have a little
13 lunch, but in addition I'll get them to look at this com-
14 puter printout here during the lunch hour period and that
15 might speed up the time and not leave a time period now
16 where we don't have anything -- where there's nobody doing
17 anything but us looking at this computer printout, if that
18 would be an acceptable thing.

19 MR. KELLAHIN: I understand Mr.
20 Douglass wants his people to look at the printout and then
21 we'll go ahead while they're doing that with the rest of the
22 presentation?

23 MR. DOUGLASS: That would fine.

24 MR. KELLAHIN: I'll consent ot
25 do that, yes, sir.

1 MR. LEMAY: Okay. Are there
2 any other questions of the witness at this time?

3 MR. PEARCE: I have a few, Mr.
4 Chairman.

5 MR. LEMAY: We'll go ahead,
6 you're part of the cross examination, Perry, I think.

7 MR. PEARCE: Yeah.

8 MR. LEMAY: So why don't you
9 continue?

10 MR. PEARCE: All right.

11

12 CROSS EXAMINATION

13 BY MR. PEARCE:

14 Q Dr. Lee, I think I'll be brief. Most of
15 my questions deal with me trying to make sure I understand a
16 couple of things that you've talked about.

17 Let's look first, if you would, please
18 sir, at page 22 of your exhibit, which is the description of
19 the gravity drainage model.

20 Now, did I understand your response to
21 one of Mr. Douglass' questions just a moment ago to be that
22 this model takes no account of any kind of dual porosity
23 system?

24 A That's correct.

25 Q Does not discriminate between fractures

1 and the tight blocks, as they have been described.

2 A That's correct.

3 Q How did that assumption relate to the
4 area covered? Does it then assume that then assume that the
5 whole area is one fracture with this permeability?

6 A It assumes that there's a fracture system
7 with this permeability, with the fractures having, you know,
8 spacing, but it -- it's not one fracture. It's a system of
9 fractures.

10 Q And the input, as I understand it, into
11 the model had an absolute permeability of 100 millidarcy
12 feet, which is 12 or 13 -- millidarcies, which is 12 or 13
13 darcy feet, is that about right?

14 A The input to this model had 100
15 millidarcies and 40 feet --

16 Q Right.

17 A 4 darcy feet.

18 Q Right. And this is a model of one of
19 three pay sections?

20 A That's correct.

21 Q And therefor, you would indicate to us
22 that you think this model reflects the West Puerto Chiquito
23 Mancos Pool because we have the three zones, each assumed to
24 have 4 darcy feet; therefor, we have the -- close to the 14
25 that you discussed earlier with Mr. Douglass, is that --

1 A Well --

2 Q Am I going the right direction?

3 A Well, directionally, but in detail my as
4 sumption is there's 10 darcy feet and there are two other
5 layers which might be 30 feet each, the A and B, and I'm
6 really trying to model something like the C. 40 feet there,
7 30 in each of two other layers, 100 feet total, 100 milli-
8 darcies, 10 darcy feet.

9 Q Looking at the average dip put into the
10 model, 335 feet per mile, is that simple division of the
11 numbers which you can pick up off of page 24?

12 A It should be, but what actually went into
13 the model is what is on page 24, and this 335 -- no 335 went
14 into the model.

15 Q I'm sorry.

16 A 335 did not go into the model. What went
17 into the model is what is on page 24.

18 Q Okay.

19 A The depth varying with distance.

20 Q That will be average depth over the en-
21 tire pool.

22 Looking, sir, at page 14 of your exhibit,
23 I'm looking specifically at paragraph 4-b, as in boy, read-
24 ing: At rates below 1100 stock tank barrels per day, total
25 withdrawals from one zone in a mile-wide section, the rate

1 at which oil drained down from the gas invaded region equals
2 or exceeds withdrawal rate... now, walk me through that
3 slowly so I understand what that part of that sentence
4 means, please, sir.

5 It's total withdrawals from the one --
6 from the one zone in the mile-wide section. Does that mean
7 one of the three zones, A, B and C?

8 A Yes. Remember that in this model, we put
9 only one zone in the model, so we're saying recovery from
10 this single zone, that's what I mean by one zone.

11 Mile-wide, our model, call it a slice of
12 the reservoir one mile wide.

13 Total withdrawals, we -- actually, there
14 might be three or four producing wells in this one mile wide
15 area, and what we're really trying to model is the effect of
16 that total withdrawal rate from these three or four wells
17 because it's that oil withdrawal rate that causes the gasoil
18 contact to move down at some specified rate.

19 Q All right, sir, in -- in this case we're
20 dealing with whether or not the Commission should include an
21 area that is two miles wide within a pressure maintenance
22 project.

23 A I think I understand your problem. Our
24 one mile wide area is one mile wide going from the western
25 edge of the expansion area up to the crest of the structure.

1 It's a one mile wide strip; starting at the gas injection
2 area, continuing down through the unit, that's the mile in
3 width.

4 The length would include that 2-mile
5 length of the expansion area plus 6 additional miles in the
6 existing pressure maintenance project area.

7 Q Let's go back and help me understand
8 something that I thought I understood you to say earlier
9 this morning, that at some point you were attempting to
10 model the rate at which the gas/oil contact moves.

11 A Correct.

12 Q All right, when are you trying to model
13 that?

14 A I'm trying to model that in all these
15 studies of the effective rate on recovery.

16 We have a gas cap which is growing in
17 size due to injection. There will be some sort of gas/oil
18 contact. The faster we withdraw oil the faster that gas cap
19 will move down structure.

20 That's what I mean by modeling the move-
21 ment of the gas/oil contact. At high rates of withdrawal
22 the contact is moving down rapidly; at low rates of with-
23 drawal it will move down slowly.

24 Q With regard to the operation of a gas
25 plant, does the efficiency of gas cycling depend at all upon

1 whether or not a pressure maintenance operation is in ef-
2 fect? Does the simple fact of a pressure being maintained
3 either improve or damage cycling efficiency?

4 A Would you define cycling efficiency for
5 me? Do you mean the amount of ethane and heavier that can
6 be removed from the gas that gets to that plant?

7 Q Yes.

8 A No.

9 Q Does it have any effect on the amount of
10 ethane and heavier hydrocarbons that are picked up as the
11 lean stream goes through the cycling area?

12 A Yes.

13 Q How is that improved? Can you explain
14 that to me?

15 A With pressure maintenance, I guess it
16 wouldn't, wouldn't depend on the -- what the lean stream
17 picks up as it goes through. It would simply reflect the --
18 if we have a pressure maintenance project and continue rein-
19 jecting gas, it means that the lean stream would be able to
20 go through more and more times as opposed to a blowdown
21 operation in which the gas would move through only once and
22 then there would be no more gas to move through.

23 So, again, the benefit of the pressure
24 maintenance would be the opportunity to continue to move gas
25 through the oil zone and pick up more liquid hydrocarbons.

1 Q Let's look back at page 14 again. Under-
2 standing that the one mile wide section in the one zone runs
3 west to east, that's what you told me it did.

4 A Yes, right.

5 Q All right, if those -- if that assumption
6 and your ideal rate of between 500 and 1100 stock tank bar-
7 rels a day renders the most efficient operation, what is the
8 efficient withdrawal rate from the present Canada Ojitos
9 Unit?

10 A I don't know.

11 Q To maximize the recovery?

12 A I don't know. It would be -- it would be
13 on the order of the width, the total width of the unit;
14 let's say 8 miles times a per section withdrawal rate, some-
15 where in the 500-to-1000 barrel a day range.

16 Q Dr. Lee, several times during your direct
17 examination this morning, you discussed your conclusion that
18 there was effective communication between the present pres-
19 sure maintenance project area and the proposed expansion of
20 that area, is that correct?

21 A That's correct.

22 Q And several times I thought I heard you
23 qualify that by saying words to the effect of "at least to
24 the extent of pressure effects". Do I recall that correct-
25 ly?

1 A If I said that, I misspoke.

2 Q All right. You -- you are convinced and
3 persuaded that there is effective flow of fluid communica-
4 tion between the two areas.

5 A Yes.

6 Q And you believe that somewhere in the
7 vicinity of transmissibilities of 10 to 15 darcy feet accur-
8 ately reflect that flow communication?

9 A In at least parts of the area. There are
10 known tight areas, too, but at least in the areas which have
11 been tested with interference tests, yes, I believe that.

12 MR. PEARCE: I don't think I
13 have anything further, Mr. Chairman.

14 MR. LEMAY: Thank you, Mr.
15 Pearce.

16 Additional cross examination
17 from anyone on this side?

18 Additional questions of the
19 witness?

20 Mr. Chavez.

21

22 QUESTIONS BY MR. CHAVEZ:

23 Q Dr. Lee, on page 16 of your exhibit you
24 have a schematic of gravity drainage. Would this be some-
25 what of a model of the production you would expect in the

1 expansion area?

2 A In the expansion area alone or in the
3 expansion area connected to the rest of the unit?

4 Q Well, in the proposed expansion area.

5 A Well, in the expansion area alone, of
6 course, the area there is flat whereas in this schematic we
7 have dip, but connected with the unit as a whole, I think
8 the principles would apply here, with the area flattening
9 out.

10 Q Would it be more representative if we
11 were to continue the reservoir on that -- on that top sche-
12 matic horizontally to the left of what's shown on the -- on
13 your schematic? Would that be representative of the pro-
14 posed expansion area?

15 A Yes, it would, and, of course, that's
16 what we did in our computer simulator model studies; we
17 flattened it out (unclear).

18 Q Okay. Could you describe the direction
19 of fluid movement, then, towards the producing wellbore from
20 the flat area going towards the wellbore as it would be de-
21 scribed by your computer simulator?

22 A It would be basically the same as we show
23 in this schematic; that is, some -- some gas would -- would
24 move in towards the well. Some gas would migrate straight
25 up to the top of the structure, and that's what we saw in

1 the computer simulation.

2 Q In your gas plant simulator is the econo-
3 mics of the gas plant based on the 700,000 barrels extra hy-
4 drocarbons recovered?

5 A It's truly based not only on the extra
6 recovery but when that recovery occurs and I think fundamen-
7 tally important is that there was a net gain of something
8 like 2-million barrels in the first ten years, which really
9 dominates the economics.

10 And then some of that 2-million in theory
11 vanishes during later years because you pick up some of that
12 during -- you would pick up some of that during blowdown of
13 an operation which (unclear) you would then vaporize some of
14 the hydrocarbons and produce those; however, to do that
15 would still require installation of a plant and if there
16 were no plant, the additional recovery due to the cycling
17 operation would probably remain in the 2-million barrel
18 range.

19 Q Did your simulator take into account the
20 different BTU of the gas sold, say, to a pipeline either
21 with or without the plant?

22 A Yes. The economics includes the value of
23 the gas.

24 Q Dr. Lee, if the application is approved,
25 the wells in the proposed expansion area will be allowed to

1 produce at a higher rate than they're producing at now,
2 won't they?

3 A That's correct.

4 Q If that higher rate causes flow from the
5 Gavilan area into the expansion area, would that disturb the
6 efficiency of the pressure maintenance project?

7 A It wouldn't disturb the efficiency.

8 Q Would you be opposed to the Gavilan
9 operators producing at rates that would offset any flow that
10 might occur from from Gavilan into the pressure maintenance
11 project area?

12 A Well, I can't make regulations. I think
13 certainly correlative rights need to be protected in some
14 way.

15 MR. CHAVEZ: That's all I
16 have.

17 MR. LEMAY: Thank you, Mr.
18 Chavez.

19 Additional questions of the
20 witness?

21 MR. DOUGLASS: Just one addi-
22 tional information question.

23

24

25

1 RE CROSS EXAMINATION

2 BY MR. DOUGLASS:

3 Q On your oil in place, original oil in
4 place on page 34, John.

5 A Yes, sir.

6 Q Would that, if you took off the first two
7 miles to the west over there, would that reduce it by --
8 since it's 8 miles long, would it reduce it by one-quarter,
9 or is that oil in place proportional to the reservoir, or
10 non-proportional to the reservoir?11 A It's only 7 miles unless I've messed up
12 my arithmetic.

13 Q Or 7 miles.

14 A It was 8 miles in the other model against
15 a specific section, but directionally I think you're cor-
16 rect, about, approximately, 2/7ths of (unclear) or however,
17 or the top cell also has some gas in it, so maybe closer to
18 1/3 of the oil.19 Q Do you have an estimate of the original
20 oil in place in what you call the pressure maintenance area,
21 as far as that entire area is concerned?

22 A No, I don't.

23 MR. DOUGLASS: No further ques-
24 tions.

25 MR. LEMAY: Is it my understand-

1 ding, Mr. Douglass, you wanted to bring the witness back af-
2 ter lunch to ask some questions?

3 MR. DOUGLASS: I'm not sure.
4 Since it's just about lunch time, my folks are looking at
5 the computer printout. That would be the only thing we'd
6 have and we may just cover that in our direct.

7 MR. LEMAY: Let's take a lunch
8 break now and we can make that decision when we come back.

9 MR. KELLAHIN: May Dr. Lee be
10 excused but for the questions about the pressure data in the
11 model?

12 MR. LEMAY: Yes, that's --

13 MR. PEARCE: Oh, something else
14 might occur to us, Tom.

15 MR. DOUGLASS: I don't think
16 I'm going to have any questions except about it.

17 MR. LEMAY: We'd like to finish
18 up the questions of the witness if we can --

19

20 QUESTIONS BY MR. BROSTUEN:

21 Q Mr. Lee, Dr. Lee, --

22 MR. LEMAY: -- before we take
23 the lunch hour.

24 Q -- on page 36-B of your exhibit you give
25 a reservoir gas composition. It's obviously an analysis of

1 -- well, is this an analysis of gas produced from the West
2 Puerto Chiquito?

3 A Yes, it is.

4 Q And then going to your Figure GC-2,
5 you're showing -- this is your graph showing the -- the pro-
6 duction of produced natural gas liquids, crude, and total
7 liquid without cycling.

8 You're showing that with -- with cycling
9 you are recovering a higher percentage of natural gas
10 liquids.

11 Without cycling you're showing a lower
12 amount of that.

13 How much are you -- how much are you pro-
14 ducing at the present at the time? How much is being pro-
15 duced? How much natural gas liquids are being produced at
16 the present time?

17 A None.

18 Q So where does the -- where does the --
19 the without cycling portion of your graph come from? Where
20 does that come from?

21 A That would come from the blowdown period.
22 After 10 years of production in the future without cycling,
23 then --

24 Q Going back --

25 A -- we say we might put in a hypothetical

1 gas plant and recover plant liquids there at that time.

2 Q Then you're showing that -- perhaps you
3 can explain to me the process of recycling, what's happening
4 in the reservoir, you've produced your gas. You've stripped
5 off your liquid, recycled the gas, essentially methane, and
6 it goes back into the reservoir and picks up additional
7 natural gas liquids.

8 A That's right.

9 Q What is the make-up of those liquids and
10 where are they coming from?

11 A Those liquids are coming from the oil
12 that remains in the reservoir. As that methane contacts oil
13 which still has some intermediate (unclear) carbons in it,
14 let's say ethane, propane, some butanes, and so forth, when
15 you mix methane with that crude oil at reservoir pressure
16 and temperature, some of that crude oil will vaporize or,
17 yeah, will vaporize, and those lighter hydrocarbons will go
18 into gas phase and so when you produce that gas back out it
19 will no longer be pure methane. It will be methane with
20 some ethane and propane and butane, and so forth, in it.

21 Q Okay, I understand. You're saying, then,
22 that you're simply extracting more of the natural gas but
23 you're not extracting more crude.

24 A Right.

25 Q And so you're -- how do you -- how do you

1 relate that to the graphs you're showing? You're showing
2 more additional crude being extracted without cycling than
3 you did with cycling.

4 A That's because some crude oil was vapor-
5 ized when -- was in contact with that injection (unclear).

6 Q You're actually -- you're actually taking
7 off the natural gas liquid still retained in the -- in the
8 crude that were not -- did not come off with the gas, first
9 of all, from the crude in the reservoir.

10 A Yes.

11 Q I think that's all I have, Doctor, thank
12 you very much.

13 A Yes, sir.

14 MR. BROSTUEN: That's all I
15 have now.

16 MR. LEMAY: Are there any other
17 questions of the witness with the exception of questions af-
18 ter lunch pertaining to, I think, computer modeling?

19 MR. DOUGLASS: The computer
20 printout?

21 MR. LEMAY: If not, the witness
22 may be excused to be recalled after lunch for the sole pur-
23 pose of computer modeling or any redirect which will go on
24 from there.

25 Let's -- hold on a second.

1 Let's reconvene at 1:00 o'clock so we can --

2 MR. KELLAHIN: Mr. Chairman, is
3 there an opportunity either on the record or off the record
4 to discuss the afternoon in terms of forecasting our time?

5 MR. LEMAY: Let's go off the
6 record just for a second and we can summarize.

7

8 (Thereupon the noon recess was taken.)

9

10 MR. LEMAY: At this time we
11 shall reconvene.

12 I want to summarize the record.
13 We, in essence, said we're pretty much on schedule; we plan
14 to wind it up today.

15 In terms of -- Mr. Douglass,
16 did you have some questions for the previous witness?

17 MR. DOUGLASS: I do not, Mr.
18 Chairman. What we -- counsel have consulted. What we would
19 like to have identified as Mallon Exhibit Three is the com-
20 puter printout that Mr. Lee conducted and had with reference
21 to his model study and we'd like to introduce that for the
22 limited purposes of showing his work papers. We'll refer to
23 some of this data, we think, later in our testimony and we
24 would like to offer it at that time. We only have one copy,
25 obviously, and we discussed with counsel, and with your per-

1 mission we'll withdraw it from here and go over and make
2 copies, however many copies the Commission would like to
3 have and sufficient copies for counsel.

4 MR. LEMAY: That's fine. Is
5 that acceptable? We'll proceed that way.

6 Do you have any -- any redirect
7 on the -- on the witness, Mr. Kellahin?

8 MR. KELLAHIN: No, sir.

9 MR. LEMAY: Fine. He may be
10 excused.

11 I think we're ready for the
12 other side. We're ready.

13 MR. DOUGLASS: Call Mr. Hueni.

14 MR. LEMAY: You may proceed.

15

16 GREGORY B. HUENI,
17 being called as a witness and being duly sworn upon his
18 oath, testified as follows, to-wit:

19

20 DIRECT EXAMINATION

21 BY MR. DOUGLASS:

22 Q Would you state your name for the record,
23 please, sir?

24 A Yes. My name is Gregory B. Hueni.

25 Q I think you might get closer to your mike.

1 A Okay. My name is Gregory B. Hueni.

2 Q All right, sir, and what's your occupa-
3 tion?

4 A My occupation is a consulting petroleum
5 engineer and Vice President of Jerry R. Bergeson and Asso-
6 ciates.

7 Q Where are you stationed?

8 A I'm -- I reside at 11420 West 27th Place
9 in Lakewood, Colorado.

10 Q Have you testified before this Commission
11 as a petroleum engineer previously?

12 A Yes, I have.

13 Q And have you actually testified with re-
14 ference to the areas that we're going to be concerned with
15 here today in the August '86 hearing and the April '87 hear-
16 ing, and one additional hearing, I believe, that concerned
17 this area, is that correct?

18 A Yes, I have.

19 Q And have you made a study of the -- the
20 area that we've been concerned with the last day and a half
21 and prepared or had prepared under your supervision certain
22 exhibits and testimony for presentation here today?

23 A Yes, I have.

24 MR. DOUGLASS: We tender him as
25 an expert in the area under question.

1 MR. LEMAY: His qualifications
2 are accepted.

3 Q I believe we're at Mallon Exhibit Four.

4 MR. DOUGLASS: Mr. Chairman,
5 what we've done is that we have our exhibits and for a
6 selected number, including the Commission, the staff, and
7 opposing counsel we've placed them in folders that have --
8 that can be put in a notebook and you should have near you,
9 I hope, a notebook that -- for that purpose, and we would
10 like to then have identified for the -- for the record as
11 Mallon Exhibit Four the distance from current injection
12 wells to map, and each of those exhibits that you have will
13 have a place where that exhibit number can be inserted.

14 Q All right, Mr. Hueni, I've placed on the
15 board here what's been identified as Mallon Exhibit Number
16 Four. Could you tell us what you've shown in that exhibit,
17 please?

18 A Exhibit Number Four is a map of the west-
19 ern -- or eastern two tiers of sections in the Gavilan Man-
20 cos Pool which are located in Range 2 West, and then the ma-
21 jority of the West Puerto Chiquito Pool, which is located in
22 Range 1 West and Range 1 East.

23 On this particular map we've outlined the
24 boundaries of the Canada Ojitos Unit Pressure Maintenance
25 Project and shaded the interior of those boundaries in the

1 brown color, to indicate the area that's currently consid-
2 ered as part of the pressure maintenance project.

3 Q I believe that's consistent with the
4 questioning and answering that's been going on previously,
5 and that's been the area that we refer to as the pressure
6 maintenance area.

7 A Yes, that's correct.

8 Q Or project area. Right?

9 A That's correct.

10 Q All right, sir.

11 A We have located on this particular map
12 those wells that have been used as gas injection wells in
13 the Canada Ojitos Unit Pressure Maintenance Map and indi-
14 cated those wells by a triangle.

15 Next to those wells we have indicated the
16 amount of gas that had been injected into each well prior to
17 the start of 1988.

18 From the north end of the injection wells
19 we see the Canada Ojitos Unit No. 18, which has injected a
20 cumulative volume of about .2 BCF of gas.

21 We noted on this exhibit that injection
22 ceased 1972, but that's not quite correct. In the middle of
23 1987 that well was again used as an injection well and a
24 volume of gas was injected into that well specifically and
25 then that well was shut in and the pressure was measured in

1 that well.

2 Subsequent to that, that's one of the
3 pressures that's reported in the November pressure map
4 presented by Mr. Greer.

5 Q Was the volume so small that you didn't
6 even have to change the amount injected because of the round
7 off that had occurred?

8 A That's right, there was not a great deal
9 of gas injected in that period of time in 1987.

10 The next well to the south is the well,
11 the Canada Ojitos Unit No. 5. It is the primary injection
12 well in the project, injecting into the A, B and C zones and
13 it's injected a cumulative volume of about 6.8-billion
14 cubic feet of gas into that particular well.

15 The next well is Well K-13 that's
16 injected 1.1 BCF of gas. According to our records injection
17 ceased in April of '87.

18 Moving further to the south we have
19 Canada Ojitos Unit No. 17 Well, which has injected 2.3-
20 billion cubic feet of gas. That well has until 1988 been a
21 C zone injection well with the 2.3 BCF of gas going into
22 that well.

23 And then, finally, there is the COU No.
24 19 Well at the far south end of the unit, which has injected
25 a 0.7 BCF of gas.

1 From each of these individual injection
2 wells we've drawn in arrows to producing wells in the pro-
3 posed expansion area.

4 Q All right, how did you identify the ex-
5 pansion area on Exhibit Four?

6 A The expansion area is the white area that
7 is located in the western portion of Range 1 West within the
8 boundary of what's designated as the Canada Ojitos Unit,
9 which is the dashed line surrounding that area.

10 Q Is that -- is that western line also the
11 pool boundary as it now stands between Gavilan and West
12 Puerto Chiquito?

13 A Yes, it is.

14 Q All right, I believe you were talking
15 about the arrows and the lines drawn from the injection
16 wells?

17 A Yes. Each of the individual arrows is
18 drawn and the arrows are drawn specifically to those wells
19 in the proposed expansion area that will benefit from gas
20 injection credit. All of those wells are currently limited
21 by their gas/oil ratios.

22 There are a total of 11 lines with arrows
23 drawn from the gas injection wells to those wells that would
24 receive benefit through the proposed gas injection credit.

25 Q And how have those distances -- what's

1 the ranges of distances from injection well to recipient
2 well and the net ratio?

3 A The range of distances range from a mini-
4 mum of about 20,200 feet to a maximum of about -- which is
5 about 4 miles -- to a maximum of about 36,000 feet, which is
6 approximately 7 miles.

7 Q All right, sir. One of the -- I believe
8 in Mr. Greer's testimony he testified that he thought the B-
9 32 had gassed out in the A and B, as I recall. Can you show
10 us the relationship of the B-32 with reference to these in-
11 jection wells and any other wells that are producing in the
12 pressure maintenance area?

13 A Yes. The B-32 Well is located in Section
14 32 of Township 25 North, Range 1 West. That particular well
15 is commingled in the A, B and C zones. You can see that
16 it's located approximately 23,000 feet from the Canada Oji-
17 tos Unit No. 17 Well; however, we need to remember that the
18 Canada Ojitos Unit No. 17 Well is a well that has injected
19 gas strictly into the C zone since it's -- since it's been
20 on injection until very recently when it was recompleted as
21 an AB well, AB injection well, as well.

22 In the intermediate, between the B-32
23 Well and the Canada Ojitos 17 Well, is located the C-34 Well
24 in Section 34. That particular well has individually from
25 the C zone accumulated -- has a cumulative production of

1 gas 4.3-billion cubic feet, of gas, so if that gas that has
2 -- that was measured in the production log in B-32, has come
3 from the injection -- from the injection program, it would
4 have had to come a distance -- well, it would have had to
5 come most likely from the area of the Canada Ojitos Unit No.
6 5 Well, which is many miles away.

7 We would note also that the No. 5 Well is
8 as close to another AB zone producer, the Canada Ojitos Unit
9 No. 13 Well, located in Section 27 of Township 26 North,
10 Range 1 West, which also produces from the AB zone. That
11 well is not gassed out in the AB zone, we have a production
12 log on that. That well is actually up-structure to the B-
13 32 Well.

14 So it seems very unlikely to me that that
15 gas that is reported to be produced from the AB zone, that
16 the source of that is indeed a gas injection project.

17 Q With reference to generally the location
18 of the wells that are supposed to receive this injection
19 credit to the injection wells, how would you describe those
20 distances for us, whether they appear to be close distances,
21 medium distances, or far -- far removed distances?

22 A Well, they see -- they seem to me to be a
23 fairly removed distance or a far distance, and it would seem
24 to me that basically the wells that are going to receive the
25 credit are either in a syncline area or on the opposite side

1 of the syncline area that runs through that particular re-
2 gion of the -- of the Mancos Pool, and also that these wells
3 are located on the -- on opposite sides of a -- of a perme-
4 ability barrier that we believe exists in between the injec-
5 tion wells and the proposed expansion wells.

6 Q Anything else you want to add on Mallon
7 Exhibit Four?

8 A No.

9 MR. DOUGLASS: Offer Mallon Ex-
10 hibit Four.

11 MR. CARR: No objection.

12 MR. LEMAY: Without exception
13 Mallon Exhibits Three and Four will be admitted into evi-
14 dence.

15 MR. DOUGLASS: Thank you, Mr.
16 Chairman.

17 Q I'd like to have identified for the re-
18 cord as Mallon's Exhibit Five, Area of Non-Communication --
19 a map entitled Area of Non-Communication.

20 Would you tell us what you've shown on
21 Mallon Exhibit Five?

22 A Yes. Mallon Exhibit Five is a map of the
23 same area that we showed on the preceding exhibit.

24 Once again the area that is part of the
25 Canada Ojitos Unit Pressure Maintenance Project is shaded in

1 -- shaded in brown and the proposed expansion area is shaded
2 in white.

3 What we have located on this particular
4 map are wells within the West Puerto Chiquito Pool that are
5 shut-in with the reasons they're shut-in generally being
6 that they are low productivity wells or, perhaps, a well
7 that is gassed out.

8 Beginning at the north end of the -- of
9 the map, we have shown a well that's shut-in. This is the
10 Canada Ojitos Unit No. 22 Well, which had a reported initial
11 potential, I believe, of 1 barrel of oil per day.

12 The next well to the south is the Canada
13 Ojitos Unit Number 21 Well, which in October of 1986, I be-
14 lieve, had an initial potential of 15 barrels a day and has
15 recorded a cumulative production of about 6000 barrels of
16 oil.

17 Moving further to the south we have the
18 Canada Ojitos Unit No. 24 Well. That particular well in
19 September of 1987 was reported to produce 2 barrels of oil
20 per day, and has registered a cumulative production of less
21 than 1000 barrels, I believe 600 barrels of oil.

22 And then moving basically to the south-
23 west from that, we have the well B-17, which is the Canada
24 Ojitos Unit 35 Well.

25 This well was drilled recently in July

1 31st of 1987. It completed ultimately as an observation
2 well after having an initial potential of 10 barrels a day.

3 All of these wells, incidentally, have
4 been massively -- or have been hydraulically fractured, and
5 we're quoting our pulse frac rates.

6 Moving then to the eastern -- to the east
7 a little bit into the pressure maintenance project, we have
8 the A-16 Well, which is the Canada Ojitos Unit No. 8, which
9 had an initial potential of about 40 barrels a day. That
10 well, by 1986, was being produced intermittently and actual-
11 ly in 1987 was recording flow rates in the order of 4 to 5
12 barrels a day with not an exceptionally high gas/oil ratio.
13 That well has produced a long period of time. It has accum-
14 ulated production of about 120,000 barrels of oil.

15 And then the final well that is shown as
16 a shut-in well is the A-22 Well, located in Section 22,
17 which was shut-in in June of 1972. This is a well that
18 really has been a fairly good well. It has cumulative pro-
19 duction of 500,000 barrels of oil. It was shut-in when the
20 gas/oil ratio reached 6000 standard cubic feet per stock
21 tank barrel. Once again this was back in 1972 itself.

22 We have connected the wells that are
23 shown as shut-in wells by a red line. We believe that the
24 productivity information demonstrated by these wells and
25 perhaps more importantly later on, the pressure information

1 that we have available to us demonstrates that there is a
2 region of low productivity that separates, basically, the
3 pressure maintenance area from the proposed expansion area.

4 Q I notice there are a couple more wells
5 you have information by in Section 34 and in Section 3 to
6 the south here, is that correct?

7 A Yes, that's correct. Those two wells are
8 both -- are both producing wells. The southernmost of those
9 wells is the Canada Ojitos Unit 16. In October of '87 we
10 have shown on there that it had a production capacity of 12
11 barrels of oil per day. This is a sustained productive capa-
12 city as indicated by the monthly production statistics.

13 Q In other words, October of '87 it pro-
14 duced the entire month and averaged 12 barrels a day?

15 A That's correct. So once again, that is
16 -- is really a relatively low productivity well in that par-
17 ticular area, as well.

18 Q And 10 MCF a day, is that correct?

19 A That's correct. That's correct.

20 Q The C-34, I believe you already mentioned
21 it, but what is that?

22 A Yeah. The C-34 well is a well that
23 produced basically from the C zone in the early 1970's.

24 In 1973 that well went high gas/oil
25 ratio and went to approximately a 10,000-to-1 gas/oil ratio.

1 It was produced continuously until 1985. It was shut-in in
2 '85, at which time it was producing 48 barrels of oil per
3 day with a 12,000 gas/oil ratio from -- from the C zone.

4 It was worked over in 1987 to add in the
5 A and B zones, as well. The test rate in December of 1987
6 of 48 barrels of oil per day and 488 MCF per day, which is a
7 10,000 GOR, would indicate to us that this well -- that the
8 production from the C zone, that by adding the AB zone, that
9 we really didn't gain anything from the AB and that it was
10 probably communicating with the C zone from -- from early on
11 in its productive life, because when it was recompleted in
12 the AB it produced essentially the same types of quantities
13 that had previously been produced out of the C zone.

14 Q How do those last two wells you described
15 compare with the producing wells in the expansion area
16 immediately across the area that you have designated
17 "barrier"?

18 A Obviously, there is a considerable dif-
19 ference in productive quality between the C-34, for example,
20 and the Canada Ojitos Unit 25, which is the B-32 Well,
21 which, in October of '87 produced at a rate of 770 barrels a
22 day and almost a million cubic feet of gas.

23 To the north of that we have the B-29
24 Well which in October produced at a rate of 992 barrels of
25 oil per day with approximately 2-million cubic feet of gas.

1 Q What about the G-5 or the Unit 37 Well?

2 A The Unit 37 Well in December of '87 pro-
3 duced 147 barrels of oil per day with 390 MCF per day. All
4 of those wells appear to be of a different quality than the
5 wells on the -- on the -- to the east.

6 Q Anything else you want to add with
7 reference to Exhibit Five?

8 A I'd like -- once again we've connected
9 the wells that were shut-in, low productivity, using a red
10 line to indicate where -- information where we do have low
11 productivity well deliverabilities. We've extended that
12 line and indicated in there a barrier to indicate the area
13 that we think is, basically, that is noneffective in
14 communicating with the proposed expansion area. The
15 southern part of that barrier we believe is supported not
16 only by differences in well quality but also differences in
17 pressure.

18 Q You'll have those on later exhibits, is
19 that correct?

20 A That's correct.

21 MR. DOUGLASS: Offer Mallon
22 Exhibit Five.

23 MR. CARR: No objection.

24 MR. LEMAY: Without objection
25 Mallon Exhibit Five will be admitted into evidence.

1 Q I'd like to have identified for the re-
2 cord as Mallon Exhibit Six a map entitled Initial Reported
3 Well Pressures. Could you tell us what's shown on Exhibit
4 -- Mallon Exhibit Six?

5 A Mallon Exhibit Six is a -- is the same
6 map, or the same type of map, that we've shown in preceding
7 exhibits. Once again the same area is described. The
8 pressure maintenance area is shown in brown once again.
9 We've overlain on this map the barrier that we believe is
10 supported by production and pressure information.

11 We have now added onto this information
12 some initial pressure information that we -- we had avail-
13 able to us on either side of this barrier.

14 The pressure information we have in the
15 pressure maintenance project, the last reported pressure in
16 the C-34 Well until a very recent pressure was provided to
17 us approximately two weeks ago, was a pressure that was
18 measured in December 28th of 1970. It was the last, to our
19 knowledge, the last oil zone pressure maintenance pressure
20 that was taken in the unit some 17 years ago. That pressure
21 corrected to a common datum of plus 370 feet results in a
22 bottom hole pressure of 1555 psi.

23 In early 1985 the Canada Ojitos Unit No.
24 25, otherwise known as Well B-32, was drilled and a pressure
25 taken in that well.

1 Q 14 years later.

2 A This is 14 years later. The pressure in
3 that well corrected to the exact same datum was 1720 psi.

4 In between these two wells, it's inter-
5 esting to note, is the calculated transmissibility, the ef-
6 fective oil transmissibility reported by Mr. Greer in his
7 exhibits of 14 darcy feet.

8 Q Anything else you want to add with refer-
9 ence to Mallon Exhibit Six?

10 A No.

11 MR. DOUGLASS: Offer Mallon Ex-
12 hibit Six.

13 MR. LEMAY: Without objection
14 Exhibit Six will be admitted into evidence.

15 Q I'd like to have identified for the re-
16 cord as Mallon's Exhibit Seven November 1987 Static Pressure
17 Information.

18 Will you tell us what you've shown on Ex-
19 hibit Seven, please, sir.

20 A Exhibit Seven is a map showing the Novem-
21 ber, 1987 static pressure information. These -- these pres-
22 sures are -- represent shut-in pressures. They represent
23 pressures converted to a common subsea datum as opposed to
24 any kind of surface measured pressures.

25 In general the conversion process was not

1 significant to the final numbers that are shown here, so
2 these numbers that are shown, we would consider to be very
3 accurate representations of pressures in the reservoir it-
4 self.

5 Q Were these pressures taken as a result of
6 the Commission's order of June 8, 1987, and the testing and
7 pressure requirements of that particular order?

8 A Yes, they were the result of those tes-
9 ting requirements. Yes, that is correct.

10 Q All right, sir. What do the -- what do
11 the pressures show?

12 A The pressures show a considerable amount
13 of pressure continuity in a north/south direction but a sub-
14 stantial lack of pressure continuity in the east/west direc-
15 tion.

16 Once again we've shown on this map our
17 interpreted barrier that separates the pressure maintenance
18 project from the proposed expansion area. In the pressure
19 maintenance project area we have the L-27 Well, which is,
20 from the production log, an AB producer with a measured
21 pressure of 1389 psi.

22 We then go the south to the E-10 Well,
23 which is a C zone well, which has a pressure of 1391 psi.

24 And we move then further to the south to
25 the C-34 Well, which at that time had pressure of approxi-

1 mately 1395 psi. All of these, once again, reported at a
2 common subsea datum of plus 370 feet.

3 On the west side of the barrier we have
4 values reported for the Canada Ojitos Unit No. 29, which is
5 the E-6 Well to the north, of 954 psi.

6 We have the D-17 Well, which is a well
7 that is strictly an observation well, not used as a produ-
8 cer. This observation well pressure was 994 psi in November
9 of 1987.

10 Then further to the south we have the
11 Canada Ojitos Unit 36, which is the A-20 Well, with a pres-
12 sure of 943 psi.

13 And further to the south we have the Can-
14 ada Ojitos Unit B-32, or No. 25 Well, which had a pressure
15 of 953 psi at that time.

16 I might add that there were other pres-
17 sures that were taken as part of the November survey. For
18 example, in Section 1 of Township 25 North, Range 2 West, we
19 have -- I'm sorry, that should be in the Section 2, we have
20 the Mallon Fisher Federal 2-1 in Section 2 of Township 26
21 North, which had at that time a reported pressure of 982
22 psi.

23 Q 982?
24 A 982.
25 Q All right.

1 A And then to the south of that well in
2 Section 12 we have the Johnson Federal Well, which had a re-
3 ported pressure of 1093 psi.

4 Q 1,093.

5 A And then, finally, further to the south
6 in Section 24 we have Meridian's Hill Federal Well, which
7 had a pressure of 908 psi.

8 Q 9-0-8, is that correct?

9 A That's correct. Once again we see a
10 great deal of uniformity in pressures on the west side of
11 the barrier. We see a great deal of uniformity of pressures
12 on the east side of the barrier, and we see in November a
13 pressure gradient of approximately 450 psi across the bar-
14 rier.

15 Now one comment I might make with respect
16 to measuring these kinds of pressure gradients using surface
17 pressure measurements and the difficulties involved in that,
18 is that we can compare, for example, from one of Mr. Greer's
19 exhibits, his shut-in surface pressure values, we can com-
20 pare the pressure drops that he reports from shut-in surface
21 pressures to the pressure drops that we actually measured
22 using -- using bottom hole pressure measurements.

23 The -- on the Greer exhibit that showed
24 the pressure gradients through the reservoir, the E-10 Well
25 in November of 1987 was reported to have a pressure of 1144

1 psi.

2 At that same time the E-6 Well was repor-
3 ted to have a pressure of 804 psi.

4 Now, if you compare the true difference
5 in bottom hole pressures across this barrier using actual
6 bottom hole pressure information, you would see that the
7 comparison of our lettered numbers, 954 to 1391, is a pres-
8 sure gradient of 437 psi pressure -- pressure difference;
9 whereas, if we make the comparison of Mr. Greer's reported
10 surface pressures and we compare the difference there, we
11 have a pressure difference instead of 437, we have a pres-
12 sure difference of only 340.

13 So the effect of using these shut-in sur-
14 face measurement pressures across this barrier is to under-
15 state the actual magnitude of the pressure discontinuity
16 that exists at that point in the reservoir.

17 Q Let me ask you, with reference to the
18 Mallon Exhibit Seven, what's your opinion as to whether that
19 pressure data taken in November of '87 indicates effective
20 communication from the pressure maintenance area to the ex-
21 pansion area?

22 A That data, together with other data we'll
23 be presenting, indicates to me that there is no effective
24 pressure communication between the two different areas.

25 Q Let me refer you back to Mallon Exhibit

1 Six, if I could. With reference to the initial pressures,
2 do these initial pressures indicate to you there is effec-
3 tive communication across the barrier as indicated on Mallon
4 Exhibit Six?

5 A That information, once again, indicates a
6 lack of effective pressure communication across the barrier.

7 Q Anything else you want to add with
8 reference to Exhibit Seven?

9 A No, I don't believe so.

10 MR. DOUGLASS: Offer Mallon
11 Exhibit Seven.

12 MR. LEMAY: Exhibit Seven will
13 be admitted into evidence without objection.

14 Q I'd like to have identified for the
15 record as Mallon Exhibit Eight a map entitled February 1988
16 Static Pressure Information.

17 Would you tell us what you've shown on
18 Mallon Exhibit Eight, please, sir?

19 A Mallon Exhibit Eight is a presentation of
20 a map of the same area as the preceding exhibits. Recorded
21 on this map are pressures taken in February, 1988, a survey
22 that was done in conjunction with the state testing
23 requirements.

24 Once again, these tests have all been
25 corrected to a common subsea elevation of plus 370 feet

1 above sea level.

2 Once again we have shown on this map the
3 barrier that exists between the pressure maintenance area
4 and the proposed expansion area.

5 To the east of this barrier in the pres-
6 sure maintenance area we have on the far north the L-27 Well
7 with a measured pressure of 1387 psi, essentially unchanged
8 from the 1389 psi that had been measured in November of 1988
9 at that same well location.

10 Then going to the south we have the E-10
11 Well, which has -- is a C zone producing well. It had a re-
12 corded pressure 1403 psi, up approximately 12 psi from the
13 1391 psi pressure reported in November of 1987.

14 Q Let me ask you about that E-10 Well.
15 Does that indicate that there was actually a pressure in-
16 crease from November '87 to February '88 in that particular
17 well?

18 A That's what the measurements tell us.

19 Q All right, sir.

20 A Then to the south we have repeated the
21 number that we had for the C-34 Well. There was not a
22 measurement taken in February of 1988. The November pres-
23 sure, however, was 1395.

24 The available pressure data on the east
25 side in the pressure maintenance area indicates certainly no

1 decline in pressures and, on the other hand, even an increase
2 in pressure, particularly on the E-10 Well.

3 We look, then, to the area that is west
4 of the barrier.

5 We begin on the north end with, once
6 again, the Canada Ojitos 29 Well, which is the E-6, which
7 had a measured pressure of 912, which represents, then, a
8 drop of 42 psi from the -- from the November, 1987 pressure.

9 Moving to the south we see the D-17 Well,
10 which had previously recorded a pressure of 994 has now de-
11 clined to a pressure of 961.

12 Moving further to the south, the A-20
13 Well, which had reported a pressure of 943, has now de-
14 clined to 924.

15 Q Let me stop you right there. I think
16 from a distance there appears to be an error underneath that
17 well, underneath pressure 943 and 924, is that correct?

18 A That -- that's correct. That should be
19 -- that's just an underscore under the 943 number and hap-
20 pens to then kind of line up with the "A" in "barrier",
21 makes it look like an arrow that points from west to east.

22 Q It's not really an arrow, it's just the
23 design of the map happened to come where the "A" was in the
24 "barrier", is that right?

25 A That's correct. Okay, and then the final

1 well where we have a recorded pressure is the B-32 Well,
2 where the pressure previously had been reported at 953, it's
3 now declined down to 936.

4 Now, we also have pressures -- we might
5 -- well, we also have pressures in February of 1988 for the
6 Mallon well, the Mallon Fisher Federal Well, which had a re-
7 corded pressure of 1,005 psi.

8 Q 1,005?

9 A Psi, that's correct.

10 Q All right.

11 A And then further to the south we have the
12 Johnson Federal Well in Section 12, which had a reported
13 pressure of 1,058.

14 Q 1,058?

15 A That's correct.

16 Q All right.

17 A Once again we have declining pressures in
18 -- on the west side of the barrier in the proposed expansion
19 area. We have pressures that have remained the same or gone
20 up to the east side of the barrier, and we have uniformity
21 of pressures north/south on the east side of the barrier,
22 and now, instead of having a 450-pound pressure difference,
23 we have a slightly greater pressure gradient across the --
24 across -- or pressure discontinuity across this barrier re-
25 gion.

1 Q With reference to Exhibit Eight, what's
2 your opinion as to whether those pressures taken approxi-
3 mately three months later indicate effective communication
4 from the pressure maintenance area to the expansion area?

5 A Given that this reservoir is reported to
6 have permeability thicknesses in terms of darcy feet, I
7 would say that there is no effective communication between
8 the pressure maintenance area and the proposed expansion
9 area.

10 Q Anything else you want to add with refer-
11 ence to Mallon Exhibit Eight?

12 A No.

13 MR. DOUGLASS: Offer Mallon's
14 Exhibit Eight.

15 MR. LEMAY: Exhibit Eight will
16 be admitted into evidence without objection.

17 Q Let us have identified for the record
18 Mallon Exhibit Nine, a graph entitled Comparison of COU
19 Pressure Maintenance Area Field Pressure and Gavilan Field
20 Pressure.

21 Tell us, if you would, what you've shown
22 on Mallon Exhibit Nine.

23 A Yes. May I approach this exhibit?

24 Q That would be fine. I'll be your poin-
25 ter.

1 A Thank you. Mallon Exhibit Nine is a com-
2 posite of pressure information that has been recorded for
3 the Canada Ojitos Unit Pressure Maintenance Area, the Gavi-
4 lan Mancos Pool, together with the proposed expansion area
5 in the Canada Ojitos Unit, and then we put both -- both sets
6 of information together.

7 Looking first to the panel that's in the
8 upper lefthand portion of the graph, the very upper lefthand
9 portion of that is data that was taken directly from the ex-
10 hibit presented by Mr. Greer showing the pressure, the early
11 pressure history of the pressure maintenance project.

12 Q That was in the March '87 hearing, is
13 that correct?

14 A That's correct, and all of the --

15 Q You actually reproduced that exhibit and
16 placed it on your Exhibit Nine, is that right?

17 A Yes, that's -- that's correct. That's
18 what that -- that portion of the exhibit is.

19 Q We have shifted the scale in order to
20 have the pressures presented at a common subsea elevation of
21 plus 370 feet above sea level, so that all data will be pre-
22 sented at a common elevation.

23 Once again the pressure information that
24 was available for the pressure maintenance area ceased in
25 December 28th of 1970, with a final measured in the C-34

1 Well, which is the final pressure, right, it's that very
2 last pressure point measured in the C-34 well.

3 Q Is that the same -- same pressure that
4 you had on Exhibit Six which you showed for the Unit 34
5 Well?

6 A Right. That is the pressure of 1555 psi.
7 Since that time, obviously, in 17 years or so that's tran-
8 spired since then, the pressure maintenance area has con-
9 tinued to produce although we haven't had any pressures to
10 include on this chart.

11 We've plotted -- we plotted the pressure
12 history against the cumulative production taken from the
13 pressure maintenance area, so the pressure maintenance area
14 itself has gone to a cumulative production of approximately
15 7.8-million barrels by the start of 1988.

16 At that point in time as a result of the
17 testing requirements, pressures were taken in the -- in the
18 Canada Ojitos Unit and one of the pressures we've shown here
19 is the E-10 pressure measured in February of 1988.

20 Q And you have shown that on Exhibit Eight
21 here, is that correct?

22 A Yes, that's correct. That's the 1403
23 pressure. Now, you can see we took that and a couple other
24 pressures at about that same point in time because we also
25 had pressures on the L-27 Well of 1387 and in November of

1 1987 we had a pressure on the C-34 Well of 1395. You can
2 see the net impact is -- that all the pressures would fall
3 essentially at the same point.

4 So for the pressure maintenance area all
5 three of those pressures fall along the trend that was es-
6 tablished early in the life of the pressure maintenance pro-
7 ject.

8 Now, the -- the upper righthand panel of
9 this same exhibit shows the recorded pressure history taken
10 from wells in the Gavilan Mancos Pool, as well as some of
11 the wells that are in the proposed expansion area, Canada
12 Ojitos Unit.

13 Once again, we have plotted on the left-
14 hand side of the graph well pressures, and these pressures
15 have been corrected to a common sea level datum of plus 370
16 feet.

17 We have plotted this information versus
18 the total cumulative production coming from both the Gavilan
19 Mancos Pool as well as the proposed expansion area, and you
20 can see that the -- that those two areas together have pro-
21 duced and I should note that the final pressures that you
22 see in -- on this particular exhibit and in November of
23 1987, because we didn't necessarily have all the production
24 to carry -- to put the February, 1988 pressures on.

25 So these pressures end in 1987 and what

1 you can see, then, is the pressure history for wells in the
2 -- in the Gavilan Mancos Pool proposed expansion area.

3 You can see that there is a good deal of
4 pressure communication between those wells that are located
5 in that area.

6 The wells that are shown by the large
7 symbols, the large triangle, the large square, the large
8 hexagon, and the large hourglass, are all wells in the pro-
9 posed expansion area.

10 Q That -- that's in this area you mentioned
11 earlier that's west of the pressure maintenance area.

12 A That is correct.

13 Q And then you have additional Gavilan --

14 A Then we have some additional Gavilan
15 pressures shown in there, as well.

16 We can see --

17 Q You list all the wells with the pressures
18 over on the --

19 A Yes, we list the wells. Unfortunately,
20 in the original there is some color coding here so it's very
21 difficult to -- on the Gavilan wells, necessarily to connect
22 a symbol back to a -- back to a specific well, because more
23 than one symbol shows up in this colored in black.

24 The --

25 Q Now the scale that this is done to is

1 pressure and -- versus cumulative production.

2 A Yes, and it is the same scale. In other
3 words, we've shifted it by 100 psi starting off with 900 psi
4 in the Gavilan, going up to 1850 psi, whereas, on the other
5 scale it went from 1000 psi up to 1950.

6 So it's the exact same scale. It's just
7 shifted a little bit.

8 We can see from the pressure expansion
9 area well measurements that those well measurements follow
10 the trend in Gavilan, of the Gavilan wells, as well.

11 Q What's the heavy black line you show in
12 the upper --

13 A The heavy black line is, I guess, what we
14 can refer to maybe as just an eyeball trend of the -- of the
15 pressure history, how it's declined as production has come
16 from the field.

17 The 5.2-million barrels that's been taken
18 out of the Gavilan Mancos Pool has occurred really since
19 1982. That 5.8 -- or 5.2-million barrels taken out in that
20 time frame, once again in contrast to the 7.8-million bar-
21 rels taken out in the period from 19-, I believe, 1962 or
22 '63, out through 1987, which is a period of about 24 years,
23 for the Canada Ojitos Unit.

24 The final panel is the one that we con-
25 sider the most significant. It is the combination of data

1 from the pressure maintenance area combined with data from
2 the Gavilan Mancos and proposed expansion areas.

3 We have plotted this on a time scale be-
4 ginning in 1962, extending out to 1988.

5 Q Let's see if I understand. You've now
6 converted the pressures and the cumulative production,
7 you've put the same pressures but converted the cumulative
8 production to time when that particular cumulative produc-
9 tion occurred. Is that correct?

10 A That's correct.

11 Q And in order to make a comparison between
12 these two, the two upper panels, which are on cumulative
13 production, the only comparisons you can make to those would
14 be on a time basis, isn't that correct, as far as -- as
15 where their pressures were at that particular time.

16 A That is correct. That's correct.

17 The early -- on the lefthand side of the
18 chart, the solid black line represents the early pressure -
19 time history for the Canada Ojitos Unit Pressure Maintenance
20 Area.

21 Q That would be off the graph that's been
22 presented as a Greer exhibit up to the point of -- of about
23 30 -- of about 3-million barrels of recovery within the per-
24 iod of roughly 1970, or thereabouts, is that right?

25 A That's -- yes, that's correct.

1 And then we have extended that period of
2 time where no pressures were taken out until 1988, where we
3 have recorded pressures in the C-14, which is the C-34 Well,
4 taken in November; the E-10 Well, and we both similar pres-
5 sures taken in both November as well as February for the E-
6 10 Well; and the L-27 Well, where we have similar pressures
7 taken in both November and February for that well, as well.

8 All three of those wells are in the pres-
9 sure maintenance area.

10 Q And all three of those pressures are
11 shown here in the course of the late 1987 or early 1988 on
12 the time scale.

13 A That is correct.

14 Q The pressure history from the Gavilan
15 Mancos Pool together with the pressures for wells in the
16 proposed expansion area is shown by the solid line on the
17 righthand side. It begins in 1982 at which time the Gavilan
18 Pool was discovered. It's apparent that the Gavilan area
19 had in 1982 approximately, I guess, looks to be about 20
20 years, 19 or 20 years, after development of the Canada Oji-
21 tos Unit Pressure Maintenance Area, the Gavilan area had not
22 suffered any significant amount of pressure depletion, such
23 that the pressure was close to original pressure and we
24 don't really have really good initial pressure information
25 in the Gavilan area, so that pressure could be a little bit

1 on the -- on the low side.

2 We see, then, the completely different
3 behavior of the Gavilan Mancos Pool and the pressure expan-
4 sion area from the pressure maintenance area. The expansion
5 area, as well as the Gavilan Mancos Pool, as it's depleted
6 has had a considerable drop in pressure, as would be expec-
7 ted when you -- when you deplete a reservoir such as this.

8 We note, we've noted on this particular
9 exhibit several individual wells in the pressure expansion
10 area, once again follow the trend of the Gavilan Mancos Pool
11 and, in fact, all the wells in the proposed expansion area
12 follow this trend.

13 Q Have you put some of those pressures on
14 Exhibit Nine on the bottom panel here, like the No. 32 Well,
15 you put the pressure -- that's Unit 25, you put that pres-
16 sure on? And you put a 28, Unit 28, B-29 pressure, another
17 well -- pressure out of the B-32 up here to show where those
18 particular pressures fell with relationship to that general
19 pressure decline, is that right?

20 A Yes, we have. I, and I might note that
21 the early -- the performance of the pressure maintenance
22 area had very little impact on Gavilan. In a similar sense,
23 it appears the performance of Gavilan is having very little
24 impact on -- if any, in fact I can't see any kind of impact,
25 on the pressure maintenance area.

1 Q Do the -- does this pressure versus tub-
2 ing and production data comparison indicate that -- that
3 there is effective communication between the Gavilan and ex-
4 pansion area versus the pressure maintenance area?

5 A It indicates that there is -- it's -- I
6 see no communication whatsoever between those two areas.
7 They appear to be performing completely independently. Once
8 again, this -- this kind of presentation is not just simply
9 a presentation of pressure gradient with -- of pressure gra-
10 dient across the field, it is a representation of the pres-
11 sure gradient with time, how that's actually changed.

12 Initially there was a pressure gradient
13 going in the direction from the Gavilan Pool into the pres-
14 sure maintenance area. That existed for 20, approximately
15 20 years. It's only been in the last year that that pres-
16 sure gradient has changes such that it is now going in the
17 direction of Gavilan to the west from the pressure mainten-
18 ance area, but once again, there's been no noticeable impact
19 on the pressure performance of either area by what happens
20 in the first area.

21 Q Well, you said gradient. Does that pres-
22 sure difference, then, really represent a gradient between
23 the two areas or does it actually represent the performance
24 of two separate reservoirs?

25 A I interpret it as a pressure discontinu-

1 ity, two separate reservoirs. They have no impact one on
2 the other.

3 MR. DOUGLASS: I offer Mallon
4 Exhibit Nine.

5 MR. LEMAY Exhibit Nine will be
6 admitted into evidence without objection.

7 Q We could identify for the record Mallon
8 Exhibit Ten, as set of calculations entitled Flow
9 Calculations from Gavilan-Proposed Expansion Area for
10 Reservoir Rock Described by Mr. Greer in Exhibit 3, Tab A,
11 page 7, 3/17/88.

12 We don't have a large one of these be-
13 cause we just got the information yesterday, is that cor-
14 rect?

15 A That's correct.

16 Q All right, what have you -- what have you
17 shown here on Mallon Exhibit Ten?

18 A Mallon Exhibit Ten shows an estimate of
19 how much fluid would have migrated from the Gavilan area to
20 the Canada Ojitos Unit Pressure Maintenance Area over the
21 period of time that the pressure maintenance unit was -- was
22 producing prior to the discovery of the Gavilan Pool.

23 The calculation is based on this
24 permeability thickness value that was identified through
25 these interference tests that Mr. Greer described previously.

1 Before we go through the calculations, I
2 might simply, if I could move to the second sheet, I might
3 note on the second sheet that the data that we have used in
4 this calculation, as you'll see, the critical piece of data
5 that we have used is for the interference test pair, Canada
6 Ojitos Unit C-34, Canada Ojitos Unit B-32, the two wells
7 that we say are on the opposite side of the barrier. That
8 is the far righthand column and then if we go to the very
9 bottom line, line number 13, in the lower righthand corner,
10 we see K (unclear). which represents oil transmissibility
11 measured in darcy feet, not millidarcy feet but darcy feet,
12 a value of 14.

13 We are going to perform a calculation
14 here, or we will form a calculation that is taken -- the
15 equation is taken from one of the classical texts in reser-
16 voir engineering, a text by Craft and Hawkins, and we have
17 included the cover sheet from that particular -- that par-
18 ticular textbook as the next page we reference equation
19 6.14. That is the equation that we'll be using. It de-
20 scribes linear flow of incompressible fluid, which basically
21 a liquid system is going to be of small compressibility, and
22 we're talking about steady state flow under an enclosed
23 pressure differential. We're going to calculate a flow rate
24 and from that we'll calculate how much fluid has migrated
25 across the boundary between the proposed expansion area to-

1 wards the pressure maintenance area, assuming the value of
2 permeability thickness is a correct value.

3 Q Let's get those two wells, then, C-34 and
4 the B-32 Wells.

5 A That is correct. That is the two wells
6 on either side of the barrier located approximately 10,000
7 feet apart.

8 Q And wells in -- those wells in November
9 had a 442 pound pressure differential as a result of shut-in
10 bottom hole pressure measurements, as shown on Mallon Exhi-
11 bit Seven, is that right?

12 A That is correct.

13 Q All right. You're now going to calculate
14 using Mr. Greer's millidarcy -- or his darcy feet here, what
15 kind of flow we would have during -- from west to east if
16 they were a common reservoir, is that correct?

17 A That is correct. We have repeated at the
18 very top of the front sheet the formula. This is straight
19 of Craft and Hawkins. There is nothing complex about this
20 in the least.

21 The value q represents the oil rate in
22 barrels of oil per day.

23 The value Kh is permeability thickness
24 measured in darcy feet.

25 We have a value that should be a large W ,

1 it looks like a symbol mu on this -- on my sheet, right un-
2 der Kh; that should be a large W.

3 Q You want everybody to make that a large
4 W?

5 A That is the flow width of the -- that's
6 the flow width, basically the length between the pressure
7 expansion area and pressure maintenance area, the common
8 boundary flank.

9 The pressure differential that we're
10 going to analyze is the pressure differential in the direc-
11 tion from the Gavilan Pool in the direction of the Canada
12 Ojitos Unit Pressure Maintenance Pool.

13 Okay. I'll tell you the values we used
14 in a second. The capital M value is the viscosity if the
15 fluid is flowing in centipoise. B is an oil formation vol-
16 ume factor and delta L is the linear flow length that the
17 pressure gradient exists across.

18 Now the values that we are using, we are
19 using a flow width of 8 miles. That -- that basically cor-
20 responds to the common barrier or the common boundary be-
21 tween the proposed expansion area and the pressure mainten-
22 ance area.

23 The pressure differential of 350 psi can
24 be seen from the preceding exhibit and it is the 350 pounds
25 between the initial Gavilan pressure and the dashed line.

1 That's 350 pounds imposed across that.

2 The mobility of the fluid is .6 centi-
3 poise. That's the viscosity -- I'm sorry, I said mobility,
4 that's the viscosity of the oil.

5 The formation volume factor is 1.3 reser-
6 voir barrels per stock tank barrel.

7 The length across which this 350 pound
8 pressure gradient has existed is -- 10,560 feet is the dis-
9 tance between the B-32 Well, which fell along the trend of
10 initial pressures in the Gavilan area, and the C-34 Well,
11 which is the well along the dashed line for the pressure
12 maintenance area.

13 And now what we're going to do is calcu-
14 late how much fluid would have flowed -- would have gone
15 across that barrier in the 17-year period, yeah, moving from
16 west to east in the 17-year period from the time the Canada
17 Ojitos Unit Pressure Maintenance Project started up until
18 Gavilan was discovered.

19 The next line is simply substituting in
20 those values that are not dependent on permeability thick-
21 ness and coming up with a flow rate then is equal to 2039
22 times whatever the permeability thickness value is. We take
23 Greer's value of 28,000 barrels a day across this boundary,
24 which over a 17 year period would result in the flow of
25 177,000,000 barrels of oil across that boundary.

1 Obviously, that amount of oil hasn't --
2 hasn't gone across the boundary. What that tells us is that
3 that permeability thickness product just can't be realistic;
4 it just can't be anywhere close to realistic.

5 If it were that high, basically we would
6 have found Gavilan had the same pressure as the Canada Oji-
7 tos Unit Pressure Maintenance Project, and we didn't.

8 If we went through and calculated what
9 might be reasonable values for that kind of pressure differ-
10 ential, we might come down to a value of, say, .01, which is
11 10 millidarcy feet, a lot more consistent with the kinds of
12 wells that we've seen in that area between the -- between
13 the pressure maintenance area and the proposed expansion
14 area, and in the case of -- in that case we would have seen
15 over that 17-year period a flow of maybe 127,000 barrels of
16 oil.

17 Q Would you consider 127,000 barrels of oil
18 flowing over a period of 17 years to be effective communica-
19 tion between the two areas?

20 A No, I would not.

21 Q Anything else you want to add with refer-
22 ence to Mallon Exhibit Ten?

23 A No.

24 MR. DOUGLASS: I offer Mallon
25 Exhibit Ten.

1 MR. LEMAY: Exhibit Ten will be
2 admitted without objection.

3 Q Let us have identified as Mallon Exhibit
4 Eleven a set of graphs that were taken out of Mr. Greer's
5 exhibits with additional calculations made with reference to
6 such.

7 We don't have large copies of these,
8 either, Mr. Chairman. These were just made from the data
9 that we obtained yesterday.

10 All right, Mr. Hueni, what have you shown
11 on Mallon's Exhibit Eleven?

12 A Mallon Exhibit Eleven is a review of
13 several of the fracture stimulation flow tests that have
14 been referred to as the basis for indicating that there is
15 substantial pressure communication across this barrier area.

16 Interference tests, interference testing
17 in general can be done one of many different ways.

18 I think the way that we believe to be the
19 most correct, what we know is the most correct, is basically
20 the way as shown on our last exhibit where you plot up the
21 bottom hole pressures, the measured bottom hole pressures
22 versus time and you see, then, if the performance of one
23 area affects the performance of the other area, and the data
24 clearly indicates that there is no effective communication
25 between the pressure maintenance area and the proposed ex-

1 pansion area.

2 Q You said last exhibit. I believe our
3 last exhibit was Exhibit Ten. Are you referring to Exhibit
4 Nine?

5 A That is correct, I'm sorry, Exhibit Nine.

6 Q And also Exhibit Eight and Exhibit Seven
7 show that same type of interference test that you're talking
8 about.

9 A That -- that is correct, just the spot
10 pressure measurements to get a point in time also show that,
11 but even more meaningful is this trend in pressures that
12 we've observed.

13 A second type of interference test is the
14 type that is classically run where a well is -- is turned on
15 or shut-in or injected into and then an observation well is
16 used to monitor pressures and they're observed then if there
17 is any kind of pressure response.

18 Q Let me ask you about that. Was that any
19 type of those conventional type interference tests across
20 the barrier as you've shown it on Exhibit Eight?

21 A We have looked in detail at the informa-
22 tion that was provided to us about two weeks ago by Mr.
23 Greer. During those tests there were several periods where
24 Mr. Greer had run pressure bombs in the hole. They were in
25 the hole and during those periods of time significant chan-

1 ges were made on one or the other side of this barrier with
2 a pressure bomb on the opposite side of the barrier.

3 Unfortunately, in all cases the battery
4 failed and we have no test that represents the conventional
5 test.

6 To give you specific examples of this, we
7 have pressure measurements for the C-34 Well. We are, how-
8 ever, missing the data between August 18th and September
9 11th of 1987. The expansion area at that time -- well, the
10 C-34 Well had a pressure bomb in the well at that time. The
11 expansion area production at that time was producing approx-
12 imately 3000 barrels a day.

13 On the 19th Well B-29, F-30, and J-6 were
14 shut-in. Production was reduced to 1600 barrels a day and
15 for the period 8-20, August 20th to August 22nd, those wells
16 remained shut-in.

17 After August 20 those wells were returned
18 to production, increasing the rate to 3300 barrels a day.
19 In the -- well -- and then on the 27th B-32 was shut-in, re-
20 ducing the rate down to 2500 barrels a day.

21 Pressure changes monitored in C-34, if
22 pressure changes had been monitored successfully in Well C-
23 34, and they had demonstrated any kind of variation in pres-
24 sure was directly responsive to the turning on and shutting
25 in of these wells on the opposite side of the barrier, we

1 could have considered that as a conventional interference
2 test. Unfortunately, once again, all of that data was --
3 was not available as a result of mechanical malfunctioning
4 of the pressure gauges.

5 We had a similar situation to that exist
6 in -- in the period of about November 1st, '87, at which
7 point in time there was a pressure gauge in the B-17 Well,
8 as well as in the C-34 Well, I believe. The E-10 at that
9 time, which is in the pressure maintenance area, was placed
10 back -- was placed back on production and injection was re-
11 duced.

12 The expansion area during that time pro-
13 duced at a constant rate. Once again, a measurement of
14 pressure change fluctuations in the D-17 Well resulting from
15 these changes in the E-10 and the change in injection in the
16 pressure maintenance area would have been indicative of in-
17 terference effects in a conventional sense.

18 Once again this data is not available be-
19 cause of mechanical malfunctioning of the gauges.

20 So unfortunately, the only type of in-
21 terference information that we have available to work with
22 is interference information information that was derived
23 from fracture stimulation treatments.

24 Q Would you say that's the interference
25 across this barrier as opposed to conventional interference

1 tests? In other words, you're talking about fracs across
2 the barrier or wells that are on either -- either side of
3 the barrier trying to see if those have an effect across the
4 barrier, is that right?

5 A That is correct.

6 Q Okay. What about Exhibit Eleven, then,
7 what's the first sheet on it?

8 A The first sheet on Exhibit Eleven is a
9 plot taken from Mr. Greer's Exhibit Number Two, Tab G, pre-
10 sented yesterday, of the response to frac treatment of the
11 Canada Ojitos Unit F-7 Well, or frac treatment in that well
12 to the bottom hole pressure survey build-up on Well Canada
13 Ojitos Unit J-6.

14 These are two wells which are accepted to
15 be in the pressure expansion area to the west of the bound-
16 ary.

17 The plot is expressed in terms of pres-
18 sure on the lefthand scale versus time along the X axis.

19 We can see that the F-7 frac began on
20 November 25th, 1987, and immediate and significant pressure
21 response was noted in the range of approxiately, oh, looks
22 like about 9 psi, after which the pressure frac undoubtedly
23 was terminated shortly thereafter, followed by a sharp pres-
24 sure decline and then once again returned to the normal rate
25 of build-up of the pressure plot for the J-6 Well.

1 Q Does that indicate to you that this is --
2 the first page of Mallon Exhibit 11 is an exact duplication
3 of Mr. Greer's Exhibit Two, Tab G, found there, is that cor-
4 rect?

5 A That's exactly right and it indicates
6 fracture response. It indicates communication.

7 Q Between two wells that we show west of
8 the barrier, is that correct?

9 A That is correct.

10 Q In the area that you've previously testi-
11 fied about having good communication in light of the pres-
12 sures that you've seen in that area.

13 A That is correct.

14 Q All right, sir, what's the second page?

15 A The second page is a similar type of
16 fracture interference effect and it is taken from Mr.
17 Greer's Exhibit Number Two, Tab H, same date. It is, once
18 again, the result of fracturing in the Canada Ojitos F-7
19 Well and then it is the effect on the Canada Ojitos Unit E-6
20 Well.

21 Q A well a little further removed than the
22 J-6, is that correct.

23 A That is correct, a little --

24 Q And then --

25 A -- further removed.

1 Q But in the same section west of the bar-
2 rier in the area of good communication.

3 A That is correct. This plot, once again,
4 is presented on the scale of pressure on the lefthand side
5 and time along the X axis.

6 Once again, the starting frac is noted on
7 11-25-87; a pressure response is obtained; pressure in-
8 creases by 1 to 1-1/2 psi over the trend; and then after
9 termination of the fracture treatment it eventually is -- is
10 fractured at a depth that bleeds off into the formation, the
11 fracture fluid bleeds off into the formation, the fracture
12 response dies out and the trend in build-up pressures con-
13 tinues.

14 Once again we've noted Mr. Greer's noted
15 the fracture response and we agree with that one, too.

16 Q What's the third page? What does it
17 cover?

18 A The third page now is the fracture stimu-
19 lation of the well C-34 and then the pressure measurements
20 taken in well B-32, which Mr. Greer indicated indicate frac-
21 ture response and that is, in fact, is shown; he has shown
22 that on his exhibit by a difference between the dotted lines
23 and the dashed lines or he's written in fracture response.

24 Once again this is taken from Greer Exhi-
25 bit Number Two, Tab B.

1 I have added onto that in my handwriting
2 that the upper set of dotted -- of dots represent Gavilan --
3 a period of time when Gavilan was producing and all wells
4 that were in Township 25 North, Range 1 West, were shut-in.

5 The lower curve, which was presented for
6 the comparison on B-32 which showed no inflection, at that
7 point in time, that same point in time, Gavilan wells were
8 on production and we aren't exactly sure what the status of
9 individual wells in the Canada Ojitos Unit pressure expan-
10 sion area were at that point in time.

11 So we're not sure about possible inter-
12 ference effects. What we have here is what is shown as
13 fracture response on this (unclear) could just as easily be
14 referred to as non-homogeneous reservoir behavior.

15 I'd like to -- to note that on this par-
16 ticular exhibit, contrary to the other two exhibits, we now
17 have pressure plotted versus a logarithm of time, not time
18 versus a logarithm of time.

19 Q Does that make an effect on what the
20 pressure -- pressures look like as far as this goes?

21 A It makes a great effect on that.

22 Q What is shown on the fourth page?

23 A Okay, the fourth page, now, is that exact
24 same data converted to the same scale as Mr. Greer presented
25 his -- his exhibits on the other two wells for. This is a

1 plot of pressure versus time. It is for exact -- it is for
2 the exact same well here, the C-34, B-32, pressure versus
3 time, and I have a feeling if we had put in there the point
4 at which they started pumping the C-34 frac, that nobody
5 would be able to see any change in trend in pressures.

6 Q Let me see if I understand. The first
7 two pages, you indicate that data on that shows frac
8 response between the wells west of the -- of the barrier and
9 in the good communication area, is that correct?

10 A That is correct.

11 Q And it's done on a time basis.

12 A That's right, it's done on a time basis.

13 Q Then, the exhibit that Mr. Greer shows on
14 the supposedly interference across the barrier, he uses a
15 delta, delta versus time, logarithmic time, is that correct?

16 A That is correct.

17 Q All right, sir, and you have on the next
18 sheet, page 4, converted that pressure to actual time on the
19 same scale basis, and the same time basis, as the first two
20 exhibits, is that correct?

21 A That is correct.

22 Q Did you see a frac response on the B-32
23 from the work done on C-34?

24 A I see no response and certainly no imme-
25 diate response and nothing that would indicate a high per-

1 meability connection between the two.

2 Q All right, sir, what's the fifth page?
3 Do you have a fifth page? Take my fifth page.

4 A The fifth page is a page taken also from
5 Mr. Greer's Exhibit Number Two. It is the results of the --
6 of the pressure run in the well B-29 well, which is in the
7 proposed expansion area, at the same time that the well C-34
8 was stimulated, the well C-34 in the pressure maintenance
9 area was stimulated.

10 Q Again across the barrier?

11 A Once again across the barrier.

12 Q This is Greer Exhibit Two, Tab C, where
13 it shows this graph, reproduction of it.

14 A That is correct.

15 Q All right, sir. What's the scale on this
16 one?

17 A Once again the scale, as was the case for
18 the last well, is pressure versus the logarithm of shut-in
19 time. Once again, the deviation from the straight line is
20 shown as fracture response where it could be just as easily
21 attributed to a non-homogeneous formation or under -- under
22 effect such as that.

23 Q What have you shown on page 6, then?

24 A Page 6 is the exact same data taken on
25 the pressure survey on the B-29 well taken at the same point

1 in time, plotted on the same scale that Mr. Greer presented
2 his first two wells on, that is just on a straight time
3 basis, pressure versus time.

4 Q Wait a minute, now, I don't see any frac
5 indication on that -- on that page 6. When --

6 A Well, I --

7 Q -- was the well fraced?

8 A -- I unfortunately left it off. I assume
9 that it was maybe not particularly obvious that that well
10 was fraced at about some time between 70 and 80 hours of
11 shut-in.

12 Q So if the -- if the Commission wanted to
13 put on that exhibit when the well was fraced, it was between
14 70 and 80 hours, is that correct?

15 A That's when I interpret it. I know it's
16 right in that time frame.

17 Q Do you see any frac response in -- in
18 that period of time or any other period of time from about
19 50 hours on?

20 A No, I don't.

21 Q All right. What's the page 7?

22 A Page 7 is another frac response, response
23 to frac treatment. Now it is using the fracture treatment
24 in the F-7 and using the D-17 Well as -- as a pressure
25 monitoring well.

1 And once again this well has been plot-
2 ted pressure versus logarithm of shut-in time. This is
3 taken also from Greer's Exhibit Number Two, Tab I, presented
4 yesterday.

5 Q All right, have you actually added some
6 additional information on this from that original exhibit?

7 A Yes. We have added, for example, if you
8 would look on the lower lefthand portion of the graph, we've
9 drawn a line through what appears to be an early time, or I
10 won't say early time, it appears to be a slope that was in
11 effect up to a log delta T value of about 4.4, of about 3.6
12 pounds per cycle.

13 We then see a change in slope of 5.3
14 pounds per cycle, which could, once again, reflect -- it's
15 possible that it would reflect a barrier in that particular
16 well; could -- it might simply reflect some sort of non-hom-
17 ogeneous behavior in that particular well.

18 We move further up, we've added the value
19 of 5.3 pounds per cycle, I believe, as I remember his -- Mr.
20 Greer's exhibit. We move further up and we have added,
21 there was an 11 pound per cycle trend that was drawn and
22 then frac response was associated with it.

23 Well, we noted that that 11 pound per cy-
24 cle actually began almost a day before the second 11 pound
25 per cycle value is then used to identify frac response.

1 I think our point is simply that it is
2 very difficult to use this kind of information to identify
3 interference effects because it can be confused with so many
4 other effects, and, in fact, we would have a hard time ac-
5 cepting fracture interference as a standard by itself be-
6 cause it represents, basically it is not fluid flow through
7 a porous media, it is parting of the rock and pushing fluid
8 through that rock at a high rate, and the fact that you can
9 do it demonstrates that, well, that is just not fluid flow
10 through porous media and shouldn't be analyzed as such.

11 Q All right, the next -- the next to the
12 last page, what is shown in Mallon Exhibit Eleven?

13 A The final page in Mallon Exhibit Eleven
14 is the same information, the pressure maintenance on the D-
15 17 plotted as a function of time versus pressure, once again
16 noting where the -- they started pumping the F-7 frac, not-
17 ing the irregular shape of the build-up and certainly it is
18 difficult for us to ascribe any of that behavior, particu-
19 larly the frac response, although we do believe that the F-7
20 and D-17 wells are in an area that is in pressure communica-
21 tion.

22 Q All right. Is there any other comments
23 you'd like to make with reference to the interference tests,
24 use of the various pressures, surface pressures versus the
25 bottom hole pressures, items of that sort, with regard to

1 trying to determine whether there's effective communication
2 across this barrier?

3 A We believe that the information that is
4 the most valid is the long term pressure trends monitored
5 and recorded in a bottom hole -- through bottom hole
6 measurements.

7 We believe that those pressure measure-
8 ments give valid results where you can have results that are
9 misinterpreted using surface measured pressures.

10 We believe that interference tests that
11 are run in a conventional sense where we have wells that are
12 produced and then pressure changes measured as a result of
13 production or injection, but not in such high rates as occur
14 during fracturing, are valid measures of interference, and
15 in this particular case all of our analysis indicates that
16 there is no interference that has occurred across that area,
17 even as a result of fracture treatments.

18 MR. DOUGLASS: Offer Mallon Ex-
19 hibit Eleven.

20 MR. LEMAY: Exhibit Eleven into
21 evidence without objection.

22 MR. DOUGLASS: Mr. Chairman,
23 we'd like to have identified for the record the next two ex-
24 hibits since they will be referred to in tandem. It's Mal-
25 lon Exhibit Twelve, a map entitled December, 1987 Well Sta-

1 tus. You may recall yesterday morning that was a map that I
2 referred to in my opening statement.

3 We'd like to have identified as
4 Mallon Exhibit Thirteen a tabulation entitled COU Unit Pro-
5 duction Data.

6 We don't have a large blow-up
7 of Exhibit Thirteen but we do on Exhibit Twelve.

8 Q Can you tell us what you've shown on Ex-
9 hibit Twelve and Thirteen, please, sir?

10 A Yes, sir. Exhibit Twelve is a status map
11 showing the current status of wells producing in the pres-
12 sure maintenance area and then the status of wells producing
13 in the proposed expansion area and Gavilan area.

14 We've color coded this exhibit to show
15 basically the wells that are current active injection wells
16 as of December '87 in blue. Wells that are shut-in, inac-
17 tive, are shown in yellow. Wells that are producing from
18 the pressure maintenance area are shown in the pinkish
19 color. We've once again shown the barrier. We have then
20 shown the wells that are producing in the pressure expansion
21 area, or the proposed expansion area, in green.

22 Q Plus you've shown the wells in green pro-
23 ducing from the --

24 A Yes, from the Gavilan Mancos --

25 Q -- Gavilan.

1 A -- area from the western -- from the
2 eastern two tiers of sections.

3 We have shown on each of these, we've
4 shown relative rates of production of the various wells. If
5 we were to review this information and look first at the
6 wells that are producing in the pressure maintenance area,
7 we would note that in December the E-10 Well, which is lo-
8 cated in Section 10 of 25 North, 1 West, produced only one
9 day during that month. It produced at a rate of 227 barrels
10 of oil per day and 1.8-million per day.

11 Q I'm sorry, l. --

12 A 1.8-million cubic feet of gas per day for
13 one day, and 227 barrels of oil for that one day.

14 There are six other wells that are lo-
15 cated in the pressure maintenance area that produce. In to-
16 tal, those six wells produce a total of 380 barrels a day
17 for an average of 63 barrels a day. These wells represent
18 wells that are up-dip of the barrier, up-dip of the perme-
19 ability barrier. They represent the last row of producers
20 in the pressure maintenance project.

21 Several of these wells have higher GOR's
22 than you might expect of solution GOR's. This is not a re-
23 sult of Gavilan production, Gavilan depletion. Those wells,
24 as you have noted, or as we have noted, have pressures in
25 line with the pressures they've always had, 1400 pounds. We

1 had a pressure in the E-10 Well and the L-27 Well. Both of
2 those are higher than solution GOR wells. They have not had
3 any kind of severe pressure decline. Their GOR increase is
4 not a result of Gavilan withdrawals.

5 We believe this is the last row of pres-
6 sure maintenance producers that will be able to produce.

7 Q Unless some additional wells are drilled
8 to the west and on the east of the barrier, is that right?

9 A Well, that's -- that's always possible.
10 There could be several additional wells drilled in the pres-
11 sure maintenance area.

12 In the proposed expansion area the wells
13 shown in green, in that area there are 11 wells. Those 11
14 wells produce 2800 barrels a day for an average of 246
15 barrels of oil per day.

16 Q I believe there's actually 12, I believe
17 there's --

18 A Well, there's one that at that time was
19 recovering frac oil.

20 Q Oh, I see, I'm sorry, it's that one.

21 A Yeah.

22 Q Continue.

23 A These wells are producing at a much
24 higher rate in spite of the pressure being lower. Their
25 performance is not -- has not had any impact on the

1 performance of the -- of the pressure maintenance wells.

2 If we -- I'm sorry, if we look, then, at
3 Exhibit Thirteen that summarizes the production data, we
4 would note what we've shown on this is we've shown a 3-year
5 period, 1985, 1986 and 1987.

6 We have recorded the production from the
7 existing pressure maintenance area, both oil and gas, the
8 area that's shown in brown.

9 We've recorded the production from the
10 proposed expansion area wells, the wells shown in green --

11 Q At the beginning of 1985, is that when
12 the production in the expansion area essentially started?

13 A That is correct. Prior to 1985, prior to
14 the development of Gavilan Mancos Pool, wells were not
15 present along that proposed expansion area. Those wells
16 have been drilled in response to the development that has
17 occurred in the Gavilan Mancos area.

18 And we've also shown the total oil and
19 gas production. We have then taken -- the next line is the
20 percentage of total unit production represented by the oil
21 and gas.

22 Now we might note that in 1986 in the
23 proposed expansion area, that includes four months of
24 production that's at restricted allowables resulting from
25 the allowable restrictions.

1 In 1987 that production includes 7-1/2
2 months at restricted allowable, but 4-1/2 months of normal,
3 statewide allowable production.

4 The percentage of total unit production
5 in each year for each of the different areas is shown below.

6 In 1985 61 percent of the oil came from
7 the pressure maintenance area, and 39 percent came from the
8 proposed expansion area.

9 By 1987 only 15 percent of the oil is
10 coming out of the pressure maintenance area with the 85 per-
11 cent of the oil coming from the proposed expansion area.

12 We would conclude from this that not only
13 is the pressure maintenance area at its, probably final
14 stages of depletion in terms of the benefits of pressure
15 maintenance, but we would conclude that the basic way that
16 the operation of the West Puerto Chiquito -- West Puerto
17 Chiquito Field has become more of an operation that is based
18 on competition with the Gavilan Mancos Pool.

19 MR. DOUGLASS: Offer Mallon Ex-
20 hibits Twelve and Thirteen.

21 MR. LEMAY: Exhibits Twelve and
22 Thirteen are admitted into evidence without objection.

23 MR. DOUGLASS: I'd like to have
24 identified for the record Mallon Exhibit Fourteen, a bar
25 graph entitled Calculated Allowable Production Rates Using

1 December, 1987 GOR & Restricted Gavilan Allowable.

2 Q What have you shown on Mallon Exhibit
3 Fourteen?

4 A Mallon Exhibit Fourteen shows the compet-
5 itive position or competitive relationship of wells that are
6 in the eastern two tiers of the Gavilan Mancos Pool, produc-
7 ing from that area, compared to the production that is being
8 taken from the proposed expansion area in the Canada Ojitos
9 Unit.

10 Q You show 23 active wells in the Gavilan
11 and refer back to Mallon Exhibit Twelve, would those be the
12 green colored wells there?

13 A Yes, that's correct. There are a couple
14 wells, I believe there are a few more than that, there are a
15 few wells that are down in Township 24 North, Range 2 West,
16 that were extremely low volume or zero volume producers
17 that were not included in these calculations.

18 Q For instance, in the -- in Section 2
19 there's a well, no barrels of oil per day.

20 A Yes.

21 Q I believe there's a well, Amoco well, in
22 Section 14, it's WOPL, waiting on a pipeline, is that cor-
23 rect?

24 A Yes, that's correct.

25 Q There's a well down in Section 24 that

1 says one barrel of oil a day.

2 A Right, and that's really not offsetting
3 the proposed expansion area.

4 Q All right. So the 499 for the Gavilan
5 wells comes from the remaining green 23 wells shown on Exhi-
6 bit Twelve in the -- in the Gavilan Pool area, is that cor-
7 rect?

8 A That is correct. And then on the right-
9 hand side we have for in the pressure or expansion area we
10 have included a total of 12 wells, as indicated in green,
11 and we have estimated for one well, the well that was in
12 Section 7, that was being recovering frac oil, we included
13 that based on its recent initial potential rate of about 140
14 barrels of oil a day.

15 The production derived from the Gavilan
16 area, these eastern two tiers of sections in the Gavilan
17 area, is shown in the cross hatched area by the cross
18 hatched bars, and the production derived in the pressure
19 expansion area is shown by the solid bars.

20 All of our -- these are calculated
21 numbers. They are based on the observed gas/oil ratios
22 measured in December. It is based on restricted Gavilan
23 allowable that allows production from a well on 320-acre
24 spacing of 400 barrels a day and a 600-to-1 GOR, which means
25 that no more than 240 MCF per day of gas can be produced

1 from one of those wells.

2 Under that set of circumstances we see
3 that the Gavilan -- Gavilan Mancos, for the two tiers of
4 sections in Gavilan can produce approximately 500 barrels of
5 oil per day, whereas the 12 wells in the Canada Ojitos Unit
6 area, many of which are on 640-acre spacing, can produce
7 1732 barrels of oil per day.

8 Looking then to the righthand side,
9 righthand set of bars, we will see that if gas injection
10 credit is applied -- is approved for the proposed expansion
11 area, obviously it doesn't affect the Gavilan side of the
12 fence at all, it stays at 500 barrels a day, but the Canada
13 Ojitos Unit pressure maintenance area production will expand
14 on the order of 2723 barrels a day.

15 Q That difference is approximately how many
16 barrels?

17 A It's approximately 1000 barrels, 991 bar-
18 rels.

19 Q Increase. Now if you take Mr. Greer's
20 production figures that he showed the ability of his wells
21 to produce in this expansion area, I believe it was some-
22 thing in excess of 3100 barrrels, is that correct?

23 A I believe that's correct, although he in-
24 dicated that with the pressure decline it might not be quite
25 that high now.

1 Q Do you feel, then, that the 2723 is at
2 least a minimum type ability of those wells in the expansion
3 area to produce?

4 A I think that's -- that's a minimum, yes.

5 Q All right, what conclusion do you draw
6 from the Fourteen Exhibit?

7 A The conclusion that's immediately drawn
8 from that is that there is a real danger -- well, the con-
9 clusion is that there is probably going to be severe drain-
10 age that would occur in the event that the pressure -- pro-
11 posed expansion area is included in the pressure maintenance
12 project and a situation where production is already 3-1/2-
13 to-1, a production advantage of 3-1/2-to-1 will be increased
14 to a production advantage of 6-to-1.

15 Q Seeing the current advantage that -- that
16 the expansion area has over the two sections in the Gavilan
17 area is about a 3-1/2-to-1; that is 1732 versus 5 -- 499?

18 A Yes, that's correct.

19 Q And if the application is granted here
20 where injection credit is obtained for wells that you've in-
21 dicated are not in effective communication with the pressure
22 maintenance project, the unit could increase its production
23 just in that area by almost 1000 barrels a day.

24 A That is correct.

25 Q With a ratio of almost 6-to-1 over the

1 hibit Fourteen.

2 MR. LEMAY: Exhibit Fourteen
3 will be admitted into evidence without objection.

4 MR. DOUGLASS: I'd like to have
5 identified as Mallon Fifteen a bar graph entitled the same,
6 I believe, as the previous one, with reference to the Mallon
7 Howard Federal 1-8 Well and the BMG Unit 29 Well.

8 Q Would you tell us what you've shown on
9 Mallon Exhibit Fifteen, please, sir?

10 A The preceding exhibit compared the wells
11 that were in the eastern two tiers of the Gavilan Pool to
12 the wells that are in the western two tiers in the proposed
13 expansion area in the Canada Ojitos Unit. This particular
14 example is a comparison of how the -- how a gas injection
15 credit for the proposed expansion area would affect two off-
16 setting wells. The two wells that we've selected are the
17 Howard 1-8 and the Canada Ojitos Unit No. 29.

18 Q Represented by the slashed bar graphs, is
19 that right?

20 A That is correct. The Howard Federal 1-8
21 is in Section 1 in the northeastern corner of that section.

22 The Canada Ojitos Unit No. 29 is in the
23 northwestern corner of Section 6 of -- of the next township.

24 Those wells are located approximately
25 2000 feet apart. They have had an interference test run be-

1 tween those two wells, indicating excellent pressure commun-
2 ication between those two wells. They are both high capa-
3 city wells.

4 Q Do you think they're comparable wells?

5 A I would consider them very comparable
6 wells.

7 Now, what we've shown on this graph,
8 we've shown the December gas/oil ratios which control the
9 allowables, so, for example, the Howard Federal 1-8 produc-
10 tion of 24 barrels a day is controlled by 10,199 standard
11 cubic foot per barrel GOR, whereas the 50 barrels a day
12 being produced from the E-6 well is controlled by 4,818
13 standard cubic foot per barrel GOR.

14 So both wells have additional capacity.
15 In October of 1987 the 1-8 well produced 264 barrels of oil
16 per day.

17 Q 264 barrels of oil per day in October?

18 A That's correct, and when it produced that
19 264 barrels of oil per day, the gas/oil ratio was measured
20 at 3,609.

21 Q 3,609 in October.

22 A That's correct.

23 Q At the 264-barrel a day rate.

24 A That's right. The --

25 Q Are you telling me now that it's produc-

1 ing 24 barrels of oil a day its ratio is almost 3 times
2 greater, 10,199?

3 A That is correct. Now, the Canada Ojitos
4 Unit No. 29 Well in October produced 313 barrels of oil per
5 day.

6 Q 313 barrels of oil per day.

7 A And the gas/oil ratio on that well in Oc-
8 tober was 3,312.

9 Q 3,312 in October.

10 A That is correct. We've shown then on the
11 lefthand side, based on the December GORs, the significant
12 reduction in production for those wells from their producing
13 capacity, in the case of Mallon from 254 barrels a day down
14 to 24; in the case of the Canada Ojitos well from 313 down
15 to 50.

16 Now, with the gas injection credit, the
17 competitive position between these two wells worsens consid-
18 erably. The Mallon well is not going to increase in produc-
19 tion. It stays at a low value of 24 barrels a day, whereas
20 the Canada Ojitos Unit well increases to 155 barrels a day
21 as a result of the gas injection credits.

22 Q In your opinion what is -- under those
23 conditions, that is, going from 50 versus 24 to 155 versus
24 24, what's going to happen with reference to drainage be-
25 tween the Howard 1-8 and the E-6 well, or the Unit 29 well?

1 A If you remember some of the preceding
2 pressure exhibits, the Fisher well, which is to the west of
3 the Mallon well at a higher pressure than was present in
4 Section 6 of the Canada Ojitos Unit, indicating there was
5 already a pressure differential in that direction.

6 By increasing the production from the
7 Canada Ojitos Unit No. 29 Well, and other wells in that a-
8 rea, that's just going to simply aggravate that pressure
9 differential and drainage from the Gavilan Mancos Pool.

10 MR. DOUGLASS: Offer Mallon Ex-
11 hibit Fifteen.

12 MR. LEMAY: Exhibit Fifteen in-
13 to evidence without objection.

14 Q Let us identify for the record as Mallon
15 Exhibit Sixteen a tabulation entitled Comparison of 1/1/88
16 Pressure, Gas Saturation & Pressure Change Base on Composi-
17 tional Model Results.

18 And I'll ask you, Mr. Hueni, is this es-
19 sentially data that was obtained from Mallon Exhibit, I be-
20 lieve, Three, the computer printout data that Dr. Lee pro-
21 vided?

22 A Yes, that's correct.

23 Q All right, sir, what have you shown on
24 that sheet?

25 A Yes, we've shown three items. We've

1 shown the pressures that are capsulated in Dr. Lee's compo-
2 sitional model as of January 1st, 1988. We've shown those
3 for each of the individual cells that are in the model.
4 Models are built, they consist of a number of different grid
5 cells.

6 This model consists of three layers of
7 cells designated layer 1, 2 and 3, and I think we would
8 think of those normally in terms of layer A, B and C in the
9 Niobrara.

10 Once again, we will keep in mind that Dr.
11 Lee restricted vertical permeability between the A, B and C,
12 as indicated by his input data. That is not necessarily the
13 case; we would -- we believe there would be some communica-
14 tion between those layers.

15 Then as we go from left to right across
16 the page, we see basically cells that represent the area be-
17 tween the Gavilan, which we have Gavilan at the top, moving
18 then from the west over to -- to eastern side where we would
19 have the cells that would be representative of the up-dip
20 area of Canada Ojitos Unit Pressure Maintenance Area.

21 What we've done is we've shown the pres-
22 sures in pounds per square inch that is recorded in his
23 model at that particular point in time for each of the indi-
24 vidual cells.

25 We've also shown the amount of gas satur-

1 ation that is present in each cell at that particular time
2 and, finally, we've shown the pressure change that's occur-
3 red from discovery of the Canada Ojitos Unit in early 19 --
4 well, 1963, we have change in 1/1/1964, measured in -- as a
5 pressure in pounds per square inch.

6 If we look first at gas saturation values
7 there would be a certain -- there would be certain things
8 that we would note.

9 First, that the gas saturations that are
10 non-zero occur on the righthand side of the page and basic-
11 ally in layers A and B, indicating that A and B, basically,
12 only have positive gas saturations, only have free gas sat-
13 urations in the far eastern portion of the Canada Ojitos
14 Unit Prssure Maintenance Area.

15 Q That would be the first three cell
16 blocks, is that correct?

17 A It would be the first three cell blocks.
18 From the way I interpret Dr. Lee's model, I don't think I'm
19 taking too many liberties with this. It would be perhaps
20 represented going from the C-5 injection well, going over
21 the next, oh, three or so sections. Well, we'd be including
22 the C-5, I'm sorry. It would be the C-5 section and then
23 the next two sections after that, and we would not see any
24 gas saturation in the AB zones behind that point.

25 Of course, once again, if we allow com-

1 munication, vertical communication, perhaps induced by hy-
2 draulic fracturing, to occur, then we could actually have
3 some gas saturation in the AB, as well.

4 The C zone, however, has gas saturations
5 all the way across the field and all the way into the Gavi-
6 lan area. Well, once again, we have a production survey
7 taken on Well B-32, production log survey, which showed no
8 gas coming out of the C zone. So we could conclude either,
9 once again, that this -- the model in this case is not par-
10 ticularly accurate in describing the exact distribution of
11 gas saturations or perhaps there is simply vertical communi-
12 cation that allows that gas in the C to find its way up to
13 the AB and if then it is produced out of the AB interval.

14 We note also the pressure change from
15 January 1st, 1964, that is, in effect as of January 1st,
16 1988, and it's difficult from this to recreate the magnitude
17 of the gradient that exists across the field. I think what
18 you can see, if you look in the far righthand side of those
19 values under Canada Ojitos Unit injection, there really
20 hasn't been much pressure drop in that area. In other
21 words, the pressure has been maintained in that area by --
22 by the injection.

23 However, once we move, let's say, two
24 miles further to the west, that pressure then, the pressure
25 drop is fairly uniform from there all the way to the Gavilan

1 area. In other words, in layer number one the pressure is
2 385, the pressure drop is 385 psi, layer number one, two
3 miles away from the injection.

4 Over in the Gavilan area it's only 60
5 pounds per acre, then, 449 psi.

6 In other words, the significant pressure
7 differential that's actually occurred in the Gavilan Pool
8 where the pressure was brought from 1800 down to 950 pounds,
9 a drop of 850 pounds, that pressure drop is not being pre-
10 dicted.

11 The gradient that occurs -- I don't --
12 the pressure discontinuity that occurs between the pressure
13 maintenance area and the proposed expansion area is certain-
14 ly not present in the simulation model.

15 Q But your conclusion is about whether this
16 simulation work is coming anywhere accurately reflecting the
17 -- what the real world is over here in this expansion area.

18 A Yes. It may represent what's going on in
19 the pressure maintenance area, but it doesn't look to me like
20 that's a valid history match for the -- what he referred to
21 as the Gavilan withdrawal area.

22 Q Does this -- in looking at this model
23 that Dr. Lee has prepared and then looking at the actual
24 physical data in the field, is that another confirming fact
25 that it appears that the expansion area is actually produc-

1 ing from a separate reservoir as opposed to the pressure
2 maintenance area?

3 A Yes, I believe it is.

4 Q In your opinion if the Commission grants
5 the -- Greer's request to increase the -- obtain ratio
6 credit in the expansion area, will it cause drainage of oil
7 from Gavilan area to the expansion area?

8 A Yes, it will.

9 Q In your opinion -- or is the expansion
10 area in effective communication with the existing pressure
11 maintenance area?

12 A No, it's not.

13 Q Does the unit presently enjoy a produc-
14 tion advantage in the expansion area versus the comparable
15 area in the Gavilan Pool?

16 A Yes, they do.

17 Q Let me ask you one additional question,
18 do you know of any reason why the gas that's produced from
19 the pressure maintenance area -- excuse me, from the expan-
20 sion area -- is not available to use in a plant that could
21 be constructed by the unit?

22 A I know of no reason.

23 Q Are you aware of whether the gas from the
24 Mallon wells goes to a plant?

25 A Yes, I am aware that it does go to a

1 plant.

2 Q Anything else you want to add with refer-
3 ence to your testimony, Mr. Hueni?

4 A No, sir.

5 MR. DOUGLASS: Offer Mallon Ex-
6 hibit Sixteen.

7 MR. LEMAY: Without objection
8 Exhibit Sixteen will be admitted into evidence.

9 Is there any more questions on
10 that side? I know that Perry is --

11 MR. PEARCE: Nothing, Mr.
12 Chairman, thank you.

13 MR. LEMAY: Okay. Any other
14 lawyers on that side want to ask Mr. Hueni questions?

15 If not, we'll take a break,
16 fifteen minutes, and be back for cross examination.

17

18 (Thereupon a recess was taken.)

19

20 MR. LEMAY: Cross examination
21 by Mr. Kellahin.

22 MR. KELLAHIN: Thank you, Mr.
23 Chairman.

24

25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

CROSS EXAMINATION

BY MR. KELLAHIN:

Q Mr. Hueni, when we're talking about this barrier area that is depicted on a number of your displays, perhaps we can use Exhibit Number Twelve as a representative example of the issues I'd like to talk to you about.

When you've identified this as a barrier area between the expansion area and the existing project area, this is not what we generally call a traditional geologic barrier, is it?

A Well, I think it's as much a geologic barrier as many barriers are. We have many reservoirs of stratigraphic traps and -- and as I see it, if you have a loss of permeability in a portion in a reservoir, that is -- that's a geologic barrier. I don't know how else you could refer to it.

Q But for the instance or the definition of permeability, there is no other geologic instance in here that would constitute a barrier. It is that permeability that we're looking at, is it not?

A Certainly it would appear that there's no permeability so -- and that's what we focus on, so I don't recognize any faults, if that's what you're asking.

Q You were here when Mr. Ellis testified

1 yesterday about the general geology of the area?

2 A Yes, I was.

3 Q And you don't have any disagreement with
4 the way he's depicted the structure on his structural dis-
5 plays?

6 A No, I don't.

7 Q And his identification of the continuity
8 of the reservoir across the existing project area, through
9 the expansion, into the eastern edge of Gavilan, shows a
10 continuous reservoir?

11 A No, I don't think so. You know what I
12 heard Mr. Ellis say was the fact that -- is that he could
13 make a cross section with all the logs and you could ident-
14 ify the same lithology throughout the entire area, but he
15 indicated that there were several wells, wells that, let's
16 say, are on the up-dip edge of the pressure maintenance area
17 that are nonproductive that have the same log characteris-
18 tics, indicate the same lithology, but they're not produc-
19 tive.

20 Q And so --

21 A So I don't -- I don't guess I consider it
22 continuous.

23 Q Continuous in the extent that we can fol-
24 low the A zone lithology across from the original area
25 through to Gavilan.

1 A You can identify that lithology on logs
2 and you can trace it across and I don't disagree with that.

3 Q The focus, then, of your study and inves-
4 tigation has been to determine to what extent the barrier
5 area is an effective barrier as to communication between the
6 expansion area and the existing project area.

7 A I guess, yes, that would be (unclear).

8 Q Do you have any disagreement with Mr.
9 Greer that in the existing project area for the pressure
10 maintenance project that that in fact is an effective pro-
11 ject?

12 A I haven't studied that project the way
13 that Dr. Lee has. I think it's a highly complex reservoir,
14 you know, I see wells that have gassed out down structure
15 from wells that have continued to produce up structure. I
16 see wells that are productive in -- in let's say the AB, not
17 productive in the C. I think it's a -- I think it's a much
18 more complex field than I -- and we have not done a detailed
19 engineering study of -- of that, other than to recognize
20 the pressures that exist in that particular area in con-
21 trast to what exists in the Gavilan area.

22 Q And you have not made a study of the eco-
23 nomics of a gas plant, gas operation, cycling project that
24 Dr. Lee discussed for us this morning.

25 A No, we've not been asked to do any eco-

1 nomic analysis on the gas plant.

2 Q And you've not made a study nor formed an
3 opinion with regards to whether or not the utilization of
4 the expansion area into the pressure maintenance project
5 will result in the recovery of additional hydrocarbons that
6 would not otherwise be recovered.

7 A Yes, I have formed that opinion in the
8 sense that I don't believe you get any benefit in terms of
9 additional hydrocarbon recovery from the pressure expansion
10 area by injecting the gas taken from that area and injecting
11 that into the pressure maintenance area.

12 Q And that is because we come back again to
13 the issue of the barrier between the expansion area and the
14 existing project area.

15 A That's right.

16 Q In your testimony back in April and March
17 of 1987 you acknowledged, along with Mr. Greer, that there
18 in fact is communication between the expansion area and the
19 existing project area.

20 A We said there might be a small amount of
21 communication and we indicated that if such communication
22 did exist, that Gavilan area could be depleted without hav-
23 ing any effect on his pressure maintenance project.

24 Q And the issue yesterday and today and the
25 issue ultimately to be decided by the Commission is whether

1 or not Dr. Lee and Mr. Greer are correct that there is ef-
2 fective communication between this area or if the Commission
3 agrees with you that in fact there is not. That's the issue
4 that we're trying to decide, is it not?

5 A We're certainly, yes, we're certainly
6 trying to decide if there is a barrier to present -- prevent
7 significant flow.

8 Q And Mr. Greer should be entitled to his
9 injection gas credit for gas taken out of the expansion area
10 and re-injected up structure in the existing project area if
11 there in fact is effective communication across the barrier.

12 A Well, I don't believe there's effective
13 communication there. If there were effective communication
14 that would be true.

15 Q Nothing further.

16 MR. LEMAY: All right, any
17 questions, Mr. Carr?

18 MR. CARR: I have no questions.
19 I'm going to call Mr. Greer for a brief rebuttal.

20 MR. LEMAY: Additional ques-
21 tions from the audience?

22 Yes. Mr. Chavez.

23

24 QUESTIONS BY MR. CHAVEZ:

25 Q Mr. Hueni, when the Gavilan Pool was

1 first developed, the initial pressures in the Gavilan Pool
2 were lower than what would otherwise have been expected, is
3 that correct?

4 A It's a little bit of a difficult question
5 to ask. The original pressures were taken by Northwest
6 Pipeline out there and they had reported pressures, and I'm
7 not sure if these were corrected to a datum, but they had
8 one pressure measurement that was 1736 and they had one that
9 was 2100 and then they had another one which was 2100 psi.
10 So in other words, they had -- they had a range of pressures
11 and they actually plotted those pressures up in comparison
12 with the trend in pressures expected through the pools that
13 are -- that follow along, such as the West Puerto Chiquito
14 and the other pools that are -- that have gradients along
15 that trend, and we have always -- we've always had a diffi-
16 cult time knowing whether we could rely on those pressure
17 tests or not because we don't really have any of the back-up
18 data on those wells.

19 What we have done is we have taken pres-
20 sure measurements that we have confidence in and plotted
21 them up versus cumulative production and we've extrapolated
22 it back to zero cumulative production for the Gavilan area,
23 and that would indicate a pressure more in the range of 1800
24 psi, which I think your question was. That might represent
25 a little bit of a pressure drawdown in comparison to what we

1 might have expected, and I think we saw that on the exhibit
2 where we overlaid the Canada Ojitos Unit production -- pres-
3 sure performance versus the Gavilan pressure performance,
4 and you saw that the Gavilan was just a little bit lower at
5 that same datum than -- than was --

6 MR. DOUGLASS: You're referring
7 to Exhibit Nine?

8 A -- Exhibit Nine, that the Gavilan pres-
9 sure was a little bit lower than the start of the Canada
10 Ojitos Unit pressure ran.

11 Q Would that indicate that a certain volume
12 of oil had -- or gas had moved from the Gavilan area?

13 A If that -- if that is true, there could
14 be a minor amount of volume that has moved and that was part
15 of the point of our calculation of linear flow across a bar-
16 rier is that basically that -- that barrier would have to be
17 a region of very low permeability thickness product, because
18 there is not that much that's moved because Gavilan really
19 wasn't found to be significantly depleted.

20 Q In your Exhibit Ten did the calculations
21 you did take into account that gas was being injected to the
22 east of the producing wells perhaps causing a higher differ-
23 ential from one direction than from another?

24 A I'm sorry, the -- Exhibit Ten is the flow
25 calculations?

1 Q That is correct.

2 A I'm sorry, could you repeat that ques-
3 tion?

4 Q In your Exhibit Ten did the calculations
5 taken into account gas being injected to the east of the
6 producing well, which might have caused a higher differen-
7 tial from one direction?

8 A Can I --

9 MR. DOUGLASS: Sure.

10 A The calculations are based upon pressure
11 differential measured (not clearly understood) area, and
12 we've said that that was representative of the B-32 Well,
13 and the reason we say that is because when this well was
14 first tested --

15 MR. DOUGLASS: The B-32.

16 A -- the B-32, Canada Ojitos Unit B-32
17 Well, it fell right on this trend of Gavilan area pressure.
18 That's this well right here. And so we said, okay, back in
19 time, in 1982, before Gavilan began production, we would
20 have expected the B-32 to be right up in that same area, and
21 then for the pressure differential, the pressure differen-
22 tial takes into account the fact that the C-34 pressure is
23 influenced by any kind of gas injection that occurs up
24 structure, so this 350 pound pressure that exists, that dif-
25 ferential that exists across that narrow 2-mile strip is --

1 takes into account all the physical reality of what's hap-
2 pened out there.

3 Q In your opinion if Mr. Greer's applica-
4 tion is approved, will waste be caused as defined by general
5 oil industry definition?

6 A Well, certainly. It won't -- it won't do
7 any good to inject gas from one reservoir basically into an-
8 other reservoir. Perhaps more than waste, I would concen-
9 trate on the correlative rights, and I think the correlative
10 rights of the parties in the Gavilan Mancos Pool would be
11 seriously violated.

12 But in terms of waste, the Gavilan Mancos
13 is being pressure depleted and what it would mean is that
14 the proposed expansion area would deplete the pressure of
15 the overall Gavilan area. It would have basically a produc-
16 tion benefit, we'd be able to reap a reward in competition
17 but I'm not sure it would change the ultimate recovery of
18 the Gavilan Mancos Pool. I think it would just simply serve
19 to redistribute the production with a much more significant
20 amount going to the Canada Ojitos Unit area.

21 Q If Mr. Greer's application was approved
22 and it was found out later that a barrier of some kind did
23 exist, how long would that -- would it take to see that in
24 pressures and production in the Canada Ojitos Unit?

25 A Well, you know, I've got twenty years

1 worth of history there, more than twenty years; we've got
2 twenty-five years worth of history, and we haven't seen it,
3 seen it yet, so I don't know, you know, how we should say we
4 should look for another year, another two years, at it.
5 It's fortunate that they've had the testing, recent testing
6 requirements, because with -- in the absence of having some
7 tests in the pressure maintenance area itself, we wouldn't
8 really be able to establish this factual base, that there is
9 a significant difference in pressures in the pressure main-
10 tenance area versus the pressure -- proposed expansion area
11 and the Gavilan area.

12 So I don't know really what -- what addi-
13 tional information you would gain beyond what you already
14 have available.

15 Q Would it be your recommendation that the
16 operators in the Gavilan be allowed to produce at a rate
17 that would prevent the flow of oil and gas to the Canada
18 Ojitos Unit if Mr. Greer's application is approved?

19 A Yes.

20 MR. CHAVEZ: That's all I have.

21 MR. LEMAY: Thank you, Mr.
22 Chavez.

23 Additional questions of the
24 witness?

25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

QUESTIONS BY MR. LEMAY:

Q What, just in general, Mr. Hueni, what kind of pressure differential -- now, I'm just taking the border line, now, between Gavilan and West Puerto Chiquito -- given that border line, wells on each side, what kind of pressure differential would you consider as a serious violation of correlative rights, so that you would get significant flow from one side of that line to the other?

A I'm not sure that I can completely answer that because the -- there are obviously variations in quality within the Gavilan area going over into the proposed expansion area. Some of the -- in some cases the wells, for example, Mallon wells and the offsetting Canada Ojitos Unit wells, appear to be high productivity wells.

A small pressure differential in that area could result in a significant flux of fluid in one direction or the other.

On the other hand, there are other areas where the reservoir quality is not as high and so a larger pressure differential may not result in any more oil moving -- moving across that boundary between Gavilan Mancos and -- and West Puerto Chiquito.

I know that's not a -- that's not a very satisfying answer, but we don't see a great deal of pressure

1 differential right now out there, and yet we see rates of
2 withdrawal that are 3-1/2-to-1 in the pressure expansion
3 area, and we still don't see that high a pressure differen-
4 tial, just a couple pounds, so we're -- we're dealing with
5 -- within the Gavilan Mancos Pool itself some fairly perme-
6 able rock, certainly not 10 darcy feet, but we're dealing
7 with some fairly permeable rock and it's not going to take a
8 large pressure differential to cause flow across that boun-
9 dary.

10 So I'm -- I'm thinking we're talking in
11 terms of 50 pounds or less.

12 Q I think you've helped me quantify what --
13 what has otherwise -- had not been quantifiable. 50 pounds,
14 in your estimation would be a serious violation of correla-
15 tive rights that should be corrected across the boundary.
16 Is that fair to say that?

17 A Well, you know, once again, it's going to
18 depend on the areas that you're looking at and there are --
19 that's such a -- that's such a difficult question, but in
20 general, we just don't see that much of a pressure gradient
21 in the Gavilan Mancos Pool.

22 I'm sorry, I really can't answer that
23 very satisfactorily. I can't -- I can't feel too comfort-
24 able about it.

25 Q What about -- one other thing that's a

1 little bit disturbing -- I guess not disturbing, it's hard
2 for me to come to grips with, was your last exhibit when you
3 were comparing two very close wells, one on the West Puerto
4 Chiquito side, the other on the Gavilan side, and you were
5 analyzing GOR's, I think, on those wells, they were so
6 close, how do you account for the difference in -- in GORs,
7 as stated, if they're 2000 feet apart, I think you men-
8 tioned? One has a GOR of something like 12,000-to-1, was
9 it, and the other 3000?

10 MR. DOUGLASS: 10,000. I think
11 it's Exhibit Fifteen, Mr. Chairman.

12 Q 10,000 versus roughly 5,000. I guess I'm
13 asking how is that possible?

14 A Yes. How is it possible? It seems that
15 there are many things that are possible here that (not
16 clearly understood.)

17 Q One would take away from the other; I
18 would expect them to be equal going in, but if they're not
19 equal going in, there's something we're not seeing here.

20 A Well, we have noted, and we are not pre-
21 pared at this point in time to give a complete explanation.
22 Mr. Greer gave his explanation but we're not prepared at
23 this point in time to indicate why low rates result in high-
24 er GOR's.

25 It's simply our observation that they do.

1 If we reflect back to the October period of time when these
2 wells were both being allowed to produce at the normal
3 statewide allowable rates, the GOR's were very comparable.
4 They were 3600 for the Mallon well and 3300 for the BMG
5 well.

6 Q I grant you that. Has anyone entertained
7 the theory that the C zone may be the kicker in here? In
8 other words, we see low GOR's in the C zone, where that zone
9 has capability, potential capability, it would contribute
10 higher volumes of oil and the GOR remains constant, and I'm
11 not throwing out this theory, but this never had come up
12 before that the C zone may be the one that responds to high-
13 er allowables and therefor reduced GOR's when you -- when
14 you kick them up there.

15 A I think, you know, if we look back at the
16 televiwer results in the Gavilan area as well as the pro-
17 duction logs, and I grant the production logs can change
18 from time to time, but thus far we have seen within the Gav-
19 ilan area itself, we have not seen anything that we consider
20 to be a considerable C zone producer, or indicating high
21 potential out of the C zone.

22 There are a number of different
23 hypotheses that could be -- could be raised as to why -- as
24 to why this phenomenon happens. Once again, we could even
25 go to tight fracture blocks and -- versus -- and the fact

1 that we need higher pressure drawdowns in order to get the
2 oil out of the tight fracture blocks. I mean that's just a
3 hypothesis.

4 Q I didn't mean to get us on a tangent
5 here.

6 A Yeah, I understand that.

7 Q We could go on for days and Sally
8 wouldn't like that -- nor would the rest of us -- but I was
9 just trying to look at the correlative rights issues on the
10 two sides of that -- that line.

11 A That's right. I might note with respect
12 to that particular exhibit, the way that we calculated these
13 numbers is we took the number of -- we took the amount of
14 production and divided it by the days on production that
15 that well produced.

16 So, for example, on the righthand side,
17 for the Canada Ojitos Unit well, 155 represents simply tak-
18 ing the production, dividing by the number of days it was on
19 production and assuming that it wouldn't have any kind of
20 GOR restriction.

21 That does not mean that the Canada Ojitos
22 No. E-6 that that well, that 155 barrels is its capacity.
23 We know that the Mallon well has a capacity of several hun-
24 dred barrels a day and we are fairly confident that the E-6
25 has that same capacity. It just so happens that that's the

1 only factual data base that we had and that particular well
2 that we show 155 may be produced at several hundred barrels
3 a day.

4 Q Thank you.

5 MR. LEMAY: Additional ques-
6 tions of the witness; additional cross, redirect.

7 Fine, you may be excused.

8

9 (Thereupon a recess was taken.)

10

11 DR. JOHN LEE,

12 being recalled on rebuttal, and remaining under oath, testi-
13 fied as follows, to-wit:

14

15 REDIRECT EXAMINATION

16 BY MR. KELLAHIN:

17 Q Dr. Lee, do you have a copy of the
18 information that Mr. Hueni was utilizing when he responded
19 to your testimony about the gas plant simulation model
20 performance?

21 A I don't have it with me but I'm familiar
22 with what he -- what he had and it certainly is from our
23 computer output.

24 Q The criticism, as I recall it, by Mr.
25 Hueni is not that you, sir, but the model was not reflective

1 of the real world and that that was a major flaw in the ana-
2 lysis that you had made with regards to the gas plant.

3 Would you specifically refresh our recol-
4 lection as to what Mr. Hueni's specific criticism was of the
5 modeling?

6 A Well, I believe I can generalize and say
7 that his criticism was that it did not represent the distri-
8 butions of pressures and gas saturations areally in accord-
9 ance with certain observed facts.

10 Q Is it necessary for the purposes to which
11 you utilized that model to have the model match actual field
12 performance as to those items?

13 A No, I--in my judgment it was not. The --
14 what we really need with that model is to start with the
15 right amount of oil in place, produce the right amount of
16 oil and gas, inject the right amount of gas, and have essen-
17 tially the correct amount of oil and gas in place in the re-
18 servoir at the time that we start our study of cycling oper-
19 ations, because what we're really after is to look at the
20 ability of injected gas to strip the lighter hydrocarbons
21 from the crude oil in the reservoir, and to do that we need
22 to take into account the dip, the fact that we do have
23 zones, and so forth, but we don't, and did not have the ob-
24 jective of trying to model the reservoir in any detail at
25 all in space; in particular, we didn't try to match details

1 of pressure and saturation.

2 In fact, we deliberately simplified the
3 model. That was a very simplified model of the reservoir.

4 What it would have taken to do a rigorous
5 model study would be a very fine grid, which we did not
6 have; that is breaking up the model into many, many small
7 parts; matching individual well as opposed to gross area
8 production, and so forth, and that sort of study would sim-
9 ply have been prohibitively expensive; again keep in mind
10 the objective. We're just trying to have the right amount
11 of oil and gas in place, the correct structure, and so
12 forth, and so we -- we did that. We did have the objective
13 in -- in getting the right amount of oil and gas in place to
14 match the pressure at the boundary of the unit during 1987.

15 So that's -- that really was our objec-
16 tive in the pressure match.

17 So to serve the purpose of the model,
18 which is to have the oil and gas in place and look at the
19 ability of injected gas to strip hydrocarbons from the crude
20 oil in the reservoir, we believe the model serves that pur-
21 pose quite adequately.

22 Q Thank you.

23 MR. LEMAY: Thank you. Any
24 questions of the witness?

25

1

2

RE CROSS EXAMINATION

3

BY MR. DOUGLASS:

4

Q

John, just to make sure I understand what

5

you've said is that your model assumes a continuous reser-

6

voir from the area of -- the expansion area all the way

7

across to the injection wells.

8

A

That's true.

9

MR. DOUGLASS: Pass the wit-

10

ness.

11

MR. LEMAY: Additional ques-

12

tions of the witness?

13

He may be excused.

14

Additional witnesses, Mr. Kel-

15

lahin?

16

MR. KELLAHIN: No, sir.

17

MR. LEMAY: Pardon?

18

MR. KELLAHIN: No, sir.

19

MR. LEMAY: Are there any other

20

-- yes, sir, Mr. Carr.

21

MR. CARR: I'm going to recall

22

Mr. Greer.

23

MR. LEMAY: Fine. Mr. Greer.

24

25

1 ALBERT R. GREER,

2 being recalled on rebuttal, and remaining under oath, testi-
3 fied as follows, to-wit:

4
5 REDIRECT EXAMINATION

6 BY MR. CARR:

7 Q Mr. Greer, I direct your attention to
8 Mallon's Exhibit Number Five. The red line on the exhibit
9 is a line that Mr. Hueni indicated was indicative of a re-
10 gion of low productivity, and I'd like you to first look at
11 the COU 22 Well in the north, the northernmost well on the
12 red line, and if you'll recall, Mr. Hueni testified that
13 well produced from -- was producing one barrel a day, is
14 that correct?

15 A Yes, sir. I'll ask Mr. Stoltz to point
16 to that well so that -- I think it will be faster to go
17 through these exhibits just looking at their enlarged dis-
18 plays rather than have to dig through the pages of the
19 pages of the book.

20 The F-20 well, Mr. Hueni said was capable
21 of making one barrel a day out of the Mancos.

22 That well has not yet been tested in the
23 Mancos. We've drilled it through the Mancos into the Dakota
24 and we got one, one or two barrels a day and maybe 100 MCF
25 of gas a day out of the Dakota.

1 We've not yet come back for various
2 reasons to open up the Mancos but -- but we will.

3 So at this point we really don't know and
4 certainly we cannot take that well's production at this
5 point to be definitive of that particular area.

6 Q Will you look at the C-34? Are you
7 through talking about the F-20?

8 A I suggest we come down the -- down the
9 line --

10 Q All right.

11 A -- to the C-32.

12 Q All right.

13 A We were unsuccessful fracing that well.
14 We have in mind re-fracing it once we have determined what's
15 the best way to frac these wells, and I -- I hate to admit
16 it, Mr. Chairman, but after all these years operating in
17 this reservoir, we still don't know how's the best way to
18 either locate them, drill them, frac them, and whatever.
19 We've tried everything.

20 We've tried to frac them with oil; we've
21 tried gelled oil; we've tried slick water; we tried gelled
22 water; and we've tried carbon dioxide. We've tried locating
23 the wells by fracture studies, by studying flex trends,
24 structural positions, and everything we could think of.
25 With all the assets that one has at one's disposal, the one

1 outstanding asset is good luck.

2 Q Mr. Greer, are you aware of any of the
3 wells in this area that would be capable of producing prior
4 to some sort of a frac treatment?

5 A Oh. I think out of roughly 100 wells
6 that we've drilled in that area that we've had one that was
7 completed naturally and we hadn't fraced it (not clearly
8 understood.)

9 Q Do you believe this -- do you believe the
10 G-32 in its present state is indicative of the ability of
11 the reservoir to produce?

12 A No, you can't say that for sure.

13 Q Would you like to move down that red line
14 to the next well, the J-8?

15 A The J-8, I don't know about that. It
16 looks to me like a small well. I have no plans to go in and
17 try to go in and try to do any work on it.

18 The next well to it, the A-16, was
19 initially completed and produced for many years in the C
20 zone and just last summer we gave it a frac treatment in the
21 A and B zones and we still have had some trouble with our
22 production equipment going on and still not tested it. We
23 just don't know what it will do in the A and B zones, so
24 it's really indefinite at that location.

25 Q What about the A-22?

1 A The A-22 was a good well in the C zone.
2 We have plans to open up the A and B zones in it. We'll be
3 asking our partners for approval to do that at our operating
4 meeting next month.

5 Q Will you look now at the C-34?

6 A The C-34, I believe Mr. Hueni mentioned
7 that he saw no increase in production when we treated the A
8 and B zones and he quoted the December production as being
9 the combined production from all three zones, A, B and C
10 zones, which is not the case.

11 In December the C-34 was still producing
12 from only the A and B zones and that approximately half a
13 million feet day and 40 barrels of oil a day is from the A
14 and B zones.

15 We have since drilled out the bridge
16 plug, opened up the C zone. The well now makes 1.2-to-
17 1.500,000 cubic feet of gas a day. We picked up at least a
18 half million feet of gas a day and some oil in the -- in the
19 A and B zones.

20 Q In your opinion does the information on
21 this exhibit establish a low productivity area in the reser-
22 voir?

23 A Oh, not -- not exactly. We feel like
24 there is no question, Mr. Chairman, there are low productiv-
25 ity zones throughout the pool and there are tight streaks

1 which we've indicated on our different displays, and in my
2 view there's no permeability barrier. There are permeabil-
3 ity restrictions and in our analysis they're not effective
4 in preventing a pressure maintenance project from working.

5 Q Do you have anything further you'd like
6 to address with Exhibit Number Five?

7 A No, sir.

8 Q At this time I'd like you to refer to
9 what has been admitted as Mallon Exhibit Number Seven. This
10 is a map that shows a pressure differential between the ex-
11 isting project area and the expansion area --

12 MR. LEMAY: Before we continue,
13 let's take a ten minute recess here. He's got to leave.
14 We're just going to locate the Commissioner.

15

16 (Thereupon a recess was taken.)

17

18 Q Mr. Greer, before you is Mallon's Exhibit
19 Number Seven. If you'll recall, in testifying about this
20 exhibit Mr. Hueni indicated that he had used bottom hole
21 pressures to get a different result than you had.

22 A Yes, sir. He made the comment that the
23 bottom hole pressures were a better way to determine pres-
24 sure gradient across the reservoir and -- and that the
25 method I used, the surface pressure, was not as accurate,

1 and he used as an example the E-10 well in which he used
2 bottom hole pressures in the conventional manner and what I
3 wanted to point out is that there was no bottom hole pres-
4 sure run in the E-10. The E-10's bottom hole pressure was
5 calculated from the surface pressure, and so in a sense they
6 are one and the same thing, taking into account the weight
7 of the column of gas.

8 Now, the difference that Mr. Hueni shows
9 is simply the difference due to the elevation of the struc-
10 ture and the density of the fluids in the structure, in the
11 reservoir, for the difference in elevation points in the re-
12 servoir and I pointed that out during my discussion of the
13 use of the surface pressure gradients in that those were
14 minimum gradients and that to get a true reservoir pressure
15 gradient one would have to add the density of the fluids
16 within the reservoir for the difference in the structural
17 positions, and that's all that particular example shows, is
18 that, yes, there is a greater pressure gradient and that's
19 -- that what it is, and all I was trying to show was a mini-
20 mum pressure gradient. And so his comment that it's not ac-
21 curate just does not apply. A surface pressure map is a
22 very accurate representation of the pressure gradient, of
23 the minimum pressure gradient.

24 Q Mr. Greer, Mallon Exhibit Number Eight
25 contains some additional pressure information. Do you care

1 to comment on that information?

2 A Yes, sir, we will need to look at that
3 exhibit. It -- we just received the pressure information on
4 Tuesday morning when we left our office to come over here,
5 and we've not had time to study those pressures.

6 We presumed that the time that we would
7 be using those pressures and studies for the Commission
8 would be for the May hearing and it's our intention to be so
9 prepared at that time.

10 I'm a little surprised at one of the
11 pressures in the Fisher Federal, which I didn't report to be
12 100 pounds higher than our E-6. When we were measuring
13 pressures earlier we found pressures equalized across the --
14 the Section 1 over to the Dugan Divide 3 Well, which is just
15 north of the Fisher Federal, and we found never more than
16 a few pounds difference in pressure, so I don't know why,
17 why there would be a difference now. That seems kind of
18 strange to me, but we'll be investigating that come the May
19 hearing.

20 Q I direct your attention to Mallon
21 Exhibit Number Eleven. This is copies of various plots that
22 you've prepared and comments upon them as prepared by Mr.
23 Hueni.

24 A Yes, sir.

25

1 Q And I'd ask you, why did you use differ-
2 ent methods of plotting?

3 A Well, I hate to admit it, Mr. Chairman,
4 but I'm just, I guess, a little lazy from time to time, but
5 the most accurate ways I've done all these plots is by use
6 of flowing pressures against the logarithm of time or the
7 logarithm of the ratio of time, and there's a lot of work
8 involved in converting time to -- the logarithm of time and
9 individual plots.

10 The plots for the coordinate scales as
11 shown by Mallon Exhibit Eleven, our Exhibit Two, Tab G, is a
12 coordinate plot; that is, the vertical scale and the hori-
13 zontal scale are coordinates rather than log plots, log
14 scales, and the reason for it, it's a little bit simpler.

15 The truth of the matter is that had we
16 used the log scale we would have shown a little deviation
17 where we've tied the two lines together at about the 27th-
18 28th of November, had we used a log scale there probably
19 would have shown a small difference rather than those lines
20 coming together and that would have been a more accurate
21 plot.

22 Same is true on Tab H. We just didn't
23 need the resolution that we get with the accuracies that we
24 get from the log scales and the -- and the larger or smaller
25 vertical scales on pressures.

1 Now, when we come to the next one, the C-
2 34 and B-32, here we had only .5 of a pound and there's no
3 way to tell .5 of a pound, what it means, unless you have a
4 vertical scale with resolution that will show it, and we
5 need the plot of time on the log scale and -- and that's the
6 reason that we've used the build-up in January 31st for
7 comparison and it's very clear that -- that there's a dif-
8 ference, something different happened after the frac treat-
9 ment, a few weeks later in the pressure build-up, and that
10 could only have been from the frac treatment.

11 Mr. Hueni says, well, that might be a
12 non-homogeneous reservoir. Well, I know nothing had hap-
13 pened, Mr. Chairman, between January and April to make that
14 reservoir change from homogeneous to non-homogeneous, or
15 vice versa, and nothing happened to it.

16 So if it's non-homogeneous when it shows
17 a break from a straight line at one time, it should show it
18 at another time.

19 And the same, same comments apply to our
20 Exhibit Two, Tab C and the plots shown there.

21 A good example of -- of trying to analyze
22 a half pound -- a half pound difference in extrapolating a
23 line is shown on Mallon's next page where they have the
24 long, straight line showing our B-29 pressure build-up, 300
25 pounds on a vertical scale, and they're trying to look for

1 On our Exhibit Two, Tab I, still under
2 Mallon's Exhibit Eleven, my interpretation of the probable,
3 true rate of pressure increase is that which I show by .5 of
4 a pound per cycle, which carries from the pressure survey in
5 the lower lefthand part of the graph up to the beginning of
6 the next one, and as I indicated yesterday, there's two or
7 three (unclear) bobbles in the begining of that second sur-
8 vey, but the overall average, it's a straight line from the
9 extrapolation of the last part of the survey, it seems to me
10 it makes sense to continue it there, and it would just be
11 happenstance that something else happened right when we
12 treated the well and the response came just a very short
13 time after the treatment of the well. It seems to me a more
14 logical reason for that is the frac treatment.

15 On the last page I have the same -- the
16 same problem as to how do you resolve something like what
17 we're looking for here is a fraction of a pound with a large
18 scale.

19 Q Mr. Greer, Mr. Hueni talked about it
20 would be difficult to use this data to see interference ef-
21 fects because it wasn't measuring an ample flow of fluid
22 through a reservoir.

23 A Yes, and Mr. Hueni made the comment that
24 fracturing is not the normal flow of fluids through porous
25 media, and I tried to explain that yesterday when we were

1 first going over this.

2 When a well is first fraced a large vol-
3 ume of fluid is injected in the reservoir at fracturing
4 pressures so the formation is split open and it's true at
5 that time that is not the flow of fluids through porous
6 media that would follow the laws, physical laws of fluid
7 flow through porous media, but once that fracture closes
8 down to where it was in the frac treatment, then the pres-
9 sure pulse that moves out through the reservoir will follow
10 the laws of fluid flow and, for example, at a point perhaps
11 2000 feet away from the wellbore, the fluid in the reservoir
12 at that point does not know how the fluid got into the
13 reservoir, whether it was injected through a frac treatment
14 or any other method of getting the fluid into the reservoir
15 and the pressure pulse started, and so at that point, and
16 from there on, it -- the pressure pulse will follow the laws
17 of fluid flow as we know them.

18 And I think it's pretty clear that that's
19 what happened in view of the consistency of the results that
20 we obtained.

21 Q Now, Mr. Greer, Mallon Exhibits Fourteen
22 and Fifteen are bar graphs that show an advantage to the
23 project area, or the expansion area in one case and also an
24 advanted to certain wells.

25 Could you comment on that?

1 A Yes, sir, I would just mention briefly
2 that those bar graphs comparing allowables did not take into
3 account the reservoir space voided. That's the significant
4 thing in determining equity and correlative rights.

5 Q I'd like to direct your attention to --
6 to what has been marked BMG Exhibit Number Five. This is,
7 again, the March 12, 1988 letter prepared by you and sent to
8 the Canada Ojitos working interest owners that has been in-
9 troduced, I believe, as Mallon Exhibit Number One.

10 Attached to that are some calculations
11 and I direct your attention to that and ask you to refer to
12 this and see if you couldn't at least set the record
13 straight on what we were talking about in this letter.

14 A Okay. I wonder if I might first point
15 out what I think -- that I just feel we should put in per-
16 spective, Mr. Chairman, the importance of the gasoline plant
17 not only to our unit operations but to -- to the State and
18 the Federal royalties and to everyone that's interested in
19 -- in the increased production from the reservoir that might
20 result from installation of a gasoline plant, and to put
21 that into perspective, Mr. Chairman, I'd like to refer a
22 little, if we could, to Dr. Lee's Exhibit GC-1. Do you sup-
23 pose we could find those?

24 Yes, sir, that's the one, the page. it
25 would be page 31.

1 MR. LEMAY: Got it.

2 A The bottom triangle-identifying line
3 shows the increase in recovery at any time by virtue of
4 stripping the gas through the gasoline plant and -- and re-
5 injecting that gas in the reservoir and picking up
6 additional liquids of the reservoir.

7 At any time after about 6 to 10 or 12
8 years, there's roughly 1.8-to-2-million barrels additional
9 recovery anticipated as a result of having this gasoline
10 plant in operation and re-injecting the residue into the --
11 into the formation.

12 Now, the -- that volume of reservoir li-
13 quids, 2-million barrels, is on the order of all the future
14 production we anticipated from all the Gavilan wells.

15 Now, this, this I believe is more to put
16 in perspective just the increase, not the total production
17 from the unit, just the increase resulting from the gasoline
18 plant is on the order of the future production of all the
19 wells in Gavilan, and to make that assesement of the future
20 gas plant production, we can use the -- and I think we
21 should mention it here -- the pressures by the OCD-ordered
22 pressure surveys. Here we're not dealing with pressure gra-
23 dients and small differences, we're taking the pressure de
24 cline from July to November, approximately 200 pounds, and
25 any errors of -- of typical errors of bottom hole pressure

1 measurements then, and compared to 200 pounds, will
2 ultimately be fairly small. Exactly it figures out to about
3 40 pounds per month, and in August Gavilan produced 102,000
4 barrels; September, 96,000; October, 92,000, at 2500 barrels
5 per pound.

6 We can take 2500 barrels per pound and to
7 some reasonable abandonment pressure, maybe 200 pounds,
8 that's 800 pounds; that multiplied by 2500, 2-million bar-
9 rels.

10 You can also take those three months and
11 plot them on semilog paper and find that there is a definite
12 decline of 102 to 96 to 92, I feel that's not happenstance.
13 If you project that out, it comes out to about a million, 2-
14 million barrels.

15 So that's a reasonable estimate for the
16 future production of all of the Gavilan wells.

17 Now I would like to look at the plant
18 economics. There was --

19 Q Those are attached to Exhibit Number
20 Five?

21 A Yes, sir.

22 Q See, our Exhibit Number Five is Mallon's
23 Exhibit Number One.

24 A We've -- we've added to it.

25 Q Right, we've added to it and made it our

1 Exhibit Five.

2 I'd like to point out, Mr. Chairman,
3 first, that there was a little confusion here yesterday,
4 that if we want to run a 10-million foot a day gasoline
5 plant that all we need is 10 or 15-million feet a day from
6 wells in the gas cap area, and that will support the plant
7 and that's all there is to it.

8 I tried to explain yesterday and I be-
9 lieve Dr. Lee did again today, that there just is not enough
10 reserves in the gas cap to -- to support the plant for an
11 additional length of time, and so, so that's one thing that
12 we need to realize in the econmics.

13 Now, another thing, if I might point on
14 page two, I'd like to start on page one, the last -- the
15 very bottom line on my letter I say, "When gas is marketed,
16 it will not be marketed from the tailgate of the plant but
17 rather will be that produced from wells without going
18 through the plant."

19 Then the next paragraph, "This means that
20 plant economics will not be based on the 'margin', as is or
21 dinarily the case. Rather the income from the plant liquids
22 will be over and above any income which the unit owners
23 would otherwise realize: This will be particularly true the
24 first two or three years during 'payout' of the facility."

25 Now, Mr. Chairman, our working interest

1 owners are sophisticated oil people. When I wrote this let-
2 ter I assumed that they understood what I meant about a gas-
3 oline plant operating on the margin, so I did not go into
4 detail to explain what I was talking about.

5 I've set out on the attachment here now a
6 way that we can look at that.

7 Now, a gasoline plant is often built to
8 pick up gas from the wells, the gas goes through the plant,
9 liquid is taken from the plant, and then the residue is mar-
10 keted.

11 Now, that is not what we intend to do.
12 We intend to inject the residue, and if -- if we were to
13 operate the plant on a margin, then what we have to do is to
14 take into account the value of the gas, what it would be as
15 it goes into the plant, compared to the value of the gas
16 that comes out of the plant, plus the value of the liquids.
17 The difference is the margin.

18 We show here one example of the margin,
19 I've used here a shrinkage of 17 percent. It may vary from
20 12 to 17, somewhere in that range; that's not going to be
21 significant in the overall analysis. And we'd have a BTU
22 loss of approximately 10 percent. The BTU from time to time
23 will vary but the cost will be roughly the same. In this
24 instance I show here for an example of the gas varying \$1.50
25 an MCF. And comparing that with the 59 cents per MCF that

1 we get for the liquids, we show that the residue would be
2 worth \$1.09, the liquid's worth 59 cents, for \$1.68.

3 The difference, then, is the margin, or
4 about 18 cents an MCF.

5 Then if we go to the next page we see the
6 figures in the upper righthand column as to what .18 an MCF
7 means on the margin, and we show there for the first year,
8 in contrast to over \$2-million a year of gross income,
9 there's only \$657,000. After royalty and taxes that drops
10 down to \$504,000 and the operating expense will be the same.
11 Net revenue, then, operating on a margin, is \$200,000 and
12 \$200,000 initial income for a \$4-million investment is just
13 not practical, prudent, or anyway feasible and so we would
14 not recommend or suggest a gasoline plant unless we were
15 able to inject the residue and continue with the pressure
16 maintenance project.

17 So that's the first point that we come
18 to, that we'd have to -- we'd have to inject the residue and
19 let it pick up liquids as an essential part of our -- of our
20 plan.

21 So then we get to the point, can we con-
22 tinue the pressure maintenance project without the area ex-
23 panded to include the area we now ask for and the answer is
24 we can't. We feel that the Gavilan people's concern about
25 drainage, all the tests, the accurate tests that we've

1 taken, show that the pressure gradients from a high pressure
2 area to a low pressure area to the west, and we are very
3 much concerned about how much we've lost to Gavilan in the
4 last year and how much we're going to lose in the future.

5 What this means, then, is that if we do
6 not get the approval for the expansion of the pressure main-
7 tenance project, we will have to commence the -- some kind
8 of a -- some kind of a dismantling of it, and how fast we go
9 to blowdown will just depend on what happens and how much we
10 feel that we're losing to Gavilan. It's just -- just that
11 simple. We can't forecast that now and don't know what it
12 will be, but it's something that we -- we have to be pre-
13 pared for.

14 And I believe with respect to that, and
15 respect to the blowdown, I need to point out to the -- to
16 the Commission that as unit operator we have the responsi-
17 bility to be prepared for whatever -- what we have to face.

18 We would hope the Commission approved our
19 order and we can go ahead with our gasoline, but if not, we
20 need to be prepared to market gas in large volumes. At
21 present I believe our marketing outlet is through the El
22 Paso system, a 6-5/8ths inch gathering line that runs through
23 Gavilan.

24 We have found that when we get up to as
25 high as 5-million feet a day, that the pressures on that

1 line increase, tend to back the Gavilan wells off the line
2 and there's a limit, not unless you go to 5-million feet a
3 day, that we could sell through our present system.

4 So, Mr. Chairman, we have -- have ac-
5 quired right-of-way over to one of El Paso's larger lines,
6 the (not clearly understood) line, and we have right-of-way
7 all the way now in hand and we have estimates for the cost
8 of laying 10-inch line over to that 12-inch.

9 At that time we'd be able to market from
10 20 to 40-million feet of gas a day, in the event it's neces-
11 sary to do that, go to blowdown, if it appears to us that we
12 need to do that to minimize migration to Gavilan.

13 Now the gas we can sell, of course, de-
14 pends on the allowable. The higher the allowable for an
15 area, why, the more gas we can sell. We would not get,
16 without injecting gas, will not get pressure maintenance
17 credit, will be able to sell only the volumes of gas allo-
18 cated to the wells and we'd have to open up a number of
19 wells that we already have shut in, but we've (not clearly
20 understood) feet a day (unclear) and that's just a back-up
21 plan that we feel like we have to have, not knowing what's
22 going to happen.

23 Now, if I might, I'd like to refer to our
24 Exhibit One under Tab S.

25 We show here, Mr. Chairman, that we over-

1 injected in the present project area from July to November
2 about 3300 barrels day, reservoir barrels a day; November
3 to February about 1900. I think the weighted average might
4 be something like 2500 barrels a day.

5 And if we look at the green sheet follow-
6 ing, about two or three more pages, and if we care to com-
7 pare pressures from July to February, we find that there is
8 a definite pressure drop in the gas cap area; just exactly
9 how much it is, I don't know, but -- but it could be as much
10 as four or five percent, and without trying to go to real
11 accurate (unclear), I think it's entirely possible that we
12 have lost as much out of the gas cap by the pressure de-
13 clines as we did by over-injection, which would mean maybe a
14 1,200,000 reservoir barrels over that period of time, 5034
15 barrels a day, and that's at 1400 pounds pressure. When
16 that gas gets into the low pressure area, which is into the
17 expansion area, then that translates to something like 7-or-
18 8000 barrels a day, and -- and that's a substantial amount
19 of movement from the present project area into the expansion
20 area.

21 Now, there was some mention made yester-
22 day that maybe our injected gas gets away by moving north
23 and south. I'd like to point out that for the all the time
24 that we've injected gas, we've seen no -- no loss of reser-
25 voir pressure until Gavilan comes along and we now have that

1 to contend with and that's the only time that we've seen
2 losses in pressure.

3 And in connection with that, the issue of
4 can we lose pressure north and south, I'd like to refer to
5 our -- our pressure map, I believe our opposition calls it
6 our rainbow map, if I can find it.

7 Q G of Exhibit One.

8 A G?

9 Q Yes.

10 A The next to the last page of Exhibit G.
11 It shows, if you look at that, the blue colored area near
12 the injection wells would have the highest pressures. The
13 blue colored area is something like 1200 pounds and 1300.
14 The blue colored area when you look at reservoir pressures
15 there, are from 100 to 200 pounds less than virgin pressure.
16 That means that gas cannot move either north or south from a
17 lower pressure to a higher pressure, and that being the
18 case, we do not anticipate and we have not experienced a
19 pressure loss as a consequence of migration north and south.

20 Now, if we go further west, of course, to
21 the green area and the red area, the pressures are less, the
22 virgin pressures are higher, so you get up to differentials
23 of 4-or-500 pounds. So we feel comfortable about being able
24 to contain the gas in the gas cap.

25 Then if I might refer to the last section

1 of Exhibit One, Section K, the next to the last graphs are
2 blue sheets. There are two pressure surveys. I'd like to
3 look at the graphs, if we might. There's a pressure survey
4 on the bottom, two pressure surveys on the top graphs.

5 It's for days in February from the 6th to
6 the 20th.

7 Mr. Chairman, have you found that graph
8 yet?

9 MR. LEMAY: The last -- the
10 graph?

11 A Yeah, the next -- there. There you have
12 them, yes, sir.

13 Here we see that during this period of
14 time our recovery was 10,000 barrels per pound. That's
15 10,000 stock tank barrels per pound and that's compared to
16 everything else we've seen recently, that's fairly decent.
17 That's four times as much as we received, or obtained during
18 the time of high allowable price of oil.

19 Now, there's no way that we can keep our
20 -- our pressure decline forever at 14/100ths of a pound when
21 Gavilan will be declining at high rates faster than that,
22 but this shows you what can happen, what has happened, and
23 shows that the pressure maintenance project is effective.

24 Now this is not a calculation of migra-
25 tion across the reservoir. It's not a computer run to esti-

1 mate what it might be. This is the facts, the consistent,
2 plain, simply facts that the pressure maintenance project is
3 doing its job.

4 Q Mr. Greer, in your opinion is the present
5 gas injection crediting arrangement as provided for this
6 particular pressure maintenance project, is it capable of
7 protecting correlative rights once your application is gran-
8 ted?

9 A There's no question in my mind that it
10 will protect the correlative rights and provide for a -- at
11 a minimum, at a minimum we have to void no more reservoir
12 space than the wells outside the unit, and if we continue to
13 inject at higher percentages than we have over the past, we
14 will be voiding less reservoir space than those wells out-
15 side the unit and I know concern's been expressed here about
16 we might take gas out of Gavilan and put it in our gas cap
17 and take it away from them. There's no way that can happen.
18 The gas will stack up in -- near our injection wells. We
19 couldn't inject any more. We would have to market gas.
20 When we market gas we don't get injection credit. So it's a
21 self-adjusting procedure with self-adjusting regulations
22 that we'd be living under and so there just will be under
23 any circumstances protection of correlative rights if this
24 order is granted.

25 Q Mr. Greer, if the application is denied

1 will that not, in effect, spell the end of the pressure
2 maintenance project?

3 A Yes, sir.

4 Q If that happens, in your opinion will the
5 recovery of oil from the area be reduced?

6 A Yes, sir, it will.

7 Q Would it also result in additional recov-
8 ery of other liquid hydrocarbons?

9 A Yes, sir.

10 Q Would both of these things cause the
11 waste of hydrocarbons?

12 A Yes, sir.

13 Q Do you have anything further to add to
14 your testimony?

15 A No, sir.

16 Q Was Exhibit Five prepared by you?

17 A Yes, sir.

18 MR. CARR: At this time we move
19 the admission of Benson-Montin-Greer Exhibit Number Five.

20 MR. LEMAY: Without objection
21 Exhibit Five will be admitted into evidence.

22 Questions of the witness?

23

24

25

1

2

RE CROSS EXAMINATION

3

BY MR. DOUGLASS:

4

Q Mr. Greer, I think you started out with referring to Mallon's Exhibit Five, is that correct?

6

A Yes, sir.

7

Q With reference to that exhibit, I believe you pointed out that F-20, you said hadn't been tested in the barrier formation.

10

A Not a barrier, yes, sir, that's right.

11

Q But other than that it is correct, it's not producing from the Niobrara, is it?

13

A Oh, no, sir.

14

Q Are each of the other wells shown on Mallon Exhibit Five shut-in?

16

A Well, the A-16, I do not consider it shut-in, if you want to point to that one. That's the one we worked over in the A and B zones and I think they're currently laying the gas pipeline to that.

20

That well, Mr. Chairman, initially made a very small amount of oil, just enough to run the pumping unit -- I mean gas, well, both oil and gas; just enough gas to run the pumping unit so we did not have it tied into our gas gathering system.

25

Now that we've worked it over in the A

1 and B zone, why, we have it shut in until we get it tied
2 into the system.

3 Q But it is shut-in.

4 A It is shut-in, yes. Well, it's not pro-
5 ducing. It's being worked on.

6 Q Now, do I understand that the -- the frac
7 pressure difference that you say represents a response be-
8 tween the C-34 and the B-32 is a half of one pound?

9 A Yes.

10 Q Okay.

11 A I think it's a half or 65/100ths, some-
12 thing like that.

13 Q And it's based on that frac response that
14 you say that there is communication, good communication
15 across this barrier, is that -- that we say exists.

16 A Mr. Chairman, I say the area we have
17 colored in blue on that particular test showed an average
18 transmissibility of, I believe it was 14 darcy feet.

19 Q Do you disagree with the pressures shown
20 on Mallon Exhibit Six that show in December 28, 1970, that
21 the C-34 had a pressure of 1555 and fourteen years later
22 that the B-32 had a pressure of 1720?

23 A No, sir.

24 Q Now that's a pressure difference there of
25 165 pounds.

- 1 A Yes, sir.
- 2 Q That's over this area that you got half a
3 pound.
- 4 A Yes, sir.
- 5 Q On the frac.
- 6 A Uh-huh.
- 7 Q Are -- on Mallon Exhibit Seven that you
8 referred to, is the pressure of 1395 an accurate bottom hole
9 pressure measurement in the C-34 Well?
- 10 A I think it probably is. (Unclear.)
- 11 Q Is the B-32 bottom hole pressure of 953
12 in November accurate?
- 13 A That looks all right.
- 14 Q That's 440 pounds of pressure differen-
15 tial, bottom hole pressures.
- 16 A Yes, sir.
- 17 Q And even by your surface calculated pres-
18 sures there is 340 pounds --
- 19 A Yes.
- 20 Q -- at least 340 pounds difference, isn't
21 there?
- 22 A At least, yes, sir.
- 23 Q Mr. Greer, isn't that a better indication
24 of non-interference than half a pound fracture job?
- 25 A No, sir. If I might refer to our Exhibit

1 Number Three, Exhibit Number Three under Section B.

2 Mr. Chairman, this -- this exhibit shows
3 pressure responses to be expected from wells at different
4 distances from the treated well. We have lines for a dis-
5 tance of 3000 feet; the next one 4; the next one 6, 8, and
6 the bottom one was 10,000 feet.

7 These two wells were about 10,400 feet
8 apart and so for a reservoir with transmissibility of what
9 we've shown here, Kh over (unclear) of 80, and the treating
10 rate at 100 barrels minute, the pressure that -- that would
11 result in a reservoir of that character would only be about
12 our analysis.

13 No, Mr. Chairman, again I would point out
14 that -- that the difference that we have and Mr. Mallon's
15 engineer interference tested. I say that interference tes-
16 ting showed average characteristics for that area. From
17 time to time Mr. Mallon's engineer said that that means the
18 character of the reservoir between the two wells or in a
19 line between the wells and I disagree with that.

20 I feel strongly that the north/south per-
21 meability is higher than the east/west. We recognize
22 there's tight streaks in the reservoir and I think that's
23 entirely possible to have the high trasmissibility through-
24 out a large area and yet the gravity drainage, which is the
25 only way we get gravity drainage is to have that high trans

1 missibility. It's there.

2 Now, if there are permeability restric-
3 tions, and I know there are and we have drawn a permeability
4 restriction on our plats on the low part of the structure.
5 There are other permeability restrictions. A significant
6 thing, Mr. Chairman, is not are there permeability restric-
7 tions but are those restrictions enough to prevent the
8 pressure maintenance project working, and we're convinced
9 that they are not.

10 Q Mr. Greer, if the barrier exists as shown
11 by the Mallon testimony, then you're approaching the blow-
12 down stage in your pressure maintenance project, anyway,
13 aren't you?

14 A If you were correct, yes, sir.

15 Q And from the very beginning you knew at
16 some point you're going to have a blowdown in this pressure
17 maintenance project, didn't you?

18 A Yes, sir.

19 Q Where do you sell the gas when you do
20 sell it out of this pressure maintenance project?

21 A Well, that would be on the spot market.

22 Q It goes through El Paso's line?

23 A El Paso is the transporter, yes.

24 Q Does El Paso run it through their gaso-
25 line plant?

1 A Yes, sir.

2 Q Is that gasoline plant located in New
3 Mexico?

4 A I forget which one; at least I'm sure it
5 will get treated.

6 Q Is that the Charco or --

7 A Chaco?

8 Q Chaco?

9 A Oh, seems to me that the marketer has --
10 might be the Blanco Plant. I'm not certain which one it is.

11 Q When you get ready for blowdown of the
12 pressure maintenance project are you going to have to
13 enlarge your lines, anyway, or are you just going to use the
14 existing lines under your plan?

15 A Well, it would be my hope that as long as
16 the pressure maintenance project can be continued that we
17 would have a small enough blowdown in the end that we could
18 get by with our existing facility.

19 Q Did you do any economics on the Mallon
20 wells versus the statewide allowables they had when the Com-
21 mission cut the allowables in the area as far as the gas
22 plant that they were going to?

23 A No, sir, the people who had the gas plant
24 appeared and presented testimony at the hearing last fall.

25 MR. DOUGLASS: Pass the wit-

1 ness.

2 MR. LEMAY: Additional ques-
3 tions of the witness?

4 MR. CARR: No questions.

5

6 QUESTIONS BY MR. LEMAY:

7 Q Mr. Greer, just -- if you don't mind,
8 just a speculation again, like Mr. Hueni. I would like to
9 know what you consider on that line dividing Township -- or
10 Range 1 West to 2 West, the field division between West
11 Puerto Chiquito and Gavilan, what you consider a significant
12 violation of correlative rights, in terms of pounds.

13 A In terms of pressure?

14 Q Yes.

15 A I'm afraid my answer to that would be
16 a lot like Mr. Hueni's. It's a difficult thing to say but
17 the higher the transmissibility, the more migration can
18 occur with a minimum pressure difference.

19 I've -- I've given some thought to how it
20 might be monitored and certainly we're willing to consider
21 anything that's reasonable. It would be -- be pretty hard
22 to say.

23 But certainly, if there is a 50 pound
24 difference, and a true difference from the pressure in the
25 -- in the main part of the reservoir, not small wells that

1 have -- that are obviously tight wells, then 50 pounds would
2 be -- would be significant.

3 Q Well, given your reservoir voidage con-
4 cept, that you work with on the crediting, voiding the
5 reservoir in the Gavilan area, then, of course, repressuring
6 up in the gas cap, is there a time frame there that you
7 could say that works to equalize once you've withdrawn, then
8 reinject? In other words, we're looking for equality.
9 You're voiding it, agreed, and you're -- you're re-injecting
10 elsewhere, so you're pressuring -- how long does it take to
11 work that down?

12 A Let me point out that the -- the effect
13 of the -- of the pressure maintenance operation is contin-
14 uing all the time and it's not a question of when we pick up
15 the gas and it gets into the gas cap and works its way back
16 down. Even if we shut down injection right now, and this is
17 one of the real problems we have, if we shut down injection
18 right now, that pressure maintenance effect is going to con-
19 tinue and yet we're not going to get credit for it; no way
20 we'll get credit for it if we aren't injecting.

21 So the unit is at risk anyway that we
22 look at it, and the time that it takes for that gas to move
23 across is really -- is really not a significant point. The
24 -- I believe that we can -- well, I know that we can inject
25 in -- in our injection wells and pick up pressure responses

1 just as we've done with our observation wells in the -- in
2 the expansion area and it will show fairly rapid pressure
3 response and that means the pressure will -- just the inter-
4 ference effect alone will build up rapidly and transmit the
5 pressure across the reservoir in a matter of days, and so
6 it's a short time any way that you look at it.

7 Q That's true. Thank you.

8 MR. LEMAY: Yes, sir, Mr. Lyon.

9
10 QUESTIONS BY MR. LYON:

11 Q Mr. Greer, looking at the exhibit on
12 eight?

13 MR. DOUGLASS: Seven, Mallon
14 Seven.

15 Q Mallon Exhibit Seven, your injection
16 wells are up dip in the brown area, is that right?

17 A Yes, sir.

18 Q Do you have any producing wells or do you
19 plan to produce any wells in the brown area?

20 A No, sir. Our -- well, yeah, we're pro-
21 ducing some. The L-27 and the O-9 in Township 26 North.
22 Occasionally we'll produce the E-10, but primarily what we
23 have in mind for -- for those wells are to put them in oper-
24 ation if we get the gasoline plant going and cycle those
25 wells. That's the reason we're opening up the A and B zones

1 like in the C-34, and the L-11, we just recently opened up
2 the A and B zone in it, and a short test that we ran last
3 week, I feel, is -- it had leveled off and is obviously a
4 good test. The well produced about 2-million feet a day
5 with about 15 percent drawdown; has a capacity of at least
6 5-or-6-million feet a day.

7 I would expect the same thing out of the
8 A-22 when we work it over and we will get some oil along
9 with the gas during the cycling operation.

10 Our plan has been not to drill wells down
11 dip below the ones -- existing ones we have and we recognize
12 that there is a tight area through there, but it's -- but a
13 barrier, and we feel that the oil by gravity and pressure
14 maintenance is moving its way down to the tighter area and
15 working its way through it by virtue of the pressure from
16 the pressure maintenance project.

17 Once that oil is replaced by gas, then
18 the pressure in the gas cap area will drop off fast and at
19 that point we have to be prepared to do whatever's necessary
20 to avoid too much migration to Gavilan.

21 Q Now, if -- if you were not to produce any
22 wells in that brown area, and continued to inject in your
23 injection wells, if the pressure did not increase, would you
24 presume, do you think it's a reasonable presumption that the
25 gas would be migrating through the apparent tight area into

1 your wells in the proposed expansion area?

2 A That's my belief right now.

3 Q And if that migration was not taking
4 place through that tight area, then the injection area, the
5 brown area, would increase in pressure?

6 A Yes, sir.

7 Q And if you -- if you increased the pres-
8 sure in the brown area and if you used your gas injection
9 credits in the proposed expansion area, then you would prob-
10 ably create a larger pressure sink in that expansion area.

11 A Not if the gas moves into the area and --
12 and -- like we think it is right now, in our A-6 and A and B
13 zones in the B-32 and B-29, we think that it's only natural
14 to expect the to -- not to reach a well uniformly in all
15 three zones. We think it's happening right now, otherwise,
16 we would not see this 10,000 barrel per pound that we did in
17 February.

18 If we were not getting help from the
19 pressure maintenance project, that pressure would have drop-
20 ped dropped even faster.

21 Q Now, in calculating your -- your barrels
22 per pound drop in pressure, did you consider the pressure
23 and the production from all the wells in your unit? Is that
24 what that's based on?

25 A Oh, that's based on the wells producing

1 in the expansion area.

2 Q Just (not clearly understood).

3 A Yes, and we compared that with the pro-
4 duction from wells in the expansion area last fall.

5 Q Do -- do you -- do you -- let me ask you
6 this. Have you studied the pressure data that was collected
7 -- this would be November or February?

8 MR. DOUGLASS: That's November.
9 February is Exhibit Eight.

10 Q Have you looked at the pressure data that
11 was gathered in the pressure survey?

12 A Oh, I've looked a little bit at the July
13 and November pressures but not even looked at all at the --
14 at the February pressures.

15 I notice in the July and November surveys
16 there still is some information missing that we need to an-
17 alyze it.

18 Q Are you aware of any pressure data that
19 was gathered that isn't represented on this exhibit?

20 A Well, we have pressures on every well
21 every day that we take when we're producing, so we have lots
22 of pressures. As far as shut-in pressures are concerned,
23 and such as that, we take pressures every once in awhile in
24 wells.

25 Q Why?

1 A One of the things I'm concerned about, of
2 course, is we never injected more than 4-or-5-million feet
3 of gas a day. We build this gasoline plant, we'll be up to
4 8-or-9-million feet a day. We'll have a substantial inter-
5 ference effect and from now until, oh, probably a lot fur-
6 ther beyond that, we will be taking pressures trying to ana-
7 lyze the interference effects and particularly if we're
8 going to need to drill another injection well to handle our
9 8-million feet a day.

10 Q Now, I may -- I may not have -- you may
11 have testified to this before but I'd like to ask you, are
12 you injecting the gas that you're producing in the proposed
13 expansion area at the present time?

14 A Yes, sir, right now we're -- we're injec-
15 ting everything we're producing.

16 Q Well, what I was leading up to in regard
17 to the pressure information, do you consider that the repre-
18 sentation of pressures on the Exhibit Seven and Exhibit
19 Eight to be fairly representative of all the pressures that
20 were taken (unclear).

21 A Well, they look reasonable to me, all ex-
22 cept the -- the 100 pounds higher pressure in the Mallon
23 Fisher Well, all except that.

24 MR. LYON: That's all I have.

25 MR. LEMAY: Thank you, Mr.

1 Lyon.

2 Additional questions of the
3 witness?

4 If not, he may be excused.

5 Are there any statements in the
6 case?

7 MR. CARR: As the applicant, I'd
8 like to go last.

9 MR. LEMAY: Pardon?

10 MR. CARR: May I go last as the
11 applicant?

12 MR. LEMAY: Well, I was wonder-
13 ing if there was any besides closing arguments. I didn't
14 know if there was anyone here who had -- had some statements
15 they'd like to make.

16 MR. PEARCE: If I may, Mr.
17 Chairman, this may be the appropriate time.

18 I have been asked to submit for
19 the record in this matter letters from Mobil Exploration and
20 Producing, U.S., Inc., and also letters from Kodiak Petro-
21 leum, Inc.

22 Both letters state those com-
23 panies' opposition to Mr. Greer's application. If this is
24 an appropriate time I'll pass those out and I don't know how
25 to get them marked, even. We can certainly make them Mobil

1 One and Two, if that's easier for the Commission.

2 MR. LEMAY: Fine. They're
3 generally statements, anyway --

4 MR. PEARCE: Yes, sir.

5 MR. LEMAY: -- subject to non-
6 cross examination --

7 MR. PEARCE: Yes, sir.

8 MR. LEMAY: -- so I don't know
9 if they have to be marked as exhibits.

10 MR. PEARCE: That's fine.

11 MR. LEMAY: We can --

12 MR. PEARCE: And for the
13 others in attendance, I have made multiple copies and will
14 just leave them up here on the table.

15 MR. LEMAY: Is -- before clos-
16 ing arguments, is there anyone else in the audience that
17 would like to make a statement at this time?

18 Fine, we'll entertain short
19 closing arguments, would be fine, and we'll reverse the or-
20 der that we started with opening, if that's acceptable.

21 MR. DOUGLASS: Mr. Chairman, do
22 you have a suggestion as to your definition of "short"?

23 What would you --

24 MR. LEMAY: I'm leaving that up
25 to the discretion of you people since --

1 MR. DOUGLASS: Since I'm not
2 completely familiar with your practice --

3 MR. LEMAY: We're efficient
4 here, Mr. Douglass, and generally the testimony is in the
5 record and this is the summation.

6 MR. BUETTNER: Mr. Chairman, a
7 couple of us here may be a little bit confused about whether
8 you'd like us to make our statements now or in conjunction
9 with the so-called closing.

10 MR. LEMAY: Well, I would pre-
11 fer to hear the statements prior to closing arguments in the
12 case.

13 Yes, sir, Mr. Bruce.

14 MR. BRUCE: Mr. Chairman, this
15 is made on behalf of my clients; I won't repeat all the
16 names.

17 Benson-Montin-Greer has applied
18 for expansion of its West Puerto Chiquito Mancos Pressure
19 Maintenance Project.

20 This application should be
21 denied by the Commission for the simple fact that the 2-sec-
22 tion tier on the west side of the West Puerto Chiquito Pool
23 is separated from that pool by a (unclear) permeability bar-
24 rier; thus, BMG's current pressure maintenance project has
25 no effect on the expansion area. The only effect of gran-

1 ting this application will be to increase the existing sub-
2 stantial advantage which BMG wells have over Gavilan wells
3 and increase drainage from the Gavilan Pool and thus
4 severely adversely affecting the correlative rights of
5 Gavilan interest owners.

6 The evidence, particularly the
7 pressure and production data shows that a barrier exists be-
8 tween the expansion area and the area to the east of the
9 permeability barrier. This shows that the expansion area is
10 part of the Gavilan Mancos Pool and not the West Puerto Chi-
11 quito Mancos Pool, thus my clients encourage the Commission
12 on its own motion to contract the West Puerto Chiquito Man-
13 cos Pool and expand the Gavilan Mancos Pool by the addition
14 to Gavilan of the proposed expansion area.

15 With respect to the gas/oil
16 ratios, we think it's ironic that since 1986 Mr. Greer has
17 advocated reduced allowables to prevent increasing GOR's.
18 Now, however, Mr. Greer thinks that high and increasng
19 GOR's, due to curtailed production are just fine.

20 Furthermore, he advocates
21 greatly increased production from his own wells which will
22 have the effect of stealing hydrocarbons from Gavilan wells,
23 which are already suffering from curtailed allowables.

24 At the very least, the Gavilan
25 wells should have normal, statewide allowables re-instituted

1 immediately pending the Commission's next Gavilan hearing.

2 We think it's significant that
3 both Koch and Reading & Bates, parties who own interest in
4 both Gavilan Mancos and West Puerto Chiquito Mancos Pools
5 disagree totally, not only with BMG's proposed pressure
6 maintenance expansion, but also with the interpretation
7 which Mr. Greer places on his data. If Mr. Greer can't con-
8 vince the unit owners that they need expansion, I think that
9 says something about the validity of the evidence submitted
10 by BMG.

11 The driving force for the expansion of
12 this pressure maintenance project seems to be the proposed
13 gasoline plant which has an approximate cost of \$4-million
14 and which Mr. Greer states must be started with the utmost
15 speed, yet Mr. Greer has no written plans or specifications
16 for the plant, apparently no right-of-way for the proposed
17 pipeline, and the only document regarding the plant is a
18 bare bones AFE sent to working interest owners less than a
19 week ago.

20 If the plant really needs to be
21 started immediately, it seems that plans for the plant would
22 be somewhat more advanced than the middle -- than the mini-
23 mal data and design Mr. Greer has presented to the unit own-
24 ers.

25 Furthermore, if Mr. Greer needs

1 extra gas for the plant, that can surely be provided by re-
2 instituting normal statewide allowables in Gavilan Mancos
3 and the proposed expansion area. This will allow wells to
4 produce more gas for the plant and I'm sure that many Gavi-
5 lan owners would be glad to sell gas to BMG; however, we do
6 not think Benson-Montin-Greer should be allowed to take Gav-
7 ilan hydrocarbons by Commission order.

8 Mr. Greer has always urged the
9 Commission to err on the side of caution in dealing with
10 these two pools; however, he now throws caution to the wind
11 so that he can obtain an unfair advantage over the Gavilan
12 owners. To do this BMG has massaged the data to conform
13 to a desired outcome rather than fitting the data to a
14 reasonable theory.

15 My clients believe that the only
16 reasonable conclusion upon a fair examination of the data is
17 that the expansion area is part of Gavilan Mancos and is
18 separated from the West Puerto Chiquito Pool by a permeabil-
19 ity barrier.

20 As a result, in order to protect
21 correlative rights, BMG's application must be denied.

22 Thank you.

23 MR. LEMAY: Thank you, Mr.
24 Bruce.

25 Additional comments before

1 closing arguments?

2 MR. BUETTNER: I had a little
3 bit more I was going to say. It seems to me that I could
4 abbreviate it.

5 Mr. Greer is demanding cut the
6 other owners to 1/6th of what he can produce from his offset
7 wells. He wants you to let them drain the -- let him drain
8 oil from the Gavilan, give a 600 percent production advan-
9 tage to protect the project that there's scant evidence
10 really needs protection or is otherwise protected on any
11 side except to the west.

12 He testified the gas goes north
13 like gangbusters. He's testified it goes south (unclear);
14 to the east is up, and the only place where there's an argu-
15 able, any kind of an argument about restriction, about how
16 effective the restriction is, not whether there's a restric-
17 tion, is down dip to the west, and that's the area where he
18 wants you to impose these huge penalties on the Gavilan
19 owners in terms of drainage.

20 And Koch is -- not only do we
21 think that that's not fair, but we also urge you not to put
22 us in the position of being obliged to participate in an un-
23 economic 4-million dollar gas plant.

24 That's about all we have to
25 say.

1 MR. LEMAY: Additional state-
2 ments?

3 We will have our closing argu-
4 ments in reverse order.

5 MR. PEARCE: Thank you, Mr.
6 Chairman, I will attempt to be as brief as I can.

7 Mr. Chairman, we are here
8 because Mr. Greer wants to include a row of two sections in
9 a presently existing pressure maintenance project. That's
10 what we're here to talk about, whether or not that row of
11 two sections ought to go into that pressure maintenance
12 project.

13 Now, if we're to look at that,
14 I want to take just a couple of minutes and tell you some of
15 the things that you've heard in the last two days, because I
16 think they're critical to your thinking about whether or not
17 that ought to be done; a couple fo things which Mr. Greer
18 calls plain and simple facts. That's all we're talking
19 about, just plain and simple facts.

20 The fact is the Canada Ojitos
21 Unit went on production about 1962.

22 The fact is that in 1970 the
23 pressure in the Canada Ojitos pressure -- in the Canada
24 Ojitos Unit was about 1555 pounds.

25 The fact is that 15 years later

1 the pressure in the Gavilan Pool adjoining the Canada Ojitos
2 Unit was 1720 pounds.

3 From 1962 until 1985 something
4 had prevented those pressures from equalizing. That is a
5 plain and simple fact.

6 I don't understand Kh and I
7 don't understand mu and I don't understand millidarcies and
8 darcies, but I understand that from 1962 to 1985 those pres-
9 sures had not equalized.

10 Mr. Greer tells us now that he
11 is concerned because now the Gavilan pressure is lower than
12 the Canada Ojitos pressure, and he is concerned about what
13 that might do to his pressure maintenance project.

14 From 1962 until 1985 we know it
15 didn't do anything. We know that. That's a plain and sim-
16 ple fact.

17 We know that when the wells in
18 the proposed areas Mr. Greer wants to add to the pressure
19 maintenance project came on line they came on and declined
20 just like Gavilan wells. Those are the curves they match.
21 That's a plain and simple fact.

22 The pressures which we have
23 looked at from November and February show that the wells in
24 the proposed expansion area match Gavilan pressures. They
25 don't match pressure maintenance project pressures. That's

1 a plain and simple fact.

2 Now, if Mr. Greer can't econom-
3 ically build a gasoline plant, I may be very sorry for him.
4 That may be unfortunate, but he should not be able to uti-
5 lize Gavilan type reserves and damage the Gavilan reservoir
6 in order to build a pressure -- a gasoline plant.

7 That's not fair. It's not
8 reasonable.

9 Mr. Greer said not half an hour
10 ago sitting right here, Mr. Greer said, talking about per-
11 meability restriction, he said, I know there are some. he's
12 drawn it on maps for years, the map which Dr. Lee used this
13 morning was a copy of a Greer map and it had that hachured
14 area on it that we've seen over and over again from every-
15 body.

16 The plain and simple fact is
17 the wells in the proposed expansion area are not in effec-
18 tive pressure communication with the present pressure main-
19 tenance project.

20 They are not. From 1962 to
21 1985 those pressures didn't equalize. They're not going to
22 equalize now.

23 To allow Mr. Greer to take gas
24 out of that proposed expansion area, inject it into the
25 pressure maintenance project area, and get credit in the

1 proposed expansion area, is unfair and will drain Gavilan
2 reserves to his wells.

3 Mr. Chairman, that's not fair.

4 MR. LEMAY: Thank you, Mr.
5 Pearce.

6 Mr. Douglass.

7 MR. DOUGLASS: Thank you, Mr.
8 Chairman.

9 I now find out Mr. Pearce is a
10 difficult act to follow.

11 When we designed this case we
12 wanted to give you the facts that have become available as a
13 result of the testing procedures and orders which you've set
14 out, because I think this Commission in the March and April
15 hearings of 1987 was concerned that they really didn't have
16 a grip on all of the factual data that they needed to make
17 the kinds of determination that you wanted to, and that's
18 why in designing this case I said, let's don't do any com-
19 puter modeling; let's just take what data and information
20 shows, what the actual facts are, and see what that tells us
21 as far as this reservoir is concerned, because I think when
22 you look at it, it's going to tell this Commission exactly
23 what we've seen in the last two days, and that is that irre-
24 spective of how successful the pressure maintenance project
25 was that Mr. Greer has carried out, and I don't want to in

1 in any way impinge (sic) that. That's fine, that's wonder-
2 ful, I'm delighted that he did it. It may have resulted in
3 substantial additional recovery in his part of the reservoir
4 and his type of reservoir that he has there.

5 But what you're faced with now
6 is undisputed, factual data that there is no effective com-
7 munication across the barrier that we've shown here.

8 Mr. Greer has not disputed one
9 single pressure data fact that we've shown you.

10 He's not disputed any of the
11 original pressure data information that has been shown here,
12 and that is the kind of data that this Commission can rely
13 on. It's the kind of data reservoir engineers and geolo-
14 gists use all the time to make their toughest and very har-
15 dest type of determinations.

16 And what's happened here, the
17 only explanation I have is that Mr. Greer really hasn't
18 faced up to what this data shows you, what this data really
19 shows you, that when he says he can get a frac response in
20 this high permeability reservoir in a period of a quarter of
21 a day and half a pound, that when you look at years and
22 years of pressure data or when you look at shut-in data over
23 a relatively short period of time, you come to one inescap-
24 able conclusion, is that there is a pressure barrier between
25 these two areas and that barrier is substantial because it

1 is now supporting a 450 pound pressure differential, and as
2 Mr. Hueni has pointed out, the pressure maintenance project
3 pressure has performed just as the pressure maintenance pro-
4 ject should perform. And Mr. Lee has said that it appears
5 to him that that pressure maintenance project is performing
6 as it should; gas wells gassing out down structure as he has
7 illustrated.

8 Mr. Lee also pointed out that
9 the Gavilan pressure, although starting above, is now sub-
10 stantially below, it has not affected that pressure mainten-
11 ance project, nor has the pressure maintenance project af-
12 fected Gavilan. It's just as if these two reservoirs were
13 thirty miles apart, is what it amounts to, and someone is
14 going to have to step up and point out to all the parties
15 involved, yes, there is a pressure barrier in this reser-
16 voir, and yes, the two areas do perform differently, and
17 yes, we are going to have to regulate those two areas dif-
18 ferently.

19 And that's why this application
20 should be denied, because you're taking the pressure mainten-
21 ance area regulation and applying it to an area that is not
22 in effective communication. It's not under pressure main-
23 tenance.

24 I guess another thing that dis-
25 turbs me, is that it -- that it appears that Mr. Greer wants

1 to hold this Commission as a hostage, just as he's been
2 holding my client hostage since he got the allowable reduced
3 in September, 1986.

4 There's not much we can do
5 about being held hostage, other than present the facts to
6 this Commission and request fair treatment.

7 But I think there's a whole lot
8 that this Commission can do about being held hostage, and
9 that is to look at the facts and make the determination
10 based on that, that if Mr. Greer needs additional gas to
11 finance a gasoline plant, then the way to handle that is to
12 increase the allowables back to the normal state allowable
13 rate that was in existence before, because Mr. Greer has 85
14 percent of his production coming from this expansion area,
15 and I think we have shown without question the production
16 advantage that he has.

17 The bar graphs that we presen-
18 ted here have not been disputed about it. Well versus well,
19 Mallon well versus Unit well, or the 2-section area versus
20 2-section area, that what is taking place here is a pure and
21 simple violation of Mallon's correlative rights and the Gav-
22 ilan correlative rights, and this Commission should not, and
23 I think will not, be held hostage because of a gasoline
24 plant.

25 We have the later interjection

1 in this proceeding that, well, I'm going to blowdown the en-
2 tire reservoir, by Mr. Greer, this is what he said, I'm
3 going to blowdown the entire reservoir if I don't get what I
4 want.

5 I suggest to you that Mr. Greer
6 has already seen and he knows that his injection project is
7 nearing the end of its life. It's coming. It happens to
8 every reservoir when you carry out this type of injection
9 project, and there comes a blowdown time, and that time may
10 or may not come as far as Mr. Greer's determination in the
11 pressure maintenance area, but Gavilan and Mallon shouldn't
12 be held hostage because of that. That's a determination
13 that Mr. Greer makes with reference to his working interest
14 owners and this Commission, I assume, as far as that goes.

15 In short, we've presented
16 facts, facts that are supported in this record; facts that
17 have been supported from the stand; facts that show that
18 there's not effective communication.

19 Mr. Lee's entire calculations
20 are based on that area, expansion area being effective pres-
21 sure communication. Mr. Greer, you heard him testify just a
22 few minutes ago, that he says he recognized the tight area.

23 I think that this Commission
24 has to make sure that everyone recognizes that tight area as
25 the area that we're showing.

1 This application should be
2 denied.

3 Thank you.

4 MR. LEMAY: Thank you, Mr.
5 Douglass.

6 Mr. Kellahin.

7 MR. KELLAHIN: Gentlemen, it's
8 always amazed me that at the end of the technical presenta-
9 tion before a body of experts that the lawyers are then cal-
10 led upon to come before you and tell you what you're sup-
11 posed to do.

12 I guess my amazement continues
13 as we again display that effort this afternoon.

14 I take comfort from the fact,
15 though, that there is not a lawyer on the Commission. There
16 hasn't been in God knows when and I hope there never is. We
17 want you to decide this on the facts as presented as best
18 you see them.

19 Some of the things that the
20 prior lawyers have said bother me enough that I would like
21 to comment on them.

22 I guess the first one is that
23 Mr. Pearce says he does not understand the consequences of
24 what the evidence has displayed in terms of the pressure
25 differential. It's of no consequence that he doesn't under-

1 stand it. That's why we come before a technical committee
2 to help us resolve this issue.

3 I quite frankly, in my own sim-
4 ple way, don't find this to be a very complicated case.

5 I think Mr. Douglass had an
6 interesting way to phrase his closing argument. He said it
7 twice. He says, "we have designed our case." "We have de-
8 signed our case."

9 Well, with all due respect, Mr.
10 Chairman, Mr. Greer and the Sun people that have presented
11 their case to you haven't designed anything. We've come
12 forward before you with a simple projection of the facts as
13 clearly and as carefully as we thought we could do that.

14 Mr. Bruce's comments concern
15 me. He's concerned about the correlative rights of owners
16 that are in the Gavilan and in the Unit.

17 I will tell you his ownership
18 interest is 4 percent of the Unit.

19 As I told you yesterday when we
20 began this discussion, Sun, and Sun alone, is in the unique
21 position of having a substantially greater interest at risk
22 in the Gavilan than any of these people in this room.

23 It was not Mr. Greer that came
24 before you and held this Commission hostage to have you re-
25 duce the allowables in Gavilan effective (unclear). That

1 application was made on behalf of Jerome McHugh, who was an
2 owner in the Gavilan Mancos. The Gavilan Mancos ownership
3 by McHugh was transferred to Sun and it was Sun and McHugh
4 who brought forth with you for discussion those -- those
5 cases.

6 I think this is a simple case.
7 The more I listen to it, the more positive I am that it is.

8 The unit area that is being re-
9 quested for inclusion in the pressure maintenance expansion
10 is part of the unit itself. The unit has been consolidated.
11 That acreage has been brought into the unit. Those interest
12 owners in the expansion area are now participating, the roy-
13 alty, the working interest owners, the overriding royalty
14 owners, are currently participating in the success of the
15 project.

16 You've approved it. The BLM
17 has approved it. The Commissioner of Public Lands has ap-
18 proved it. We now come forward and ask you to approve the
19 expansion of the pressure maintenance gas injection credit
20 for the main project itself.

21 I don't think you have to take
22 a lot of time to analyze all the intricacies of the evi-
23 dence. I think I like the way Mr Lyon was approaching the
24 solution as he asked Mr. Greer questions earlier this after-
25 noon.

1 The fact of the matter is that
2 in this highly communicated reservoir with such large per-
3 meability, Mr. Greer has told us that the gas injection in-
4 to the gas cap sees a quick response in a matter of days.
5 It seems to me that if gas withdrawn from the expansion area
6 is injected into the gas cap and does not successfully com-
7 municate across the barrier, then you're going to get over-
8 pressurization in the gas cap and you're simply not going to
9 be able to put the gas into the ground, and if you can't
10 redistribute the gas into the reservoir, you don't get the
11 credit, and what's so wrong with that? That's exactly the
12 way pressure maintenance works in all pressure maintenance
13 projects in this state, including this one. This one is no
14 different.

15 Mr. Greer is absolutely right.
16 This is a simple, interesting, wonderfully clear method to
17 solve this problem. It is self-regulating. If you don't
18 re-inject the gas, you don't get the credit. If you sell
19 the gas, then you're in the same position that the Gavilan
20 Mancos owners are when they sell their gas.

21 We do not see the concern. In
22 fact, quite frankly, we think that the opposition has raised
23 the emotional level of their dispute with the Canada Ojitos
24 owners and operators to a point where it no longer is
25 reasonable and objective.

1

2

3

4

We think you have no other choice, based upon the substantial evidence but to approve Mr. Greer's application.

5

We request that you do so.

6

7

MR. LEMAY: Thank you, Mr. Kel-
lahin.

8

Mr. Carr.

9

MR. CARR: Thank you.

10

11

12

13

May it please the Commission, at the beginning of this case I speculated that you've heard more about the Gavilan than you possibly ever wanted to, and being after 5:00 on Friday, I'm going to be short.

14

15

16

17

I, like Perry, don't pretend to come in here and tell you what Kh's and mu's are, but there are certain things that I think at the end are important to look at to refocus this matter.

18

19

20

21

22

23

24

25

We're here seeking approval of an expansion of an existing pressure maintenance project.

We've come before you and we've presented a backbreaking pile of evidence. But I think it's important to recognize that what we're doing coming before you with all of this is not trying to hold you hostage, not trying to take advantage of anybody, but to give you the information you need as technical people, to make an

1 informed decision.

2 And what do we get? Well,
3 we're held up as trying to hold you hostage and take advan-
4 tage of everyone in the room.

5 We know it's possible to take
6 advantage the other way, too, and without pointing the fin-
7 ger at anyone, if you have a lease that offsets an effective
8 pressure maintenance project, you really might like to not
9 be restricted and not have an effective gas credit arrange-
10 ment on the border, because you'd be (unclear) then, and so
11 it's not just a simple situation where Mr. Greer is out
12 there trying to take advantage of someone else. When that
13 comes into your mind, I think you need to remember there are
14 two sides to that question.

15 I submit what we're here seek-
16 ing is an informed decision on a substantial amount of evi-
17 dence; a decision we're convinced, if you review it when
18 you think about it, will show that clearly what we are en-
19 titled to is expansion of a pressure maintenance project
20 which is benefiting Mr. Greer, the other interest owners in
21 this unit, and the State of New Mexico.

22 We're asking you, not for
23 special treatment. We're asking you to do what's fair.
24 We've been out there for twenty-five years. We have been

25

1 running this pressure maintenance project for twenty, and we
2 have done nothing without coming before you, as we have
3 here, keeping you fully informed as to what we're doing.

4 We submit the question you must
5 decide is whether or not there is effective communication
6 across this reservoir. I'm not going to sit here now and
7 talk to you again about the seven ways we have shown pres-
8 sure communication, evidence that was further supplemented
9 by analysis of the data, which established that there were
10 large areas of the reservoir in this analysis of fracture
11 pulse test through which communication could be seen.

12 We're going to leave those
13 questions in your hands. We're going to point out, however,
14 that when you think about these, remember we've been injec-
15 ting gas in the top of that structure for a very, very long
16 time. You don't see how it is pressured up.

17 We've injected gas produced in
18 the unit and from without and you don't see the pressure
19 building up.

20 We also think it's important
21 when we talk about pressures to go back to what they call
22 our rainbow map. There's been an awful lot of testimony
23 about a 400-pound difference between the red area and the
24 western boundary of the unit.

25 Mr. Greer talked about pressure

1 the end.

2 Lawyers -- I'm not giving you
3 testimony now and Mr. Bruce wasn't giving you testimony a
4 few minutes ago, and without testifying I can't tell you
5 that right now we have 90 percent of the right-of-way, but I
6 could if I put Mr. Greer back on, or that we have 86-plus
7 percent working interest approval to go forward with this
8 project, but the AFE that has been approved by the 86 per-
9 cent is contingent upon approval of this application by you.
10 That's not testimony, but I don't think attorneys should
11 come in and not ask questions and then draw conclusions from
12 evidence they didn't produce and then expect us to sit here
13 quietly about it.

14 We believe we've shown that
15 there is an effective pressure maintenance project going on
16 here. Look at the results we get with the reservoir energy
17 we are using and when you look at that, keep in mind that,
18 yes, we're taking more gas out, MCF for MCF, than the well
19 in the unit, Mr. Mallon's well, but we're putting that gas
20 back in and we're not using the reservoir energy needed to
21 produce the oil that other people are, and that's how it is
22 supposed to work; that's what you do with a pressure main-
23 tenance project that is confined to a portion of a single
24 reservoir.

25 That's what we have here, an

1 effective pressure maintenance project that is working to
2 the benefit of the interest owners and the State of New Mex-
3 ico.

4 Now, Mr. Kellahin said he hoped
5 you never had an attorney on the Commission. Well, I hope
6 you get one on your staff because I'll tell you this: You
7 make the technical decision but that decision is made within
8 the context of rules and regulations and the statutes and
9 court decisions which govern your activities, and when you
10 look at that, that body of law and the regulations which de-
11 fine what you do, it says that the primary function you per-
12 form is the prevention of waste, the Supreme Court in Con-
13 tinental versus the Oil Commission, waste is your primary
14 duty; correlative rights was a necessary secondary adjunct
15 to that function.

16 The question of waste, then,
17 must be addressed by you in deciding if you're going to
18 grant this application and even when Mr. Hueni was asked by
19 Mr. Chaves, will waste be caused in a traditional industry
20 sense by granting this, Mr. Hueni wouldn't answer that ques-
21 tion; he rushed off to correlative rights.

22 Well, I'll tell you the reason
23 he didn't is waste cannot and will not be caused by granting
24 this application. You will not dissipate reservoir energy.
25 You will not leave oil in the ground. And so we have pre-

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

MR. LEMAY: Thank you, Mr. Carr.

Is there anything further in
this case?

If not, we shall take it under
advisement. Thank you, gentlemen, and ladies.

(Hearing adjourned.)

C E R T I F I C A T E

I, SALLY W. BOYD, C.S.R., DO HEREBY
CERTIFY that the foregoing pages numbered 247 through 497,
inclusive, constitute a full, true and correct transcript of
the portion of the hearing in New Mexico Oil Conservation
Commission Case 9111 heard on 18 March 1988, reported by me
to the best of my ability.

Sally W. Boyd CSR

STATE OF NEW MEXICO
ENERGY, MINERALS, AND NATURAL RESOURCES DEPARTMENT
OIL CONSERVATION DIVISION
STATE LAND OFFICE BLDG.
SANTA FE, NEW MEXICO

19 May 1988

COMMISSION HEARING

IN THE MATTER OF:

A pre-hearing conference is called by the Oil Conservation Commission to establish procedures, determine issues, and to set forth a hearing agenda for Cases Numbers 7980, 8946, 8950, and 9111, all set for an evidentiary hearing to be held commencing at 9:00 a.m. on Monday, June 13th.

CASE
7980
8946
8950
9111

BEFORE: William J. Lemay, Chairman
Erling Brostuen, Commissioner
William M. Humphries, Commissioner

TRANSCRIPT OF HEARING

A P P E A R A N C E S

For the Division: Charles E. Roybal
Attorney at Law
Legal Counsel to the Division
State Land Office Bldg.
Santa Fe, New Mexico 87501

A P P E A R A N C E S

1
2
3 For Sun Exploration & W. Thomas Kellahin
4 Development Company & Attorney at Law
5 Dugan Production Corp: KELLAHIN, KELLAHIN & AUBREY
6 P. O. Box 2265
7 Santa Fe, New Mexico 87504-2265
8
9 For Benson-Montin-Greer: William F. Carr
10 Attorney at Law
11 CAMPBELL & BLACK P.A.
12 P. O. Box 2208
13 Santa Fe, New Mexico 87501-2208
14 For Mallon Oil Company: Frank Douglass
15 SCOTT, DOUGLASS & LUTON
16 Attorneys at Law
17 Twelfth Floor
18 First City Bank Bldg.
19 Austin, Texas 78701
20
21 For Mallon Oil Company W. Perry Pearce
22 & Mobil Producing: Attorney at Law
23 MONTGOMERY & ANDREWS P.A.
24 P. O. Box 2307
25 Santa Fe, New Mexico 87504-2307
For Mesa Grande Ltd.: Owen M. Lopez
Attorney at law
HINKLE LAW FIRM
P. O. Box 2068
Santa Fe, New Mexico 87501-2068
For Amoco Production Co.: Kent J. Lund
Attorney at Law
Amoco Production Company
P. O. Box 800
Denver, Colorado 80201

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

MR. LEMAY: Okay, we shall now open Cases Number 7980, 8946, 8950, 9111, possibly more.

MR. LOPEZ: Mr. Chairman.

MR. LEMAY: Mr. Lopez.

MR. LOPEZ: There is another case, I think, that might be included, but I haven't heard back from you. I wrote a letter with an application for the extension of the Gavilan Mancos two tiers to the east and the retraction of the West Puerto Chiquito, and I don't know what case number has been assigned as to that --

MR. LEMAY: Mr. Lopez, I certainly received that. That's why I said and possibly other cases. Part of the reason for not responding was to get some comment from the lawyers present as to how wide a spectrum you want to look at in considering your request as well as possibly other requests for consideration.

MR. LOPEZ: Well --

MR. LEMAY: We plan to handle that this morning.

MR. LOPEZ: Okay, fine. I just -- I thought it went hand in glove with Case 9111 where the order was pending.

MR. LEMAY: We read your argument and it was persuasive.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

MR. LOPEZ: Thank you.

MR. LEMAY: At this point I think all of you have -- let me just for those who haven't seen this, this is a pre-hearing conference that's hereby called by the Oil Conservation Commission to establish procedures, determine issues, and to set forth a hearing agenda for Cases 7980, et cetera, concerning the Gavilan Mancos Oil Pool and/or West Puerto Chiquito Mancos Oil Pool, Rio Arriba County, New Mexico.

In regard to that, we have -- we have issued a proposed statement. Lawyers, and interested parties in the audience, if you have not received a copy of the proposed statement, hopefully we have some back there for your consideration.

Our purposes, basically, are to sit down and get the ground rules for these hearings that will take place during the week of June 13th through 17th, and hopefully we won't need to use all five days, but as you all know, we've heard quite a bit of testimony over a two-year period, concerning two oil fields in Rio Arriba County.

It's our intent not to re-hear everything that's been heard in the past but to incorporate the records of all these cases. Again, for those of you who weren't familiar with what's gone on to date, is we've -- we've heard five days of testimony last year. That followed

1 four or five or more days of testimony the year before,
2 which this Commission did not hear, but last year we did
3 hear everything from the beginning up to that point.

4 Case 9111 was heard a couple of
5 months ago. An order was not issued on that and we ended up
6 incorporating consideration of that case, rolling it into
7 the testimony, and -- rolling it into the record, I should
8 say, of the June 13th to 17th, 1988 hearing docket.

9 Now we've received an applica-
10 tion by Mr. Lopez for what I would say the consideration of
11 field boundaries in the area. My personal preference is if
12 we're going to consider expansion of Gavilan, we might con-
13 sider contraction of Gavilan; in other words, opening up
14 that issue of present pool boundaries between the Gavilan
15 Mancos and the West Puerto Chiquito Mancos Oil Pools. I
16 think consideration of that is appropriate, after consulting
17 with the Commissioners.

18 We want to have this thing be
19 pretty wide open as to what we consider but not entertain
20 evidence that would either be cumulative in nature; be not
21 that applicable where there's been stipulated items in the
22 past as part of the record, let's not talk about this thing
23 being a fractured reservoir and some of the geological evi-
24 dence that's been presented in the past is good. Unless
25 that's changed, I think we can all accept it and there

1 doesn't seem to be much disagreement on the geology; not to
2 excluded geologic testimony, but only to kind of streamline
3 the procedure and narrow down what the Commission -- what's
4 relevant to consideration of the main issues.

5 In that regard you'll remember
6 that we've got our own guy now, Bill Weiss is -- is really
7 the expert for the Commission. There's been some work done
8 by Bill, as well as some people in the Farmington office.

9 We plan to -- we'd like to in-
10 troduce -- some of that information is right here. We'd
11 like to distribute that today for consideration in your own
12 cases.

13 We plan to divide it up again,
14 red/blue, good guys/bad guys, however you want to refer to
15 that, but have the two opposing sides that have been pretty
16 well established historically, and have -- have representa-
17 tion into that side, into that -- that particular viewpoint,
18 come forth within a day and a half of testimony.

19 Now, this -- this can be, as
20 indicated in our proposed statement, this can be handled
21 rather loosely, the way you'd like to present your cases.
22 Example, if you're given a day and a half and want very lit-
23 tle direct but quite a bit of cross examination and rebut-
24 tal, I think, without putting (sic) a time clock involved,
25 you are all gentlemen and have been able to abide by that

1 pretty well in the past. We'd like to continue that process
2 so that there is an element of equal time; we're not telling
3 you how to use that time.

4 You know, with that in mind,
5 that's our idea on how we'd like to handle it and I think
6 the Commission would like to hear from some of you.

7 Yes, sir, Mr. Kellahin.

8 MR. KELLAHIN: Mr. Chairman,
9 for the record, for procedure's sake this morning, I would
10 like to suggest to you that you call for appearances and
11 find out what attorneys are here to represent what parties
12 and see if we can find out who the players will be for June.

13 MR. LEMAY: I plan to do that.
14 At this point I -- it's properly advertised and I will call
15 for appearances in Cases Number 7980, 8946, 8950, 9111, and
16 any other cases that we may consider pertaining to the Gavi-
17 lan and West Puerto Chiquito.

18 Mr. Kellahin.

19 MR. KELLAHIN: Mr. Chairman,
20 I'm Tom Kellahin of the Santa Fe law firm of Kellahin, Kel-
21 lahin & Aubrey.

22 I'm appearing in these proceed-
23 ings for Sun Exploration and Production Company, and Dugan
24 Production Corporation.

25 Mr. Chairman, in the past I

1 have represented also Jerome P. McHugh in these Gavilan pro-
2 ceedings. Mr. McHugh has sold his interest substantially to
3 Sun and so Sun replaces Mr. McHugh in the proceeding.

4 MR. LEMAY: Thank you.

5 MR. CARR: May it please the
6 Commission, my name is William F. Carr from the law firm of
7 Campbell & Black, P. A, Santa Fe. We represent Benson-Mon-
8 tin-Greer Drilling Corporation.

9 MR. DOUGLASS: Mr. Chairman,
10 I'm Frank Douglass of Scott, Douglass & Luten of Austin and
11 Houston, and we'd like to be in Santa Fe, and I'm represent-
12 ing Mallon Oil Company.

13 I think we would be aligned,
14 according to the Proposed Statement of Hearing as a propo-
15 nent.

16 MR. PEARCE: May it please the Com-
17 mission, I am W. Perry Pearce of the Santa Fe office of
18 Montgomery and Andrews Law Firm.

19 I'm appearing in this matter in
20 association with Mr. Douglass on behalf of Mallon Oil Com-
21 pany; also appearing on behalf of Mobil.

22 MR. LEMAY: Mr. Lopez?

23 MR. LOPEZ: Mr. Chairman, my
24 name is Owen Lopez with the Hinkle Law Firm in the Santa Fe
25 office, appearing on behalf of Mesa Grande Limited.

MR. LUND: Good morning, Mr.

1 Chairman. Kent Lund appearing on behalf of Amoco Production
2 Company.

3 We're part of the proponents,
4 too.

5 MR. LEMAY: Part of the pro-
6 ponents, Mr. Lund?

7 MR. LUND: Yes, Mr. Chairman.

8 MR. LEMAY: Additional appear-
9 ances in this case?

10 Got all the players, okay.

11 Let's go through here and just
12 get some comments. We can do this on the record or off the
13 record. Any suggestions on that?

14 MR. KELLAHIN: I'd like to see
15 it on the record, Mr. Chairman.

16 MR. LEMAY: Fine. I would cer-
17 tainly summarize on the record if we kept it off the record.

18 At this point I would like to
19 bring up the possibility that -- is Mr. Bob Stovall in the
20 audience?

21 MR. ROYBAL: Mr. Chairman, he
22 had to go to Albuquerque at the last minute.

23 MR. LEMAY: Okay. Did you want
24 to bring that item up, since it is a legal item --

25 MR. ROYBAL: Yes, Mr. Chairman.

1 MR. LEMAY -- that might pre-
2 clude his involvement?

3 MR. ROYBAL: Mr. Chairman, Mr.
4 Stovall will be the, as I understand it, the Division coun-
5 sel beginning next month and Mr. Stovall previously was as-
6 sociated with -- with Dugan Oil Company, and I believe it
7 has contacted all the attorneys that are -- have made ap-
8 pearances in this case and from what I understand there have
9 been no objections made to Mr. Stovall becoming the Commis-
10 sion's attorney, but I believe it's important that we get
11 that on the record and then ask the question whether there
12 are in fact any objections to his functioning in that capa-
13 city for the Commission.

14 MR. LEMAY: Are there any prob-
15 lems with Mr. Stovall appearing on behalf of the Commission?

16 Mr. Kellahin?

17 MR. KELLAHIN: Mr. Chairman, I
18 had represented Dugan Production Corporation in the Gavilan
19 proceedings during a period of time where Mr. Stovall was
20 their house lawyer (unclear).

21 To the best of my recollection
22 Mr. Stovall never took an active participating role in any
23 of the hearings, and on behalf of Mr. Dugan we do not raise
24 any conflict of interest issue on behalf of that client.

25 On behalf of Sun Exploration

1 and Production Company we also see no reason to preclude Mr.
2 Stovall from participating on behalf of the Commission or
3 the Division in this proceeding.

4 MR. LEMAY: Thank you. He
5 would be certainly staff because of his position.

6 How about Mr. Lopez or Mr.
7 Douglass, any comments?

8 MR. LOPEZ: Yes, Mr. Chairman,
9 Mr. Roybal's correct. Mr. Stovall did contact me and on
10 behalf of Mesa Grande Limited we have no objection to his
11 participating as a Commission attorney.

12 MR. LEMAY: Mr. Douglass? Mr.
13 Pearce?

14 MR. DOUGLASS: Yes, Mr. Chair-
15 man, I believe Mr. Pearce was involved in that and I think
16 he can make a statement on behalf of my client.

17 MR. PEARCE: Thank you, Mr.
18 Chairman.

19 We were in fact contacted.
20 Many of us here appearing before the Commission have dealt
21 with Mr. Stovall and have some regard for him. We appre-
22 ciate him contacting us to discuss this matter. We have
23 discussed it among ourselves and do not have an objection.

24 MR. LEMAY: Mr. Carr.

25 MR. CARR: And Benson-Montin-

1
2 Greer also has no objection to Mr. Stovall participating.

3 MR. LEMAY: Thank you. Mr.
4 Lund.

5 MR. LUND: If they don't have
6 an objection, I don't either, Mr. Chairman.

7 MR. LEMAY: Well, we'll have a
8 Commission lawyer, then, Mr. Stovall, on for that week.
9 Thank you, gentlemen.

10 Mr. Lopez.

11 MR. LOPEZ: Mr. Chairman, since
12 we're dealing with these procedural matters, I would like a
13 determination of whether our application for the expansion
14 and contraction of the common boundary as contained in my
15 application will be considered along with the rest of these
16 cases.

17 I think we need to determine
18 that.

19 MR. LEMAY: I think we do, too.
20 Mr. Carr.

21 MR. CARR: Does the Commission
22 desire to discuss that at this time?

23 MR. LEMAY: Yes.

24 MR. CARR: As I recall, a year
25 ago Case 9114 was an application perhaps filed by Mr. Lopez,
it was filed by one of the participants in the hearing,

1 seeking a re-determination of the boundaries between these
2 two pools.

3 At the same time Case 9113 was
4 an application that I filed. The thrust of that was to
5 abolish the Gavilan Pool. The intent was to recognize this
6 as one common source of supply. I guess it could abolish
7 the West Puerto Chiquito, as well, but it was to take the
8 boundary completely out.

9 Now, I think this is an impor-
10 tant question and I think it really is a threshold question
11 that needs to be decided because it does have impact on what
12 all of our testimony will be. It's hard for us to come in
13 and tell you today what we're going to say about migration
14 between the pools if the question remains where the pool
15 boundaries lie, obviously.

16 If it is your position to open
17 the hearing and again consider the appropriateness of this
18 boundary, and I believe both applications were denied last
19 year, I, when I got Mr. Lopez' application, thought, well,
20 maybe I ought to file my application again to abolish the
21 Gavilan, and I thought maybe discretion was the better part
22 of valor there and not to put on a black hat for you at the
23 outset; instead defer to you. If that question is, however,
24 raised, we would want to discuss the entire question of the
25 boundary including the elimination of the boundary alto-

1 gether, and we would be happy if procedurally it's neces-
2 sary, to refile an application so it's properly before you
3 for advertisement or we would be happy to have it incorpor-
4 ated into your statement, that the question will be discus-
5 sed, the full question will be discussed; i.e. not only mov-
6 ing the boundary but eliminating the boundary.

7 MR. LEMAY: All right, thank
8 you, Mr. Carr.

9 Additional comments on the
10 boundary?

11 Mr. Lopez.

12 MR. LOPEZ: Mr. Chairman, in
13 light of Mr. Carr's comments, I would have no objection to
14 extending it to include the matters he's raised, but our
15 boundary, as you know, in my cover letter which I think all
16 counsel received a copy of, we felt that, as I mentioned
17 earlier, that our most recent application goes hand in glove
18 with Case 9111, which was the extension of the pressure
19 maintenance project filed by Benson-Montin-Greer which is
20 under consideration (not clearly audible). I think Mr. Carr
21 can figure on it that if we're going to discuss what should
22 be done, we should also discuss where the boundaries between
23 the pools would lie, if indeed there do exist such bound-
24 aries, therefore I would have no objection to incorporating
25 his request, as well, but I do think it has to be addressed.

1 MR. LEMAY: Mr. Kellahin.

2 MR. KELLAHIN: Mr. Chairman, I
3 rise in opposition to the reconsideration of what I would
4 characterize as a political boundary.

5 The prior orders entered by the
6 Commission in '86, as well as the June '87 order, I thought
7 laid that issue to rest. The Commission's orders, as I re-
8 call them, found this to be one common source of supply, but
9 as a practical matter chose as a political boundary the cur-
10 rent boundary between the pools.

11 Since that time there has been
12 significant activity between the Unit on the east side and
13 Gavilan on the west side with further production, develop-
14 ment, and drilling.

15 We utilize and rely to some de-
16 gree upon the political boundary. If we are going to once
17 again visit that issue, it raises in my mind some questions
18 of the legal efficacy of doing so within the scope of what I
19 thought was to be the June hearing.

20 The Commission, after a week's
21 testimony, I thought decided the issue of the boundary, and
22 right or wrong, we're dealing with the boundary as it is
23 now.

24 It's also my understanding that
25 there has been no geologic evidence that would cause us to

1 believe the geology is significantly different than we knew
2 it to be in June, and wherever you put the boundary, it's
3 going to be a political boundary. The parties have relied
4 for the last year on the current boundary and I think to re-
5 visit that issue simply upsets and moves backward and we
6 haven't proceeded forward.

7 I guess my understanding of the
8 order was that we would visit in the June hearing of this
9 year the issue of whether the producing rates on the reduced
10 basis that they were applied in the June order was to be the
11 main topic of conversation and we were to take the high pro-
12 duction test period and the low production test period plus
13 the reservoir engineering, if you will, that had been deve-
14 loped in the last year, and focus in on the issues that are
15 now necessary for further consideration, which is what is to
16 be the producing rate for Gavilan, how you need to integrate
17 those producing rates in each half of this reservoir, and
18 determine what should happen with the producing rates.

19 If we're not moving ahead, I
20 think, if we regress and now talk about where the political
21 boundary is, we're going to need more than the week you've
22 anticipated. Let me remind you that we spent two days in
23 hearing before this Commission talking about adjusting the
24 political boundary between West Lindrith and the western
25 boundary of Gavilan. We spent two days working through that

1 deal, and if we're going to visit again where to put the
2 boundary between West Puerto Chiquito and Gavilan, we're
3 going to need some more time.

4 I think you have a legal prob-
5 lem in introducing that as an issue now. I think Mr. Lopez
6 wants a second bite of that apple and he's already been
7 denied, as we were. We've solved that one, at least made a
8 decision on it, and I suggest that it's not a decision that
9 needs to be re-made.

10 I think you can address all the
11 issues that are important in the context of determining
12 whether there is a method of adjusting the equities between
13 the two pools as they exist now. Again, they introduced
14 some of that topic at the pressure maintenance hearing. We
15 can about mechanical and physical ways to adjust producing
16 rates and measure bottom hole pressures to handle that
17 boundary.

18 I don't think we need to visit
19 the boundary here.

20 MR. LEMAY: Thank you, Mr.
21 Kellahin.

22 Mr. Douglass or Mr. Pearce?

23 MR. PEARCE: Thank you, Mr.
24 Chairman.

25 I'm in the unusual position of

1 sympathizing with everybody who's talked to the issue this
2 morning and the problem is I would like for the Commission
3 to tell us what issues the Commission wants to consider. I
4 agree with Mr. Kellahin that if the boundary issue is injec-
5 ted into this proceeding, this is a much larger, much more
6 complicated and much more extensive hearing.

7 If -- if the boundary issue
8 needs to be revisited, as Mr. Lopez suggests, and that can-
9 not be done separate from the June hearing in the Commis-
10 sion's view, then I think that has to be considered, but I
11 think the Commission has to tell us what issues they want to
12 address and whether or not they think some issues, some
13 separate issues can be considered later if they need to.

14 I, frankly, was concerned that
15 9111 is still with us, and I fear, having a proceeding which
16 grows like Topsy, if we can't settle a discrete issue like
17 9111, I don't know how we're ever going to get out of this,
18 Mr. Chairman, and I personally, rather than -- than stating
19 a position for some client, would like for the Commission to
20 tell me what you want us to talk about and if you'll let us
21 know that, we'll try to get an accurate estimate of how much
22 time we need and we'll try to meet schedules, but I think
23 Mr. Kellahin may be right, a week may not do it.

24 We'll do what we can to help
25 you, but if you let us talk about all of the issues or any

1 issue we want to, you have a problem, Mr. Chairman, and I,
2 as I say, I sympathize with everybody and I don't have an
3 answer. Sorry.

4 MR. LEMAY: Mr. Douglass.

5 MR. DOUGLASS: Mr. Chairman, I
6 read with interest your proposed statement of hearing. I
7 think it is something that's much needed in this type of
8 proceeding. It's very helpful, at least to the lawyers in-
9 volved, and I read under one of these items an issue for
10 hearing was the determination of whether there's migration
11 between the Gavilan and the West Puerto Chiquito Mancos
12 Pools.

13 The second part of that is
14 whether -- whether the horizontal boundaries of the pool are
15 appropriate, and whether correlative rights were being vio-
16 lated.

17 So I assume by that the bound-
18 aries of the pools were something that you were interested
19 in.

20 It seems to me that -- that
21 the main issue should be the production rate that's involved
22 there, with reference to Gavilan. I took it from this, may-
23 be, that the board itself wishes to hear some thing in that
24 area, and I guess we need guidance is really what it amounts
25 to, and I think the parties are correct here that if we go

1 much farther than the production rate, then we may need ad-
2 ditional time.

3 Maybe you may want to consider
4 a bifurcated hearing (not clearly understood) make a deci-
5 sion on that, and then make a decision on the pool bound-
6 aries, as far as that is concerned, at some later time.

7 We certainly don't want to de-
8 lay the decision on the production rate since the time is
9 building up against us as a proponent as far as what's hap-
10 pening in the field.

11 We urge guidance from you gen-
12 tlemen. I think, more than anything else. We would cer-
13 tainly like to go forward with the production rate part.

14 Perhaps after this prehearing
15 conference the attorneys for the parties might get together
16 and reach some sort of an agreement or a tentative under-
17 standing on the boundaries as far as what might take place
18 in this next hearing and report back to your group as to
19 that.

20 MR. CARR: I'd like to say one
21 thing just briefly. I found myself in the awkward position
22 of perhaps agreeing with Mr. Pearce, but perhaps agreeing
23 with everyone that we really do need some help and because I
24 think, and I don't want to misunderstood as saying I think
25 the boundary issue should be reopened, because I really

1 don't, but I think that is the threshold question because I
2 think the whole hearing will follow that kind of a deter-
3 mination and we've got to know what we're talking about be-
4 fore we can come in here and take our positions on that, I
5 think is what we're saying, and I would hope that the attor-
6 neys could retire and agree but I wouldn't want to raise
7 false hopes.

8 MR. DOUGLASS: I think most of
9 the attorneys, Mr. Chairman, sense the decision in 9111
10 would give us a lot of guidance on at least what your con-
11 sideration was as far as where the effective boundary was
12 between the areas that we were dealing with here, and it
13 looks like you're not going to have that kind of guidance
14 before the hearing and I think we're seeking that type of
15 guidance now. I think all of the attorneys, as far as I
16 sense, would be receptive to that type of guidance before
17 planning this next hearing.

18 MR. LEMAY: Mr. Lopez?

19 MR. LOPEZ: And -- and it was
20 in that spirit, Mr. Chairman, that I did file the applica-
21 tion and as a follow-up to 9111, because I do think that the
22 evidence there is before the Commission and apparently will
23 be discussed in the June hearing without repetition of the
24 evidence as presented, and therefore, I just felt if Mr.
25 Greer's application in that case is denied, then the bound-

1 ary is not a political one but a geological one as we've
2 been arguing from the (unclear) and there wouldn't be a
3 great deal of additional testimony or time required, in my
4 opinion.

5 That is also the reason that I
6 limited the application just to discussion of those western
7 two tiers of Puerto Chiquito and did not include the entire
8 spectrum of the Gavilan boundary.

9 MR. LEMAY: Mr. Lund, do you
10 have any comments concerning this?

11 MR. LUND: Just a couple, Mr.
12 Chairman, and I think that we ought to stick to the format
13 that's in your proposed statement in which you say you don't
14 want to consider vertical boundaries at this time, but there
15 is going to be some overlap because of the testimony about
16 the A and B producing zones and the C zone, and an issue
17 that Mr. Douglass raised on (not clearly understood), and it
18 seems to me we ought to here those issues and then any tech-
19 nical (not clearly audible).

20 MR. LEMAY: I'd like to say
21 something in -- did you have something, Mr. Roybal?

22 MR. ROYBAL: Yes, Mr. Chairman.
23 Just, I guess, a reference back to the Commission's last
24 open meeting, where the procedures for this case were dis-
25 cussed, and I think at that time you heard from legal staff

1 that in order to hear paragraph Roman Numeral 111-4. in-
2 cluding the horizontal boundary issue, that we did need a
3 vehicle to get that issue before the Commission, and at that
4 time two things were -- well, one thing was suggested, and
5 that was a reopening of 9113 and 9114, even though a deci-
6 sion has been rendered in those cases denying those applica-
7 tions.

8 I think we now have an alter-
9 nate vehicle with Mr. Lopez' application and his willingness
10 to consider the issues raised by Mr. Carr within that --
11 that application. Perhaps it's even a superior vehicle if
12 you don't have a denial already on the record in those cases
13 in that new case; a brand new case might be the best
14 vehicle, but as the other attorneys have stated, the -- it
15 is a threshold question whether horizontal boundaries are to
16 be considered by the Commission and once that's decided we
17 can structure it from there.

18 MR. LEMAY; Does anyone else
19 have anything to say on this particular issue, whether to
20 consider horizontal boundaries?

21 Yes, sir, Mr. Chavez.

22 MR. CHAVEZ: Mr. Chairman, I
23 just want to ask if -- if the boundaries are changed will
24 there be a practical difference in the way the pools are
25 operated and if there aren't, and all we're doing is just

1 making more administrative burden on everybody, then one
2 should not consider the issue.

3 The pool rules have been adjust-
4 ted such that the operating, producing rates are the same on
5 either side of the boundary. There are already in place
6 buffer zones to protect against cross drainage if such might
7 occur and and there may not be a practical outcome of chang-
8 ing the pool boundary as far as operating the pools is con-
9 cerned.

10 MR. LEMAY: Anyone else have
11 anything to say in this issue?

12 It may be a good time to take a
13 fifteen minute break. I think the Commissioners and I will
14 huddle and we'll have an answer for you after that.

15
16 (Thereupon a recess was taken.)
17

18 MR. LEMAY: Well, we considered
19 all the arguments, pro and con, on enlarging this thing.

20 First of all I'd just like to
21 make a couple preliminary statements with regard to what I
22 heard from you gentlemen.

23 Mr. Kellahin, I don't agree
24 with you on the fact that -- I think we have to reconsider
25 issues when we go to testing periods. All these things are

1 interrelated. We're talking about really wanting to visit
2 this thing one more time and do it in a very efficient man-
3 ner, but we don't want to have the Commission hamstrung by
4 not being able to consider certain things, which means hori-
5 zontal boundaries.

6 So we are going to consider
7 that and we're going to do it with a separate case that will
8 either expand or contract the present boundary. We're doing
9 it, not because we think we're really opening this thing up
10 to a lot of testimony, a lot of back and forth, it's -- we
11 don't want to be constrained by not being able to consider
12 that issue in the event we come to an overall conclusion on
13 the way to handle this -- this whole situation.

14 As far as the five days go, we
15 cannot allow a little more time but let me state a view that
16 we have as commissioners, that you all have employed ex-
17 tremely competent experts but a lot of it is overkill.
18 We've heard a lot of stuff. We've heard a lot of cumulative
19 stuff. We've -- we've digested things that are only mar-
20 ginally applicable to points you want to make.

21 So we feel that a lot of effi-
22 ciency, now that we're going back the second time, that can
23 be handled by you in your presentations.

24 Being honest, you've all testi-
25 fied before us and we've handled oilfields in two hours, not

1 five days. If you take that -- we've got two oilfields,
2 that's four hours, not five days. And, you know, there's
3 such opposition in this thing that you're building up cumu-
4 lative evidence that is very weighty but sometimes, and I
5 think you know where we're coming from, we wonder the signi-
6 ficance of hearing all that. What's the point? Where are
7 you getting to? How does that really pertain to what you're
8 trying to prove?

9 We've certainly seen a lot of
10 computer models. We've been frustrated by the fact that
11 it's very difficult for us to analyze one computer model
12 versus another computer model.

13 And you've recognized that in
14 subsequent cases, so that there are keys that you can employ
15 that are in those models that can prove points but to try
16 and sway the Commission based on things that we're not cap-
17 able of analyzing and therefore we're only hearing witnes-
18 ses, rebuttal witnesses and rebuttal on top of that, is
19 highly questionable use of time.

20 So we're saying if you're look-
21 ing for direction, we want to have these issues open. We
22 want to not be hamstrung on what we can and cannot do in
23 trying to come to grips with these fields.

24 If my memory serves me cor-
25 rectly, I think, Mr. Pearce, initially it was your consider-

1 In consideration of -- we want
2 to give strong, clear signals as to what we're going to do.
3 Now we've allowed a flexibility with a day and a half. We
4 could enlarge that a little bit but I mean we'd rather keep
5 a tight schedule and have you run a little bit over than say
6 you've got this time and run over.

7 The things that we find very
8 productive as a Commission are the opportunity to call back
9 some witnesses like we did this morning, ask them direct
10 questions, not have a lot of legal maneuvering involved.
11 We're trying to at this point in time get through to the
12 basics of these cases.

13 In that regard we are incorpor-
14 ating all the records, all the cases so you can refer to
15 them but we don't have to go over them again. We're not, I
16 don't think at this point we're that thick-headed and need
17 that much education. In fact the three of us feel like
18 we're experts like all you lawyers do on these (unclear).

19 And we've got lots of experts.
20 Let's just confine the testimony to new evidence and conclu-
21 sions based on that and we want the widest discretion pos-
22 sible in creating our orders to solve a combination of pret-
23 ty tough problems in this area.

24 Let's see, at -- at this time,
25 before we bring Bill Weiss on, he wants to say a few things,

1 are there anything else -- or is there anything else in our
2 proposed statement that you all feel should be changed or
3 modified to accommodate the case hearings?

4 Yes, sir, Mr. Douglass.

5 MR. DOUGLASS: Thank you, Mr.
6 Chairman.

7 With reference to the issues
8 not for hearing, I was wondering if -- it might assist us if
9 a little more definition could be set out there.

10 For instance, I have some sug-
11 gestions. One would be gas market or gas plant capacity or
12 gas plant construction issue with reference to increase in
13 the production rate. If that's going to be an issue in the
14 hearing, then I think we need to know about it now. It's
15 not listed above but it could be one of the reasons why, and
16 I would like to suggest that gas plant capacity, gas plant
17 construction, gas market issues would not be an issue for
18 this hearing that's coming up.

19 I think it would again reduce
20 -- I'm seeking to reduce the areas because I want to get to
21 the main issue, I think, just like you do.

22 MR. LEMAY: That's what we're
23 trying to do. Thank you.

24 Mr. Carr. have you got a --

25 MR. DOUGLASS: I have an addi-

1 tional suggestion but I'll put that one out first.

2 MR. CARR: Well, I would just
3 submit that that's already in the record.

4 We -- we're not trying to do a
5 bunch of legal maneuvering here, at least I'm not, and the
6 signal is clear about trying to be efficient and direct, and
7 the questions that I raised earlier about the scope of the
8 hearing were honest questions about how far you wanted us to
9 go and I recognize what you're trying to do is not be con-
10 strained. Likewise, we will try to cover the subject mat-
11 ters that we understand that are relevant to what you're
12 trying to do in an efficient fashion.

13 To the extent that the gas
14 plant has been discussed, I can tell you today I am not
15 aware of our planning to go back through that; that is an-
16 other factor in the overall problem that you're trying to
17 resolve. Should it become significant, I'd want to discuss
18 it, but I can tell you now, I'm not planning to, and I will
19 do my best to abide not by the letter only but by the spirit
20 of what you're trying to do with this order.

21 MR. LEMAY: Thank you. I think
22 that's really the essence of it. I don't, myself as a Com-
23 missioner, view the gas plant as a critical issue because
24 it's a fallout of what we're trying to decide; therefore, I
25 would say it should be -- well, I don't say it should be ex-

1 cluded, but look -- look at it this way, you're given a day
2 and a half. If you want to spend a day on the gas plant,
3 you're making a big mistake.

4 MR. DOUGLASS: Well, it became
5 such a big issue in the last hearing, I just want to make
6 sure it's not one in this issue -- in this hearing, and
7 whatever you said about that, that's what we've got.

8 We're now dealing with another
9 field, the Gavilan here, as far as its market and so forth,
10 and if those are not going to be issues in this hearing,
11 then I'm glad to hear it because I can concentrate more on
12 the --

13 MR. LEMAY: Well, let's put it
14 this way, too. Given the spirit of the thing, Mr. Douglass,
15 if you want to make it an issue and it's of such a minor
16 importance to the overall scheme of things, you're not using
17 your time well. So those people that want to choose to make
18 something an issue that -- that really isn't that important,
19 and it's a judgment call on your part, there again I con-
20 sider that an error in judgment.

21 MR. DOUGLASS: Well, I -- I
22 agree with you. I thought maybe it -- my experience with
23 lawyers has been that if you give them an open pasture
24 they'll graze all over it and if you give them a narrow cor-
25 ral and you tell them that's where you want to go, and you

1 make it clear that you're not going to tolerate them getting
2 outside of that corral, they'll stay, I think, generally in-
3 side of that, even though some may make a mistake and forget
4 it.

5 MR. LEMAY: Well, we're making
6 kind of a corral that the horses can jump out, but if they
7 do, they may be lost.

8 MR. DOUGLASS: All right.

9 MR. LEMAY: So --

10 MR. DOUGLASS: Well, let me
11 mention a couple other issues that I think that I've seen --
12 I've read the records in these two previous hearings and
13 that is the question of pressure maintenance or gas injec-
14 tion in the Gavilan. Is that a non-issue? In other words,
15 it's not listed up here in the issues for the hearing and I
16 hope it's going to be a non-issue in -- in the Gavilan, and
17 also, the effect of what is the production rate in the Gavi-
18 lan with reference to a pressure maintenance or gas injec-
19 tion project in the West Puerto Chiquito. I don't see that
20 listed here, so I would hope that's going to be a non-issue,
21 and if it's going to be an issue, then I need to know so I
22 can prepare for it. I'm not planning on making it as part
23 of my case, but I need to be ready to face that issue if
24 that's going to be -- that's part of the outside the corral,
25 I need to know about it now; if it's going to be part inside

1 the corral, then I'll --

2 MR. LEMAY: Speaking of the
3 corral, let's hear from the other side (not clearly aud-
4 ible). Mr. Kellahin.

5 MR. KELLAHIN: Mr. Chairman, I
6 understand from the last public meeting that the Commission
7 had and talking about issues for this June hearing, the Com-
8 mission raised on its own the question of unitization of
9 Gavilan. I think that scope of that question, if we're to
10 address it in June is certainly broad enough to look at the
11 prevention of waste issue, the -- the advantages of pressure
12 maintenance in Gavilan, and I am like the other lawyers be-
13 fore, if that is an issue you wish us to address, we'll cer-
14 tainly do so.

15 I had understood that that was
16 of concern to the Commission and unitization of Gavilan in
17 that context may be an important factor for you to con-
18 sider.

19 MR. LEMAY: Let me state that
20 -- yes, sir, Mr. Pearce.

21 MR. PEARCE: I'm suddenly
22 scared, Mr. Chairman. I don't see in any of the cases on
23 this Commission's docket or any of the cases that we've
24 added to the Commission's docket this morning, anything
25 about unitization in the Gavilan and I must confess that I

1 have a number of clients and a number of other lawyers have
2 a number of clients who are -- would be extremely concerned
3 if that issue were somehow coming in the back door.

4 The Commission has authority to
5 compulsorily unitize in some instances. The Commission has
6 authority to approve voluntary unitizations in some in-
7 stances. Outside of that kind of application I certainly do
8 not understand that we're going to be discussing anything
9 having to do with unitization of the Gavilan in this pro-
10 ceedings.

11 If we are going to discuss
12 that, then I think we need either somebody's voluntary uni-
13 tization agreement on the table before us or somebody's com-
14 pulsory unitization application on the table before us, be-
15 cause I don't think unitization is one of those things which
16 you can just sort of (not clearly understood) mull about
17 and say, well, gee, that's a good idea and then issue an or-
18 der.

19 Either we're going to -- some-
20 body's going to say let's unitize and come forward with
21 something firm, or I don't think we ought to talk about it,
22 and if somebody's suggesting that we have a free floating
23 unitization discussion, I think I and my clients are cer-
24 tainly on record in opposition to that and I think we don't
25 have an application before the Commission which will with-

1 stand judicial scrutiny for any order doing anything about
2 it.

3 MR. LEMAY: Co-counsel raised
4 the issue, that's why we're discussing it, but there are
5 some rumors around, do we want to address (not clearly un-
6 derstood) that conversation?

7 MR. KELLAHIN: Mr. Chairman,
8 we're addressing the fundamental issue of prevention of
9 waste in Gavilan. This case began two years ago when we
10 sought on behalf of our clients to reduce the producing
11 rates and that was simply to provide a conservation of the
12 energy and drive mechanisms in the reservoir to give us a
13 window of opportunity to look at several things. One,
14 whether the operators could agree upon the reservoir and
15 what was going on in the reservoir; whether or not they
16 could agree upon a method to produce that reservoir; and
17 whether ultimately the best and most efficient way may not
18 in fact be unitization.

19 The fact that there's not a
20 unitization application before you misses the point. To
21 prevent waste, you may ultimately decide that the way to
22 drive the parties to unitization is to simply shut in the
23 reservoir. You can do that.

24 So if that is what we're talk-
25 ing about in terms of unitization, if we're talking about

1 whether or not Gavilan is suitable for pressure maintenance,
2 and that's something you want to talk about, we'll be happy
3 to present it.

4 MR. DOUGLASS: Well, Mr. Chair-
5 man, let me make it clear. I didn't raise -- I didn't say
6 unitization or raise the issue of unitization.

7 What I asked about was whether
8 the issue of pressure maintenance or gas injection in Gavi-
9 lan was going to be an issue in this hearing and whether the
10 effect of the production rate in Gavilan was going to affect
11 the pressure maintenance or gas injection project that was
12 over in West Puerto Chiquito.

13 If that is going to be an is-
14 sue, then I would like to know about it. It's not listed
15 here and I would like to know about it.

16 If -- if it's going to be not
17 in consideration, then I think that would help very much in
18 guidance to the lawyers on how they approach and prepare
19 their cases.

20 That was -- I'm not talking
21 about unitization. I'm talking about --

22 MR. LEMAY: I understand, but
23 how do you issue pressure maintenance without unitizing or --

24 MR. DOUGLASS: Well, I don't
25

1 know in New Mexico whether you have large enough leases to
2 conduct your own pressure maintenance (interrupted) --

3 MR. LEMAY Large enough to do
4 it, so -- that's what we're talking about, one logically
5 leads to another, so you're asking for a narrow corral, you
6 know, I'm not sure we can give you one.

7 Mr. Carr.

8 MR. CARR: And I may be jumping
9 the fence and lost at this point, but to look at this whole
10 question and try and get something done here today and deal
11 in good faith with it, I would be remiss if I didn't stand
12 up and say that when we talk about moving a boundary line
13 one section, two sections, one way or the other, that under-
14 lying that is the question of communication in a common re-
15 servoir, and you can't say we can't talk about the effect of
16 drainage on one side of this arbitrary line and not discuss
17 what happens to wells immediately offsetting on the other.

18 So, as to production rates in
19 Gavilan affecting West Puerto Chiquito, yes, and I'm going
20 to jump the corral on that.

21 MR. LEMAY: Well, you're not
22 jumping it. I think one thing leads to another.

23 As far as forcing unitization
24 in Gavilan, I can tell you right now, Mr. Pearce, we don't
25 have any authority to do that. We're not asking for a

1 unitization agreement that's presented before us and that we
2 have to rule on that unitization agreement. But I think if
3 we're talking about adjusting maximum rates of recovery,
4 that, correct me if I'm wrong, I understand Sun Oil Company,
5 is now actively engaged in trying to get an engineering com-
6 mittee together in the Gavilan Field. We've heard that; if
7 you want to comment on that, please do.

8 MR. DOUGLASS: Well, I think
9 that's the kind of evidence we can present in the hearing.
10 That's what I want to know is if that's important to you.
11 We're going to show what's actually taking place out there
12 while this production has been reduced out there as far as
13 my client is concerned, and we're going to show also that a
14 pressure maintenance project or gas injection project in
15 this kind of reservoir is not going to be effective.

16 So I sense that this is some-
17 thing that's important to you folks and we'll be ready to
18 meet it. I just want to make sure that it was important to
19 you at this juncture, and I think that I sense that it is,
20 and we're going to be ready.

21 MR. LEMAY: Put it on the list,
22 we're getting a big list here.

23 Day and a half, so you're going
24 to have to speed up.

25 MR. DOUGLASS: Right, that's

1 all I need to know, is what, you know, is what you're inter-
2 ested in because I can play round or flat, and this is very
3 helpful to me because I think --

4 MR. LEMAY: Sure, and you've
5 got a time constraint and we're not saying that you have to
6 do something, but we'd like to know as a Commission what's
7 going on.

8 We heard that Sun's called an
9 engineering committee. The last one broke up because, as we
10 understand it, they couldn't reach agreement. Now maybe
11 this one's making some progress. It would certainly help us
12 to know that -- what results have been reached on that com-
13 mittee.

14 Don't spend a lot of time with
15 it but bring us up to date on it.

16 Only because -- I can't see
17 looking at one issue and excluding others when they're in-
18 terrelated, and it makes it tough on your job, I know.

19 Looking ahead, allocate some
20 time there --

21 MR. DOUGLASS: All I need is to
22 know what you're interested in.

23 MR. LEMAY: Well, I think we're
24 learning about the reservoir and any time you tell -- when
25 you can tell this Commission that a pressure maintenance

1 project is in operation in West Puerto Chiquito but we don't
2 think one would be operative in Gavilan or would be effec-
3 tive because of these reasons; you don't have to carry on
4 for -- you can cover that in five minutes, I think, not five
5 days.

6 MR. DOUGLASS: I think my issue
7 is not for hearing, it's been shot down, so now let me
8 suggest that the only other consideration I have, since I
9 think it's clear that we're going to be a proponent, I no-
10 tice in the set-up here, and I think is a good outline of
11 the presentation, and one, at least I checked with -- with
12 folks on our side, as proponents it looks like within the
13 time period that's set out there for a day presentation,
14 that the direct case is probably going to be a little less
15 than a day, but I'm sure the cross examination would fill up
16 that amount.

17 I sense that last time,
18 although I thought I had the short end of the stick, I think
19 it worked out very well in the last hearing, the arrangement
20 between attorneys; I think there was very little objection
21 over evidence and items of that sort, and let the hearing
22 flow well, and I sense that that might be the same type of
23 thing that we're going to experience in the next one.

24 I would suggest that if we're
25 going to be proponents, we ought to have an opportunity to

1 open and close, and I notice here that the last item is the
2 rebuttal by opponents. I would suggest that we would have
3 an opportunity for surrebuttal; in other words, we ought to
4 be able to put on something to rebut whatever their rebut-
5 tal is, and obviously it can't be very much because there we
6 wont' have much time to prepare for it, but I do think that
7 we should have the opportunity to open and close as far as
8 the case is concerned and that should give us an opportunity
9 to put on evidence as to their rebuttal, and it should be
10 limited to their rebuttal, nothing new; it should be limited
11 to their rebuttal. I think that's the way you get hearings
12 closed down.

13 MR. CARR: We have no objection
14 to that. We plan to use our half of the time, however, we
15 want to (not clearly understood).

16 MR. LEMAY: You can go on and
17 rebut and rebut and rebut the rebuttal if you want to, but -

18 MR. CARR: It will be like hav-
19 ing this talk here today.

20 MR. DOUGLASS: Let me suggest
21 on the last Item VI that we are willing to proposed to pro-
22 vide exhibits in advance of the hearing. I would suggest --

23 MR. LEMAY: That was my next
24 question.

25 MR. DOUGLASS: And we're cer-

1 tainly willing to do that. It obviously puts a time bind on
2 everyone but the last hearing that I attended here I re-
3 ceived four volumes of exhibits that were about five or six
4 inches tall that I had never seen before and I don't think
5 that that's an effective way, at least for me to represent
6 my client, because I really didn't have an opportunity to
7 see and review those as far as (unclear) and also, it
8 doesn't give you an opportunity to really look at them in
9 that short period of time.

10 So I would suggest -- and also
11 I think it will limit the amount of exhibits. I think
12 you'll have a tendency to try to get the exhibits in the
13 corral, so to speak, if you're going to have to give them to
14 the other side in advance.

15 I'm not going to put on any
16 exhibit that you can't understand what you're looking at and
17 so we're certain willing to try to --

18 MR. LEMAY: Exchange exhibits a
19 week ahead of time?

20 MR. DOUGLASS: Yes, sir, I was
21 going to suggest Tuesday, I think that's June 7th, if I
22 recall, by, say, by noon on June 7th would be our suggestion
23 for the exchange of exhibits.

24 MR. LEMAY: Mr. Kellahin, Mr.
25 Carr, what do you think about that?

1 MR. KELLAHIN: Mr. Chairman,
2 before we get into the issue of exhibits, I wonder if we
3 have completed our discussion about the potential issues.

4 Are there any other issues that
5 the Commission wants to identify for us that are not
6 inherently clear in the notice?

7 MR. PEARCE: We've moved from
8 that, Mr. Kellahin.

9 MR. LEMAY: We've enlarged the
10 corral --

11 MR. KELLAHIN: I couldn't seem
12 to (inaudible).

13 MR. LEMAY: -- it looks like
14 here. We've got -- it's a fine line what we'll consider in
15 it.

16 We're not going to consider
17 compulsory unitization, we can't. We know that.

18 MR. KELLAHIN: No, I appreciate
19 that but for the good part of a month worth of testimony,
20 we're always talking to you, now here's a chance for you to
21 tell us or --

22 MR. LEMAY: I think I've tried
23 to do that.

24 MR. KELLAHIN: Yes, sir.

25 MR. LEMAY: All right, let's

1 continue that a litte bit more then, as far as the issues
2 go, you mean?

3 MR. KELLAHIN: Yes, sir, are
4 there any other specific issues that we need to address that
5 are not listed here in this notice that we've talked about,
6 or should talk about?

7 MR. LEMAY: Well, we added num-
8 ber 5 in there and that is -- as far as the statement,
9 though, is it necessary to put a number 5, being an issue of
10 possible pressure maintenance in Gavilan? Would you like to
11 see that in there?

12 MR. DOUGLASS: Well, I thought
13 it was in there. I thought -- I did think you made it
14 clear, Mr. Chairman, that was something that you were inter-
15 ested in.

16 If you want -- if somebody else
17 wants you to write it down for them, that's fine, but you
18 don't have write it down for me.

19 MR. LEMAY: I'll put it in the
20 statement because we plan to issue one.

21 MR. KELLAHIN: I meant apart
22 from that, sir, if there was anything else among you that
23 had not yet been discussed. We need a signal as to whether
24 or not there is other issues.

25 MR. LEMAY: We're trying to

1 about it. Any of the other Commissioners have any ideas
2 concerning a larger corral or maybe a narrower one?

3 Erling, do you have anything?

4 MR. BROSTUEN: I think that the
5 -- the issue of unitization at this time, that is something
6 that could be discussed but certainly, as you said, Bill, is
7 not an issue before the Commission at that June hearing.

8 I think some things have to be
9 resolved first before we can decide, make an interpretation
10 as to whether pressure maintenance would be effective at
11 all, and that's certainly not a subject for the case coming
12 up, case coming up in June.

13 I think that if something is
14 being done in the way of an engineering committee being for-
15 med and some cooperation being exhibited by the -- by the
16 parties involved, that we do need for the Commission to be
17 made aware of that, any progress that's being made. I think
18 that's the -- what I would see as any discussion, limited
19 discussion, as far as pressure maintenance or as far as
20 unitization, if it is a matter which should be taken up at
21 some time, if we hear evidence at the June hearing that
22 leads us to believe that pressure maintenance or unitization
23 would be beneficial and an engineering committee has been
24 formed, or the Commission feels that in the interest of pro-
25 tection of -- or the conservation of oil and gas, prevention

1 of waste, and protection of correlative rights that a uniti-
2 zation hearing should be held, the Commission on its own vo-
3 lition can do that. That's within the authority of the Com-
4 mission to set a call for a hearing on that, and that's
5 something that is true for any -- any pool in the State of
6 New Mexico.

7 MR. LEMAY: Mr. Humphries, do
8 you have anything to say about the corral or --

9 MR. HUMPHRIES: I would like to
10 say, if there was a way the corral could be expanded or
11 limited to accommodate the complexity of the question, I
12 would be willing to try to lay those boundaries out, but I
13 think we count on you as being sincere in your arguments.

14 If you want to do this once a
15 month for the rest of my two and a half years, I guess I'll
16 be glad to hear this once a month.

17 It seems to me an incredible
18 amount of time and money has gone into this and that the
19 Commission owes it to you to conclude this with some kind of
20 concise statement that you can either disagree with or
21 agree; therefor, we don't want to limit the issues any more
22 than to say some of this stuff you don't you have to tell us
23 about any more. I've told -- I've learned enough lawyer
24 talk here in the last year to last me for the rest of my
25 life but I'm willing to stipulate that I already understand

1 some of this stuff. If you want to keep presenting that,
2 you're wasting your time and ours. From a standpoint of
3 what's new and what's important, let's try to put some con-
4 clusion to an extremely complex, interrelated thing that we
5 can come out with a conclusive, comprehensive analysis and
6 order that, hopefully, -- I don't -- I really do not want to
7 split the baby. I'm not looking for a compromise, I'm look-
8 ing for what the evidence would conclude, or lead us to the
9 conclusion that a final determination can be made, and if
10 you want to argue about it throughout the rest of this Com-
11 mission's tenure and other commissions, I guess that's some-
12 thing you have to determine.

13 I think we do try to write
14 clear, concise orders and, hopefully, we'll do that with
15 this one. So I don't want to limit the corral to the point
16 you can't get all of the pieces into the evidence that
17 you want to get in before the Commission and we'll discuss
18 it thoroughly, but I certainly don't want to hear it ad
19 nauseam some of the things we've already heard.

20 I would certainly like to see
21 this five day effort result in some kind of a Commission or-
22 der that everybody can either feel free to attack or liti-
23 gate, or whatever you'd like to do, but that's -- so I don't
24 want to arbitrarily exclude or include anything.

25 It is a multiple issue endeavor

1 that we're in and the sooner we conclude it, the sooner you
2 all can go about trying to adopt or adapt to whatever the
3 Commission rules.

4 MR. LEMAY: I think that that
5 gives you all -- you're wanting to hear from us, so that's
6 why I thought the associate commissioners here can tell you
7 how they feel about it, because I'm only one voice, although
8 I am Chairman, and I wanted to get this thing out on the
9 table in a very candid fashion so you know where we're com-
10 ing from.

11 In essence we're saying, we
12 don't want to be too limited on what we can consider in the
13 way of an order.

14 Recognizing that we're con-
15 strained by law, we can't unitize in San Juan. We can't go
16 in here and provide compulsory unitization.

17 We want to be able to know up
18 to date what's going on. We want to be able to issue an
19 order that the other side if they don't agree, or whatever,
20 can take it to the courthouse and not say, well, gee whiz,
21 we have to go through another year of -- of splitting the
22 baby or I don't know or more tests.

23 There was a reason for that a
24 year ago. A year ago we had three green commissioners that
25 weren't familiar with the Gavilan and West Puerto Chiquito

1 situation, so you started at point zero and brought us up to
2 date. We've heard cases in the meantime. I think we're
3 ready to settle the issue now. We'll never get all the
4 facts but we've got enough out there that -- that we should
5 be able to come up and analyze them and come up with an or-
6 der.

7 We owe that to you and that's
8 what we want to do in five days of hearing in the most effi-
9 cient way possible.

10 That will give you an idea of
11 where we're coming from, then I think we can go on from
12 there.

13 Mr. Kellahin.

14 MR. KELLAHIN: Mr. Chairman, do
15 you want the parties to declare on what they are proposing
16 to focus on in terms of producing rates for Gavilan? It
17 would certainly be of help to me if I know I have to share
18 my time with Mr. Douglass or share it with Mr. Carr.

19 My position, sir, is that less
20 is best in terms of the producing rates and for my clients,
21 we propose that the producing rates in Gavilan certainly be
22 no higher than they're currently restricted at.

23 So we will present testimony
24 and witnesses that will tell you, hopefully, that the cur-
25 rent rates may be a little excessive but we certainly don't

1 want to see them increased.

2 MR. LEMAY: Not a surprising
3 conclusion, but I'd certainly think that it would help to
4 have that position summary paragraph, like we did last year,
5 to that extent,

6 MR. CARR: And I can assure you
7 Mr. Kellahin will be splitting his time with me based on
8 that statement.

9 MR. DOUGLASS: If there's any
10 question, we haven't decided on a specific rate. I'm sure
11 that we would propose at least the statewide. We may split
12 the division as far as oil and gas production. We may ac-
13 tually propose a gas amount than is greater than would come
14 under the statewide rules based on the data that I've seen
15 in the case before.

16 We don't have a specific amount
17 to recommend to you now but will propose one and since my
18 client's got six wells producing a total of 50 barrels a day
19 right now, I can assure you we're going to request some in-
20 crease.

21 MR. LEMAY: Fine, I assume
22 that, too.

23 But if it might help to take
24 these issues that we're -- we're definitely, at least 1
25 through 3, the fact that we have allowables limiting gas/oil

1 ratios, you could have a summary paragraph on that prior to
2 the hearing, so I'll make that part of -- incorporate that
3 in the statement. We did last year and (unclear) this year.
4 I think it would be helpful.

5 Let's see, where are we? On
6 issues, are we pretty clear on those? Okay.

7 MR. KELLAHIN: Do you want us
8 to declare now, today, what we propose in terms of a produc-
9 ing rate.

10 MR. LEMAY: No.

11 MR. PEARCE: We're not ready
12 to, Mr. Chairman.

13 MR. LEMAY: No, no, I think
14 that will be submitted prior to the hearing.

15 It will be part of this -- see,
16 we're going to issue another statement. We're going to mod-
17 ify this statement. This is only a proposed statement.

18 Within that statement we will
19 request a position paper from you prior to the hearing that
20 is exchanged with the other side.

21 MR. KELLAHIN: That leads me
22 finally into my response about the exhibits.

23 Until I'm able to formulate
24 among my clients and our witnesses the exact issues we've
25 discussed, I can't declare to you who's going to be a wit-

1 because I know from practice in dealing with this case and
2 many others, I won't be able to have them much before then.

3 So we would -- we would request
4 an exchange of exhibits at that time.

5 MR. LEWAY: Shall we vote on
6 it? How do you feel about the --

7 MR. CARR: The other thing is,
8 I mean, last year I was up until 2:00 o'clock in the morning
9 the night before the hearing spread all over my office
10 trying to put together exhibits and I don't want to be in
11 bad faith, but I come in here with that, and I recognize al-
12 so Mr. Douglass' concern and that is why when earlier this
13 year they requested information from us we complied and
14 provided it.

15 It's -- it's a hard call. I
16 think that if they're concerned about having time to look at
17 the exhibits, they'll be going first. If it's the first
18 thing exchanged, they can hit us with them and we'll get them
19 cold and they can have a day and a half to look at ours. I
20 could -- I think it would be wise to just go with the
21 distribution of exhibits on the first day of the hearing.

22 MR. LEMAY: Mr. Lopez.

23 MR. LOPEZ: Well, maybe it's
24 much ado about nothing, but it's my feeling that we can
25 pretty much frame the issues and the principal consideration

1 the Commission is going to be having to address is what --
2 who's right based on how the reservoir has performed since
3 all the tests were ordered.

4 So most of the exhibits will be
5 referred to because they've already been entered into the
6 record in previous cases. Therefor, in this instance, if I
7 might usually agree with Mr. Kellahin, that human nature
8 means you don't prepare until the last minute to deal with a
9 crisis as it faces you in the morning, but in this case it
10 would seem that if we're going to have voluminous exhibits
11 that we already haven't considered, that in the spirit of
12 trying to reach some sort of informed resolution during the
13 course of the week, that an earlier exchange would be help-
14 ful.

15 MR. LEMAY: Mr. Pearce.

16 MR. PEARCE: Mr. Chairman,
17 we've spent a good deal of time this morning talking about
18 expanding the issues without expanding the time and as I un-
19 derstand it, that's really what the Commission is asking us
20 to do, address as many issues as we can, as we think that
21 matter, in as little time as we can possibly use to do it.

22 That means, in my opinion, we
23 do have to be a lot more efficient than we have been in the
24 past.

25 I do think one of the best ways

1
2 to encourage lawyers to be efficient is to give them more
3 time to prepare for what they're going to be confronted with
4 and I favor an earlier exchange of exhibits because I think
5 we will be more efficient when we are before you in the
6 hearing if we have exchanged those exhibits.

7 With regard to the nights that
8 we have all had immediately before the beginning of hearing,
9 staying up very late and having exhibits everywhere and hav-
10 ing draftsmen with tape and pen and that will go on the
11 night before whatever day you say we have to have exhibits
12 ready.

13 MR. LEMAY: (Not clearly under-
14 stood).

15 MR. PEARCE: It doesn't matter.
16 That -- that night is going to go on but you can choose when
17 it's going to happen.

18 MR. LEMAY: It's been my exper-
19 ience that just the reverse of that might have happened the
20 first time we visited; in other words, each exhibit, given
21 enough time, prompts the other side, we sent you home and
22 you come back two days later, prompts the other side to pre-
23 pare counter-exhibits or develop cross examination that
24 would exceed their cross examination had they been a little
25 bit surprised.

I don't know. I see both sides

1 of that as a matter of is it efficient to have all this in-
2 formation so that you can -- you can prepare a lot of coun-
3 ter-exhibits or is it best to go with the case no matter
4 what the other side presents.

5 MR. KELLAHIN: One final com-
6 ment and then you need to tell us what you want to do.

7 MR. LEMAY: Okay.

8 MR. KELLAHIN: Remember at the
9 March hearing of last year we talked about this same thing,
10 the exchange of exhibits, and what happened is Mr. Lopez
11 then, as he excused as a matter of style, gave us exhibits
12 one at a time and we had an exhibit book that was empty un-
13 til we put each witness with each display.

14 So you can carry this to any
15 extreme you want. I'm not sure there is any way that's more
16 efficient than the other. If you give the exhibits ahead of
17 time the lawyers have more time to dream up questions and
18 you go that way. And if you trade them at the first day of
19 the hearing everybody is in this great frenzy of looking at
20 exhibits and I'm not sure either one is right, but tell us
21 what you want and we'll do it.

22 MR. LEMAY: Well, okay. The
23 reason why I was open for questions was because we want ef-
24 ficiency and I thought if there was agreement on the issue
25 that the Commission could be swayed based on hearing -- you

1 tell us what's most efficient but since it's been the pat-
2 tern of the Commission to not exchange exhibits, they will
3 be exchanged on the first day of the hearing, only because
4 we've done it that way in the past and that's why we'll do
5 it this way in the future.

6 That's the precedent setting
7 way to do things.

8 MR. HUMPHRIES: And if you want
9 to stay up till Sunday morning at 2:00 -- or Monday morning
10 at 2:00 o'clock, that's up to you.

11 MR. LEMAY: But Monday morning
12 we'll have the exhibits from both sides be exchanged.

13 But we're going to do better
14 than that, because right now we have our own witness, who's
15 going to be exchanging exhibits with all of you today. So
16 he's got -- at this point I'd like to introduce our expert
17 witness, Bill Weiss, who is going to just tell you a little
18 bit about what -- he's our guy this time and what he's come
19 up with and what he's got in there for you.

20 Bill?

21 MR. WEISS: I think I know or
22 have met most of you, but I do -- I work for the New Mexico
23 Petroleum Recovery Research Center down in Socorro, and what
24 I've done is collected all the data and compiled it; that
25 was collected from June 30th through February 23rd of this

1 year, and this is the static pressure data, the pressure
2 build-up data, production data, that we've taken and Cliff
3 Polston, who is a student down at Tech, -- incidentally, in
4 two years if you guys want a PC expert to improve the effi-
5 ciency of your operations, there's going to be a dandy --
6 but we've put all this together, and as I look through it, I
7 drew some conclusions and I listed those conclusions.

8 So, Cliff, you can pass them
9 out to the parties rather than everybody because I don't
10 know if we have enough copies. There's a party back there,
11 and here (unclear).

12 MR. LEMAY: Give some to the
13 Commission now.

14 MR. WEISS: But at any rate, I
15 did have a problem and I'd like your engineering folks to
16 comment on it and one of them is -- is the tendency of the
17 formation volume factor and an average viscosity and an
18 average reservoir density, and these things are all depen-
19 dent on pressure and the way I approached it was the volume
20 weight, in other words, the gas base, if a well made so much
21 gas and so much oil, I volume weighted those for reservoir
22 conditions and then averaged, volume averaged the viscosity
23 and formation volume factor.

24 So if you have comments along
25 those lines I'd sure like to hear them earlier and how you

1 propose it should be done and I'd be glad to -- to put them
2 in the results. I need those comments fairly soon.

3 The static pressures are depen-
4 dent on the reservoir density and the transients to build up
5 pulse tests -- incidentally, there were some pulse tests
6 submitted that were not required, and these are the frac
7 tests that Al Greer and the responding pressure that was
8 submitted in the other hearing.

9 So these are, depending on what
10 you choose, the results (not clearly understood) formation
11 volume factor and the viscosity.

12 I might say as I went through
13 this thing that it appeared to me that this reservoir --
14 this is a common pool. It's a common reservoir, and that
15 it's very anisotropic, a lot of directional permeability.
16 This has to enter into the thinking.

17 MR. LEMAY: Excuse me, Bill,
18 could you sit in the witness chair then Sally can pick up
19 what you're saying a little easier?

20 MR. WEISS: Sure. And that it
21 does have to be included in the thinking of how -- what's
22 done next, in my opinion, and then I -- and also I do an
23 analogy to the Spraberry Trend Field in Texas, west Texas,
24 which is quite similar to this -- to this Mancos, and you

25

1 might look at it.

2 And of interest to all of you,
3 the Sproberry has produced over a million barrels of oil to
4 date, and back in '63 they predicted the primary would be
5 about 250-million barrels.

6 And that's all I have to say.

7 If anybody needs a copy if
8 you'd give us an address, a card or something we'll make
9 some more up and mail them to you.

10 I would appreciate your com-
11 ments concerning the data. The worksheets are in here. It
12 will take some time. The rate sensitivity data is all in
13 here. We've done the statistics on it. There's a lot of
14 dope and if you look at the worksheets, particularly on the
15 static pressures, you see you don't like something, I'd like
16 to hear it pronto, as soon as possible, so then we're all
17 talking from the same -- from the same level.

18 MR. LEMAY: Thank you, Bill.
19 You're not up there for cross examination but just for dis-
20 tribution of some data, so you'll know what Bill's done to
21 date.

22 We'll issue another statement.
23 How about other -- other -- other parts of -- sorry, Mr.
24 Roybal.

25 MR. ROYBAL: Mr. Chairman, one

1 more fairly minor procedural issue that's come up. We've
2 had requests for what we've called technical conferences
3 with Division and State Land Office staff, essentially the
4 engineering staff, and we've talked amongst the lawyers and
5 I think come up with a procedure that everyone finds agree-
6 able and that is when that type of conference is requested,
7 that the lawyer notify opposing counsel that that will oc-
8 cur. We'll try to make equal time available for staff -- of
9 the staff if anyone else wants to do that, to have similar
10 conferences and the discussion will be limited to what's the
11 record, but the main thing would be that counsel would tell
12 each other that they're having their -- they've both talked
13 with -- with the engineering staff of the Division and with
14 the State Land Office.

15 MR. LEMAY: Has that been
16 agreed to by both sides?

17 MR. CARR: May it please the
18 Commission, if Mr. Lopez' clients want to talk to Mr. Weiss
19 or whoever, they don't have to notify me. I think time is
20 too short. When we talked about that, you start thinking in
21 the context of four weeks and the important of dialogue with
22 Mr. Weiss, nobody has to tell me that they're talking to Mr.
23 Weiss. If they want me to, I'll try to coordinate that for
24 them, but I think that -- I think Sun is starting engineer-
25 ing committee work now. It's important to have some direct

1 input with the people who are making some calls so that
2 won't even be necessary as far as I'm concerned.

3 MR. LEMAY: Thank you, Mr.
4 Carr. And Mr. Lopez.

5 MR. LOPEZ: And vice versa and
6 I don't think (unclear) if they want to talk for sixteen
7 hours and we only want to talk for half an hour, that's fine
8 with me, as well. It's -- it's just a fact that I think
9 would be helpful if our respective engineering witnesses or
10 advisers would have a chance to talk to the Commission's ad-
11 visers and (unclear) for their own benefit without the in-
12 terference of lawyers, at least from our side. I don't care
13 what the Commission wants to do on that.

14 MR. LEMAY: Good, let's even
15 modify that proposal. That's a unanimous spirit of coopera-
16 tion. Can we say that scientist can talk to scientist with-
17 out lawyers present and not call this ex parte communica-
18 tion, because it's really an exchange of scientific ideas
19 and data. It's not -- most engineers don't even know what
20 ex parte means.

21 Good, we like that spirit of
22 cooperation, at least at that level.

23 Anything else procedural, do
24 you think?

25 MR. ROYBAL: No, Mr. Chairman.

1 MR. LEMAY: How about it, any-
2 thing else from those present, of how we're going to conduct
3 this case?

4 Okay, we'll issue a revised
5 statement and we'll exchange exhibits Monday and we'll go
6 from there.

7 I would like to request, I'm
8 sorry, let's not go off the record yet, that one week prior
9 -- we are going to use that June 7th date -- let's make it
10 the 13th -- no, wait a minute, June 7th, that's a Tuesday,
11 that both sides submit a summary of what they're going to
12 present and distribute that to the other side and give us a
13 copy of that at the Commission.

14 That I do want beforehand.
15 Thank you.

16
17
18 (Hearing concluded.)
19
20
21
22
23
24
25

1

2

3

C E R T I F I C A T E

4

5

I, SALLY W. BOYD, C.S.R., DO HEREBY

6

CERTIFY that the foregoing Transcript of Hearing before the

7

Oil Conservation Division (Commission) was reported by me;

8

that the said transcript is a full, true, and correct record

9


of the hearing, prepared by me to the best of my ability.

10

11

12

13



14

15

16

17

18

19

20

21

22

23

24

25