

1 STATE OF NEW MEXICO
2 ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
3 OIL CONSERVATION DIVISION
4 STATE LAND OFFICE BUILDING
5 SANTA FE, NEW MEXICO

6
7
8 20 January 1988

9 EXAMINER HEARING

10
11
12
13 IN THE MATTER OF:

14 Application of Virginia P. Uhden, CASE
15 Helen Orbesen, and Carroll O. Holmberg 9129
16 for eight non-standard gas proration
17 units, San Juan County, New Mexico.
18

19
20
21 BEFORE: David R. Catanach, Examiner
22
23
24

25
TRANSCRIPT OF HEARING

A P P E A R A N C E S

21 For the Applicants: James G. Bruce
22 Attorney at Law
23 HINKLE LAW FIRM
24 P. O. Box 2068
25 Santa Fe, New Mexico 87504

21 For Amoco Production: Kent J. Lund
22 Attorney at Law
23 Amoco Production Company
24 P. O. Box 800
25 Denver, Colorado 80201

A P P E A R A N C E S

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

For C&E Operatings, Inc., William F. Carr
W. P. Carr, et al: Attorney at Law
 CAMPBELL & BLACK P.A.
 P. O. Box 2208
 Santa Fe, New Mexico 87501

For Meridian Oil: W. Thomas Kellahin
 Attorney at Law
 KELLAHIN, KELLANIN & AUBREY
 P. O. Box 2285
 Santa Fe, New Mexico 87501

I N D E X

STEPHEN H. PERLMAN

Direct Examination by Mr. Bruce	11
Voir Dire Examination by Mr. Carr	13
Voir Dire Examination by Mr. Kellahin	15
Voir Dire Examination by Mr. Lund	17
Cross Examination by Mr. Carr	26

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

I N D E X CONT'D

Cross Examination by Mr. Kellahin	35
Cross Examination by Mr. Lund	38
Recross Examination by Mr. Carr	46
Redirect Examination by Mr. Bruce	47

STATEMENT BY MR. CARR	51
STATEMENT BY MR. KELLAHIN	53
STATEMENT BY MR. LUND	54
STATEMENT BY MR. BRUCE	56

E X H I B I T S

Applicant Exhibit Two, Affidavit, etc.	10
--	----

1

2

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

MR. CATANACH: We will reconvene and we will call next Case 9129, which is the application of Virginia P. Udden, Helen Orbesen, and Carroll O. Holmberg for eight nonstandard gas proration units, San Juan County, New Mexico.

Are there appearances in this case?

MR. BRUCE: Mr. Examiner, my name is Jim Bruce from the Hinkle Law Firm in Santa Fe, representing the applicants in this matter.

MR. CATANACH: Are there any other appearances in this case?

MR. CARR: May it please the Examiner, my name is William F. Carr with the law firm of Campbell & Black, P. A., of Santa Fe.

I represent C&E Operations, Inc., W. P. Carr, and other members of the Carr family that are identified on the written entry of appearances filed in the case.

MR. CATANACH: Any other appearances?

MR. KELLAHIN: Mr. Examiner, I'm Tom Kellahin from Santa Fe, New Mexico, appearing on behalf of Meridian Oil Company.

1 MR. LUND: Mr. Examiner, Kent
2 Lund, attorney for Amoco Production Company, in association
3 with Mr. Carr.

4 MR. CARR: The record might al-
5 so note that Mr. Pearce who previously had entered an ap-
6 pearance for Amoco has withdrawn.

7 MR. CATANACH: Are there any
8 other appearances?

9 How many witnesses are we going
10 to have, gentlemen?

11 MR. BRUCE: I have one, Mr.
12 Examiner.

13 MR. CATANACH: Mr. Carr?

14 MR. CARR: I'm not intending to
15 call a witness.

16 MR. CATANACH: Mr. Kellahin?

17 MR. KELLAHIN: At this time I
18 don't intend to call a witness.

19 MR. LUND: We may have two, de-
20 pending on how things go, Mr. Examiner.

21 MR. CATANACH: Okay.

22 MR. CARR: I have just one
23 question at the beginning. The case is advertised as for
24 eight nonstandard gas proration units. The application as
25 filed was seeking an order vacating the spacing rules for

1 this pool, and I just wonder exactly what we're here for
2 today. Is it for the -- only the (not clearly understood)?

3 MR. BRUCE: No, Mr. Carr. The
4 applicant is seeking, as in the order, vacating -- or as in
5 the application, amended application, vacating 320-acre
6 spacing as to the applicants.

7 MR. CARR: So it's broader than
8 what is advertised or in the docket.

9 MR. BRUCE: That is correct,
10 and one correction, Mr. Carr, is that we are seeking a non-
11 standard spacing for six units, omitting the east half of
12 Section 33.

13 I would like to amend it at
14 this time.

15 MR. CARR: May it please the
16 Examiner, at this time we would move to dismiss the applica-
17 tion as it relates to vacating the order which establishes
18 special pool rules.

19 The application for the crea-
20 tion or the establishment of the special pool rules was
21 originally heard in July of '84. It came back on for hear-
22 ing in the early part of 1986. We would submit that proper
23 notice was given of the application in '84 under the rules
24 of the Division and when the case was reopened no further
25 advertisement was required in '86.

1 We submit that the notice rules
2 were appropriate and that now to come in and attempt to at-
3 tack the rules is nothing more than a collateral attack on
4 final spacing orders of the Division.

5 MR. BRUCE: Mr. Examiner, I
6 think I would at this time request that the Division take
7 administrative notice of the proceedings in Case Number 8014
8 and 8014 reopened.

9 As Mr. Carr said, the only ad-
10 vertisement -- the only notice in those cases was by adver-
11 tisement or publication in -- in the newspaper. The appli-
12 cants in this case are asserting that such notice was con-
13 stitutionally deficient. We believe that state and federal
14 law on this issue requires some type of personal notice to
15 the applicants -- or to an owner, mineral interest owner
16 when their addresses are -- are known, and I would direct
17 the attention of the Division to the case of Floyd Edwards
18 versus Jerome McHugh, which is Cause No. RA 85-373C in the
19 District Court of Rio Arriba County, which concerned the
20 Gavilan Mancos Pool, in which the District Court held that
21 publication notice was constitutionally deficient as a mat-
22 ter of law.

23 And therefor, I would request
24 that the Division deny Mr. Carr's motion and continue with
25 this case.

1 MR. CATANACH: Okay, Mr. Carr's
2 motion will be denied and we will proceed with this case at
3 this time.

4 MR. CARR: At this time I would
5 concur, though, I think, with what Mr. Bruce suggested in
6 that statement and that is that the record in both of the
7 prior cases be incorporated and included in the proceedings.

8 MR. CATANACH: Any disagreement
9 with that?

10 MR. KELLAHIN: No, sir.

11 MR. LUND: We would move that,
12 also, Mr. Examiner.

13 MR. KELLAHIN: Mr. Examiner,
14 point of clarification before I make a motion, am I correct
15 in understanding that the case as advertised today, the way
16 it appears on this docket, is not in fact the relief the ap-
17 plicant seeks to have today? Seeking to vacate 320-acre
18 spacing for the entire pool?

19 MR. BRUCE: As to -- no, not as
20 to the entire pool. As to applicants only, the three appli-
21 cants only.

22 MR. KELLAHIN: Mr. Examiner, I
23 think the case is significantly and materially misadvertised
24 and we came here for an entirely different purpose than what
25 is perceived by the applicant and we can either hear his

1 presentation, at which point we would ask for a continuance
2 in which to come back and prepare our presentation on that
3 question or we can simply have you grant a motion now, which
4 I will make, to have the case dismissed and refiled so that
5 we all can have appropriate notice of what is intended to
6 take place.

7 MR. BRUCE: Mr. Examiner,
8 notice was given to Amoco, Mr. Carr's clients, and to Meri-
9 dian by certified mail. That certified mail contained an
10 amended application in this case, which was filed with the
11 Division on December 29, 1987, which clearly states therein
12 that the applicants were requesting that the -- were reques-
13 ting the 320-acre spacing be vacated as to them and there-
14 for, I think Meridian had sufficient notice of the relief
15 being sought by the applicants in this case.

16 The applicants, obviously, had
17 no say in how the Division worded the publication notice,
18 but I think the case should go on and if necessary the case
19 would be readvertised, but I would intend to put on my wit-
20 ness today.

21 MR. CATANACH: Mr. Kellahin,
22 did your clients in fact receive the notice of this hearing?

23 MR. KELLAHIN: I do not know,
24 Mr. Examiner. I'll have to find that out.

25 MR. BRUCE: Mr. Examiner, if I

1 may right at the beginning hand you an affidavit regarding
2 notice marked as Exhibit Number Two.

3 MR. CARR: Mr. Examiner, if I
4 might, we do have -- Amoco has a witness that they intend to
5 present today. We're here also to present some testimony
6 and we don't actually object to presenting that as long as
7 the record is kept open.

8 MR. BRUCE: I have no problem
9 with that whatsoever, Mr. Examiner.

10 MR. KELLAHIN: If all counsel
11 will concur, Mr. Examiner, and allow us an opportunity to
12 make submittals after the hearing or to call additional wit-
13 nesses when the case is readvertised, we have no objection,
14 then, to going forward.

15 MR. CATANACH: Okay, if we're
16 all in agreement, well, let's -- let's go forward with the
17 case.

18 MR. CARR: And, Mr. Examiner,
19 have the records in prior cases been incorporated?

20 MR. CATANACH: The record of
21 the original case --

22 MR. BRUCE: 8014.

23 MR. CATANACH: -- 8014, those
24 are the cases?

25 MR. CARR: Yes, sir.

1 MR. CATANACH: Yes, those --
2 Case 8014 will be incorporated into the record in this case
3 and 8014 reopened.

4 MR. BRUCE: Before we begin, I
5 did hand you what is marked as Exhibit Number Two regarding
6 notice and I would request that this be incorporated in the
7 record. I don't know if there's any objection.

8 MR. CARR: I have no objection.

9 MR. CATANACH: Will you have
10 somebody testifying on this?

11 MR. BRUCE: Well, I am -- I'm
12 the one who gave the notice.

13 MR. CATANACH: Okay. If there
14 are no objections, Exhibit Number Two will be admitted into
15 evidence in this case.

16
17 STEPHEN H. PERLMAN,
18 being called as a witness and being duly sworn upon his
19 oath, testified as follows, to-wit:

20
21 DIRECT EXAMINATION

22 BY MR. BRUCE:

23 Q Mr. Perlman, would you please state your
24 full name, address, and occupation?

25 A My name is Steve, Stephen H. Perlman. I

1 live at 3377 West Hayward Place, in Denver, Colorado. I'm a
2 geological consultant.

3 Q And have you been employed by the appli-
4 cants in this case?

5 A I am a consultant to the applicants.

6 Q Have you previously testified before the
7 Oil Conservation Division?

8 A No.

9 Q Would you please give a brief statement
10 of your educational and work background?

11 A I have my Bachelors of Science degree
12 from Colgate University in geology and a Masters degree in
13 science from the University of South Carolina.

14 I've worked for the U. S. Geological Sur-
15 vey for 3 and a -- 2/1/2 years. Basically I started working
16 in 1975 as a professional geologist; worked with Amoco from
17 the latter part of 1979 until the beginning part of 1981;
18 developed a coal bed methane program.

19 After that I worked with Walter Duncan
20 Oil Properties and since '83 I've been an independent con-
21 sultant.

22 Q And have you previously conducted a study
23 of the pool which is the Fruitland Basal Coal Pool, which is
24 the subject of this application?

25 A Yes, I have. I gave a talk at May '85

1 AAPG in Denver on the Cedar Hills Field, basically talking
2 about the water/gas pressure analysis, differences between
3 the Fruitland sand, Fruitland coal, and Pictured Cliffs
4 sandstone reservoirs located in the field.

5 Q And are you therefor familiar with the
6 geological matters involved in this application?

7 A Yes, I am.

8 MR. BRUCE: Mr. Examiner, is
9 the witness considered qualified?

10 MR. CARR: Just a couple of
11 questions.

12

13

VOIR DIRE EXAMINATION

14 BY MR. CARR:

15 Q Just a couple of questions. Mr. Perlman,
16 when were you employed by the applicants in this case?

17 A About the end of December. I think it
18 was maybe right after Christmas or something in there.

19 Q And that was last year, of 1986?

20 A '87.

21 Q Of '87?

22 A Yes.

23 Q Did you do any work for them prior to
24 that time?

25 A No, I did not.

1 Q Had anyone else done any work on this
2 area that you looked at in preparation for your testimony
3 here today?

4 A A Mr. McCoy?

5 MR. BRUCE: McCoy.

6 A An engineer named Mr. McCoy, yes.

7 Q And is Mr. McCoy a geologist in Santa Fe?

8 MR. BRUCE: Engineer.

9 Q An engineer from Santa Fe, or do you
10 know?

11 A I don't know and I'm not going to use any
12 of his information.

13 Q You didn't rely on any of that?

14 A I did not.

15 Q And was Mr. McCoy the technical witness
16 who was unavailable during '86 that delayed the hearing?

17 A Yes, sir.

18 Q And so you have only been working for the
19 applicants since December of 1986 -- 7?

20 A Correct.

21 MR. CARR: I have no further
22 questions.

23 MR. KELLAHIN: May I ask a
24 question before we qualify the witness, Mr. Examiner?

25 MR. CATANACH: Yes, sir.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

VOIR DIRE EXAMINATION

BY MR. KELLANIN:

Q Mr. Perlman, I understand your educational background to be as a geologist?

A That is correct.

Q And state for me again, in what is your degree, sir?

A I have a Bachelors of Science in geology and a Masters of Science in geology.

Q Do you have any particular educational background in the field of petroleum geology?

A I have worked as a petroleum geologist for a number of years and had, I think, two or three or four course at Amoco while I was employed there in reservoir techniques, you know, understanding wells, completions, things of that nature.

Q Is the nature of your degree broad enough, sir, that it would encompass the field of petroleum geology?

A Yes, I think it would. I am not a reservoir simulation speciality or anything in that (inaudible).

Q So you don't propose to present us a geologic presentation of reservoir simulation for the pool?

A I do not.

1 Q And you have not utilized any petroleum
2 engineering calculations or studies in your geologic workup?

3 A The calculations and workup that I have
4 used have been take out of the texts for the case hearings
5 that have been presented, 8014. I've also looked over Cases
6 7898, 7899, 7900, and 8015.

7 Q Specifically have you reviewe the
8 geologic exhibits and the transcript for the hearing in Case
9 8014 that resulted in Order R-7588? Now that was the July
10 9th, '84, order that originally set up the spacing on a
11 temporary basis?

12 A That hearing I (not clearly understood.)

13 Q Are you also familiar with the geologic
14 exhibits and presentation made for the February '86 hearing
15 which resulted in the March '86 order that made the tempor-
16 ary 320-acre spacing rules permanent?

17 A No, I am not.

18 Q You did not look at that.

19 A I was just this morning given a very
20 brief view of some of the exhibits. I have not seen
21 anything elsewhere.

22 Q Have you examined data or geologic
23 information that was generated prior to the February 19th,
24 1986, hearing that resulted in the March '86 order that made
25 the rules permanent?

1 A Would you please repeat that?

2 Q Yes, sir. I'm talking about the data
3 that is generated after the hearing in which the rules were
4 made permanent.

5 A Yes, I have.

6 Q Additional geologic information from
7 whatever sources.

8 A Yes, I have.

9 Q What generally, without specifics, Mr.
10 Perlman, is the information you've examined subsequent to
11 that last hearing?

12 A Information from Petroleum Information
13 Services related to more wells in the field, production da-
14 ta, that's basically it.

15 MR. KELLAHIN: Thank you, Mr.
16 Examiner.

17 MR. LUND: Mr. Examiner.

18

19 VOIR DIRE EXAMINATION

20 BY MR. LUND:

21 Q Real quickly. During what time period
22 have you specifically worked on coal seam gas production in
23 your work experience that you referenced earlier?

24 A Okay. I was in the Western Division for
25 Amoco Production Company some time, I think November '79 un-

1 til February, March of 1981. I ran a coal bed methane pro-
2 gram for most of that time and initially worked with Gary
3 Harrison for the first six months (not clearly understood)
4 and basically was responsible for all the coal bed methane
5 work in the Rocky Mountain region for Amoco Production Com-
6 pany at that time.

7 I subsequently left that, left Amoco, and
8 went to work for Walter Duncan Oil Properties, did not do
9 any coal bed (unclear) there.

10 When I left Walter Duncan in January of
11 '83 I became a consultant and worked with Gas Research In-
12 stitute, helping them to characterize sites for the deep
13 steam project which they had in the Piceance Basin.

14 Subsequently I was a consultant with REI
15 on the deep steam project (unclear). I worked with Ener-
16 getics helping drill the well, wells in the Piceance Basin,
17 and I've been involved with a number of independents in Den-
18 ver, helping them both set up plays and set up prospect
19 maps, and do on site work coal bed methane, and more speci-
20 fically, in the San Juan Basin.

21 Q So as your work beginning in '83 you've
22 been working full time in coal seam methane --

23 A No, I have not. I have kept current with
24 it. I right now do about, I'd say, 40 to 50 percent of my
25 work is geology; other 50 percent is commercial real estate

1 appraisal work, do that as a subcontractor also; and of the
2 geology work the last number of years, the last two years,
3 it has primarily been coal bed methane work.

4 Q So all of that 40 or 50 percent of your
5 geology work would be coal seam methane?

6 A Most of it.

7 MR. LUND: Nothing further.

8 MR. CATANACH: The witness is
9 considered qualified and before we go on, can I get all the
10 witnesses to stand and be sworn in, or any possible witness-
11 ses.

12

13 (Witnesses sworn.)

14

15 DIRECT EXAMINATION CONT'D

16 BY MR. BRUCE:

17 Q Mr. Perlman, would you please briefly de-
18 scribe the Cedar Hill Fruitland Field?

19 A Well, Cedar Hills Field is located in
20 Township 32 North, Range 10 West, and 31 North, 10 West, in
21 San Juan County, New Mexico.

22 To date there are fifteen to sixteen pro-
23 ducing wells, at least three observation wells, with three
24 operators being involved in the field, Amoco Production Com-
25 pany, which drilled the field discovery well; subsequently,

1 Union Texas and Meridian have drilled wells since '84.

2 The first well was spudded in February of
3 1977, which is the Amoco Cahn No. 1, located in the
4 northwest of Section 33. The well was tested starting May
5 of '77 on up till sometime in '79 when it was put on actual
6 production. The well to date has cumed 2.48 BCF of gas to
7 November, 1987.

8 In 1981 two wells were drilled as
9 offsets. They're the Schneider ES No. 1 is a production
10 well and the State BW No. 1.

11 Before the Schneider and the State BW
12 wells were put on production, testimony has been given about
13 the interference created by the Cahn No. 1 in its production
14 from '79 until 1981.

15 There are three observation wells
16 surrounding, or I should say, not surrounding, they were
17 three observation wells. There's the Cahn No. 2 well, which
18 is 937 feet, if I remember correctly, from the Cahn No. 1
19 production well in Section 33 and there's the Schneider Gas
20 Com No. 1, southwest quarter of Section 28, and the Leeper
21 Gas Com B No. 1 in the northwest quarter of Section 34.

22 From that testimony given by Amoco
23 Production Company in the information presented in the 8014
24 hearing, Amoco gave a case that there was communication on
25 a 160 because there was an interference and dropdown in the

1 Schneider observation well from the Cahn production, which
2 is a 160 offset north.

3 The Leeper B, the Leeper Gas Com B No. 1,
4 which is located a mile east, did not show any kind of pro-
5 duction interference. It has a reservoir pressure estimated
6 at 1,562 psi, which is very close to the initial, virgin re-
7 servoir pressure in the Cahn No. 1 production well.

8 From this, and other information pre-
9 sented, basically 320 spacing was thought to be acceptable
10 within the field. We're not saying that it's not ultimately
11 going to be on 320's. All that I did want to also point out
12 for the hearing, was that there were a number of situations
13 that warranted further looking at the information presented.
14 One is that the Cahn No. 1 is, or is considered by Amoco by
15 pressure transient tests, and a letter that, Jim, you have,
16 that basically shows and states that the Cahn, through pres-
17 sure transient tests, is possibly atypical of the field,
18 that it has higher permeabilities than the Schneider Gas Com
19 B No. 1 has, or the Salum C No, 1 Well, which is in the
20 northeast quarter of Section 33, and basically the thesis
21 presented here was that the Basal Fruitland Coal is not like
22 other reservoirs. The reservoir rock properties can vary
23 areally. It is common to find wells in established fields
24 that produce at different rates and possibly also have dif-
25 ferent -- I'm sorry, that last part is not from their letter

1 -- significant different rates due to variations in reser
2 voir rock properties.

3 AMOCO has performed pressure transient
4 testing on each well in the Cedar Hills Field to determine
5 the permeability of the coal. The data from these tests
6 confirm that the permeability of the coal in the Cahn Gas
7 Com No. 1 is higher than it is in the offsetting Schneider S
8 No. 1-S and the Galus C No. 1 Well, which allows it to pro-
9 duce higher volumes of gas.

10 Our reason for mentioning that to the
11 commission is the fact that most of the information presen-
12 ted related to 320 field spacing in Cedar Hills Field has
13 drawn very heavily on the Cahn, its producability character-
14 istics, the interference created by production from the Cahn
15 Well, and it just wants to be pointed that possibly the Cahn
16 is atypical of the field and may be skewing the information
17 that 320 spacing in Cedar Hills Field are based on are to-
18 wards the high end and possibly best case scenario in terms
19 of drainage.

20 Q Could you discuss briefly the variations
21 in coal bed reservoirs versus sandstone reservoirs?

22 A Sandstone reservoirs typically -- well,
23 are characteristically produced via Charles and Boyle's Law
24 expansion of the gas laws.

25 The coal bed methane fields, the coal it-

1 self is not a noninteractive container for the coal. The
2 coal is a complex methane molecule. Coal (unclear) fields
3 have the ability to adsorb coal gases, particularly methane,
4 onto their surface, and a tremendous amount of permeability
5 and porosities that are found in coals that are more than
6 sands, and basically the coals, as you produce them, the
7 characteristics and producability of the coal reservoir in-
8 creases based on dewatering and desorption of the gas in the
9 coal.

10 The spacing of a coal well, as shown by a
11 lot of studies in Alabama, where now there's statewide
12 regulation for 40-acre spacings, showed that interference
13 between coal wells is beneficial to the whole field
14 productivity and that it is advantageous to affect an area
15 drawdown within the coal reservoir as opposed to a single
16 well (unclear) drawdown to help diffusivity of the adsorbed
17 gas in the coal into the fracture and hence into the
18 wellbore.

19 Q In the Fruitland, Cedar Hills Fruitland
20 Pool, has water production decreased as gas production has
21 cumulatively increased?

22 A I would say yes overall. The Cahn No. 1
23 shows that in its very early history, very increased water
24 production and then decreasing down to about 60 barrels a
25 day from over 200 barrels a day.

1 Q Could you discuss volumetric, your volu-
2 metric studies with respect to this field?

3 A Brad Boyce in his testimony in Case 8014
4 showed volumetrics where basically he used as an average in
5 place gas content of 450 cubic feet per ton. His volumetric
6 analysis came out with the fact that there's 10.4 BCF of gas
7 in place in a 20-foot coal reservoir. Using the volumetrics
8 for Cedar Hills Field that relates to 5.2 BCF on a 320-acre
9 spacing and 2.6 BCF on a 160-acre spacing.

10 The Cahn No. 1 Well to November of 1987
11 has produced approximately 2.5 BCF of gas, which is more
12 than the anticipated recovery on a 160.

13 The Cahn has, if you look at it areally
14 and not because of a legal spacing order, there's an offset
15 160 acres to the north and east and to the west and the well
16 to date has produced 2.5 BCF of gas as opposed to the 2.6
17 BCF of gas in place.

18 That also assumes that the Cahn No. 1 has
19 20 feet of coal in the producing reservoir and testimony has
20 shown to be -- or presented that the coal in the Cahn Well
21 is between 17 to 19 feet.

22 So we're looking at close to 100 percent
23 recovery on this 160-acre spacing. The model simulation
24 mentioned by Brad Boyce in the 8014 hearing basically shows
25 a modeling on 320's for the coal gas reservoir to take 30 to

1 35 years and produce 77 to 87 percent of the gas with pro-
2 duced gas being 4 BCF of gas of the 5.2 BCF on a 320 in
3 place.

4 The production from the Cahn possibly
5 shows that on 160-acre spacings we would be getting greater
6 amount of the in-place gas being produced and it may well be
7 a more effective way of producing the reservoir.

8 Q So in short, drilling on 160's may give a
9 greater recovery.

10 A That's correct.

11 Q And therefor, drilling on 160's may be --
12 may help to prevent waste and conserve the resources in this
13 field.

14 MR. KELLAHIN: Mr. Examiner,
15 I'm going to impose an objection to this question and ask
16 that the response to the last question be stricken. This
17 witness has testified on behalf of his client as a geologic
18 expert. He's expressing engineering conclusions with re-
19 gards to drainage. He specifically told us in his voir dire
20 that he was not relying upon the engineering data from which
21 he now expresses an engineering opinion and I would move
22 that his opinion be stricken, and that my objection to the
23 current pending question is the same.

24 MR. BRUCE: Mr. Examiner, the
25 strict rules of evidence do not apply in OGD proceedings and

1 he's giving a response based upon his study of the field.

2 MR. CATANACH: I'm going to al-
3 low both questions.

4 MR. BRUCE: Did he answer my
5 last question?

6 THE REPORTER: I don't think so.

7 Q I believe my question was somewhat to the
8 extent that in your opinion, Mr. Perlman, would drilling on
9 100's prevent waste in this field?

10 A It may well be the case.

11 MR. BRUCE: I have no further
12 questions of the witness at this time and would pass him to
13 Mr. Carr.

14 MR. CATANACH: Mr. Carr.

15

16 CROSS EXAMINATION

17 BY MR. CARR:

18 Q Mr. Perlman, as I understand your testi-
19 mony, the information you have on the particular wells in
20 this pool comes from the testimony that's previously been
21 presented at Oil Commission hearings, is that correct?

22 A With some updated information on produc-
23 tion and number of wells in the field; i.e. some --

24 Q And --

25 A -- like penetraton reports with Petroleum

1 Information.

2 Q Did you look at the individual well files
3 on wells in the field?

4 A I have in the past.

5 Q And in preparation for this case did you?

6 A Briefly.

7 Q Are you aware of the current producing
8 status of the Cahn No. 2 Well?

9 A No.

10 Q Are you aware of any recent problems that
11 that well has experienced?

12 A The Cahn No. 2?

13 Q Yeah.

14 A No, I'm not.

15 Q Isn't this the discovery well?

16 A Excuse me? No, the Cahn No. 1 is the
17 discovery. The No. 2 is the observation well.

18 Q Okay, what about the Cahn -- the
19 discovery well in the pool, what is it, the --

20 A The Cahn No. 1, northwest quarter sec-
21 tion, 33.

22 The Cahn No. 2, the well you mentioned,
23 is 900 some odd feet away.

24 Q Okay, the Cahn No. 1, are you aware of
25 any current producing problems with that well?

1 A Yes. It has been mentioned to me that
2 there's been some hole instability problems in the lower
3 part. The Cahn No. 1 was drilled to the top of the coal
4 zone. Casing was run, completed. The bottom plug was drill-
5 led out and the coal was open hole completion.

6 Q And what was the source of that informa-
7 tion?

8 A The source of that information? I think
9 it could be substantiated from a number of sources, both
10 with the testimonies from the case (unclear) and I also
11 worked at Amoco and I think it's public record.

12 Q And those are problems that have existed
13 with that well for some period of time?

14 A No, that was just the completion. It was
15 an open hole completion.

16 Q All right.

17 A The -- I've heard, and that is maybe more
18 hearsay, that there's been bottom hole problems in the well
19 and hole stability problems. There were two instances in
20 1987 where the well was reworked.

21 Q I'm just trying to find out what the
22 source of your information is, what you've looked at from
23 which you get that information.

24 A We have orders from the Conservation
25 Commission hearing, 103 orders on two instances.

1 Q Okay.

2 MR. BRUCE: Two C-103's in the
3 Cahn Well file (unclear).

4 Q So you reviewed the well files at the Oil
5 Commission?

6 A No, I looked at synopses of those two re-
7 ports and I've also spoken with geologists, Colorado State
8 Geological Survey and Bruce Kelso (sic) and Ernie Bush in
9 New Mexico Oil and Gas Commission about the Cahn Well and
10 they both, also, presented to me that there were problems
11 with the well.

12 Q You have not reviewed the well files on
13 -- at the Commission on the well, is that right?

14 A That is correct. I live in Denver and
15 I've used the public information up there.

16 Q All right. Mr. Perlman, you talked about
17 the interference information on certain -- certain wells in
18 the pool that had been presented at the original Commission
19 hearings, is that correct?

20 A Yes.

21 Q What sort of a time frame was there in
22 seeing a pressure response in these wells? Was it a rela-
23 tively short time period?

24 A The Cahn was put on production, substan-
25 tial production in 1979. The data that was presented showed

1 production information up to, I think it was sometime in
2 May, '81 --

3 Q And how --

4 A -- and in that period of time it did show
5 communication.

6 Q And how long did it take for communica-
7 tion to be seen in the well to, let's see, the well to the
8 west?

9 A The well to the west is a production --
10 producing well, sir, and did not --

11 Q Was there any pressure response between
12 the two that you saw?

13 A To the west?

14 Q Yes.

15 A I studied most of the stuff in the obser-
16 vation well. I'm not sure what the initial pressure was on
17 the State BW No. 1 Well because of its initial bottom hole
18 pressure.

19 Q What about the Schneider Well to the
20 north? Did you see, was there any pressure response indi-
21 cated between those wells?

22 A About 30 pounds.

23 Q And how long did it take for a pressure
24 response to be evident?

25 A In the Schneider B No. 1 Well, which is

1 observation well, there shows a response when it was first
2 put on, I think, in 1980. In January of 1980 the well bas-
3 ically showed 1,525 psi, which is about 37 pounds differ-
4 ence from the production going on in the Cahn No. 1, which
5 is south, and that is January, '88, seems like a half
6 of a year.

7 Q Okay, so in six months time there was
8 that much pressure response.

9 A Correct.

10 Q Was there any pressure response to the
11 Leeper Well in Section 34?

12 A At that period of time, as far as I can
13 see back, you know, July, '83, no.

14 Q And how long a period of time was that,
15 July '85, did you say?

16 A '83.

17 Q And when was the original well put on?

18 A Sometime the middle part of '79, so that
19 would be about four years.

20 Q So there was no response in that period
21 of time.

22 A Right, and I'm not arguing that at all.

23 Q Okay, and are you arguing that over time
24 there would not be a pressure response over a distance like
25 that?

1 A All I can say is that from the data pre-
2 sented here there was not a pressure difference in that four
3 year period of production.

4 Q Do you know if any additional work has
5 gone on since that time?

6 A I'm sure there has been additional work.

7 Q Now I believe you testified that you were
8 not here to conclude that 320-acre spacing would not ulti-
9 mately be the appropriate spacing in the pool. Is that what
10 you stated?

11 A Yes, and what I was basically trying --
12 all the information that we have here is from the Cahn No.
13 1; it's production, interference created by its production,
14 and drawdown areally around it. My point is that the Cahn
15 No. 1 may very well be an atypical well in the field and
16 that it, by the pressure transient tests that Amoco has
17 done, that it shows that it has greater permeability than
18 two of the other wells in the field, and possibly more of
19 the other wells.

20 Q If additional data is developed it would
21 be your testimony that it might be that 320-acre spacing
22 would be appropriate for the field?

23 A I am aware of the fact that the New Mex-
24 ico Oil and Gas Commission and Ernie Bush are involved with
25 a number of discussions with the petroleum industry and de-

1 velopment of the Fruitland coals throughout the San Juan
2 Basin and that presently there are a number of committees
3 set up to deal with a number of the problems related with
4 coal bed methane, one of which is spacing, and at the pre-
5 sent time I think a subcommittee has been established with
6 Amoco, Meridian, Mesa, NCR, and the Ute Tribe to discuss
7 parameters for determining spacing in coal bed methane
8 fields. I'm not sure that presently parameters have been
9 set up to look at coal bed methane fields. A lot of the
10 testimony and implications I was getting from the testimony
11 was that people were still more comfortable with classical,
12 traditional sandstone reservoirs and production and were not
13 taking into consideration the special characteristics of the
14 coal's producability, its need for dewatering, how it chan-
15 ges areally over the field, and so I don't think, you know,
16 I think that things will be coming out of the subcommittees
17 that will help define what should be the spacing.

18 Q All right, but I'm asking now your opin-
19 ion. You're the person testifying, not Mr. Bush.

20 A Yes.

21 Q And my question is, isn't it possible
22 that 320-acre ultimately might be the appropriate spacing
23 when all these committees have done --

24 A It may be; it ultimately might.

25 Q And if we develop this on 160-acre spac-

1 ing we're going to have too many wells in the pool, are we
2 not?

3 A If the other is true, yes.

4 Q And so right now -- and spacing is a
5 function of drainage, isn't it?

6 A Yes.

7 Q And if what we're talking about is what a
8 well will drain and it's later determined that these wells
9 will drain 320 acres, those who are in the first 160 and
10 taking all the production gain an advantage, don't they?

11 A Question, in --

12 Q I'm asking the questions. my question to
13 --

14 A Will you please repeat that, sir?

15 Q My question to you, sir, is simply this:
16 If 320-acre spacing is ultimately the area one well will
17 drill -- will drain, then 160 is inappropriate, isn't it?

18 A That would be correct.

19 Q And if you dedicate only 160 acres the
20 people in that 160 acres dedicated to a well take all the
21 production, don't they?

22 A That is correct.

23 Q And your client would be in the original
24 160 acres dedicated to the well if your application is gran-
25 ted, isn't that right?

1 A That is correct.

2 Q And if later the spacing is changed to
3 320, they would have derived a substantial advantage, would
4 they not?

5 A That is correct.

6 Q And if you stay with 320-acre spacing and
7 later decide that 160's are needed, you could infill,
8 couldn't you?

9 A Yes.

10 Q And then the equities would stay the same,
11 wouldn't they?

12 A I'm not sure about that.

13 Q But the correlative rights would not be
14 impaired of those interest owners that were initially cut
15 out, would they? It would not initially be cut out.

16 A Correct.

17 Q Okay. I have no further questions.

18 MR. CATANACH: Mr. Kellahin,
19 any questions?

20 MR. KELLAHIN: Thank you, Mr.
21 Catanach.

22

23 CROSS EXAMINATION

24 BY MR. KELLAHIN:

25 Q In response to Mr. Bruce's last question

1 I believe you have told us that it may well be the case that
2 drilling on 160 acres would prevent waste, and I believe Mr.
3 Bruce used the phrase "waste". Do you recall?

4 A I -- what I was referencing was the volu-
5 metric analysis done in the model simulation by Amoco where
6 they were saying that if you drilled the 320, in 30 to 35
7 years production 77 or 78 percent of the gas in place would
8 be recovered. Of the -- of the 5.2 BCF of gas in place you
9 would recover 4 BCF of gas.

10 My only question that I wanted to ask was
11 that the Cahn right now in terms of spacial relationships
12 looks to be -- to have a 160 offset to the north and a 160
13 offset to the east, a 160 offset to the west, and in a sense
14 could possibly be seen as 160-acre spacing. The well to No-
15 vember, 1987, has produced 2.48 BCF of gas, which is very
16 close to the 2.6 BCF of gas presented by Mr. Boyce as being
17 in place on a 160. If that is the case, then you're looking
18 at closer to 100 percent recovery, and I think that that's
19 where Mr. Bruce mentioned less waste.

20 Q Mr. Boyce's modeling was presented at the
21 Commission hearing in 1984, was it not?

22 A The model was never presented. He just
23 mentioned a model.

24 Q The testimony to which you have referred
25 --

1 A Okay, right, yes.

2 Q -- is the '84 hearing, is it not?

3 A That is correct.

4 Q And you have taken the information Mr.
5 Boyce testified to and compared it to the cumulative
6 production from the Cahn 1 Well.

7 A Correct.

8 Q And you have seen that it is outperform-
9 ing the modeling expectations that Mr. Boyce saw for that
10 well.

11 A That is correct.

12 Q And based upon that, then, you have con-
13 cluded that 320-acre spacing is not suitable for these spac-
14 ing units that your clients have interests in?

15 A I did not say that. All I'm saying is
16 that the Commission should also not throw out the possibil-
17 ity that 160's might be appropriate in terms of increasing
18 the amount of percentage of in-place resources in the field,
19 that that should be taken into consideration.

20 Q Other than what we have just described,
21 are there any other studies or information you have utilized
22 to support your opinion with regards to the spacing units?

23 A No.

24 Q Can you use the information upon which
25 you have relied to determine whether ultimately the

1 appropriate spacing should be something less than 160 acres?

2 A No, at this point I couldn't say that.

3 MR. KELLAHIN: Thank you, Mr.

4 Examiner.

5 MR. CATANACH: Mr. Lund?

6

7

CROSS EXAMINATION

8 BY MR. LUND:

9 Q Mr. Perlman, I'm just trying to under-
10 stand your testimony, so I'll try to ask you a few quick
11 questions.

12 I think you testified that you agreed
13 that there is pressure interference or communication on
14 160's, is that correct?

15 A Correct.

16 Q And I believe, was the focus of your tes-
17 timony that Amoco has over-emphasized the data obtained from
18 the Cahn?

19 A I wouldn't say they've over-emphasized
20 it. I would say that that is the place we have most of the
21 data from and the only well in the field that by itself pro-
22 duced for a period of time having observation wells around
23 it. Once you get past May '81, there are now three wells in
24 the field and it's getting harder to discern the data. I'm
25 not sure if there are more than three observation wells in

1 the field; don't know of any others; and all that I'm saying
2 is that most of the initial data was from production of the
3 Cahn and that's more just because of where it was and the
4 observation wells are.

5 Q But are you familiar with the current
6 producing information from like the Leeper B No. 1-R Well?

7 A Just in terms of the fact that it was re-
8 drilled and I think to date it's produced a half a PCF of
9 gas.

10 Q It's currently making about 1800 MCFD?
11 Are you familiar with that?

12 A No, I was -- well, I've seen the data. I
13 don't have it in front of me right now.

14 Q And what about the State BX No. 1 Well,
15 are you familiar with the current producing data on that?

16 A State BX. The State BX Well I have a cum
17 of 1.3 BCF of gas. I've looked at the daily production. I
18 don't have it here with me but I have looked at it and that
19 was -- it was between -- I can't say right offhand.

20 Q Well, it's currently making about 1500
21 MCF a day.

22 A Okay.

23 Q Does that surprise you?

24 A No.

25 Q Well, the point I think I'm trying to

1 make is that I think in your testimony, and correct me if
2 I'm wrong, you're making the point that the Cahn is neces-
3 sarily going to be a much better well than any other in the
4 field and I don't think that's true.

5 I mean isn't it true that it's necessar-
6 ily a fact that the Cahn is going to be far and away the
7 best well in the pool?

8 A It may not be the best well in the field.

9 Q Now the Cahn was breaking new ground,
10 wasn't it, in terms of coal seam production?

11 A That's correct.

12 Q And not much was known about coal seam
13 production -- gas production at the time the Cahn was
14 drilled.

15 A Yes.

16 Q And so we've learned and moved along
17 based on other information from other wells nearby, isn't
18 that right?

19 A Yes.

20 Q Now, the Alabama situation that you
21 mentioned is a little different than Rocky Mountain coal
22 seam, isn't it?

23 A Yes.

24 Q Now, in your opinion did you talk about
25 -- or in your testimony have you talked about increased

1 ultimate recovery in different spacings? In other words, do
2 you think that --

3 A I said there's a possibility of it, yes.

4 Q Okay. Your testimony was that there's a
5 possibility that increased ultimate recovery would result in
6 spacing around 160's as opposed to 320's?

7 A Yes.

8 Q And what is the basis of that testimony?

9 A Basically volumetrics that Brad Boyce
10 presented, the production that has come from the Cahn based
11 on a 160-acre possible spacing, in terms of the 160 spacing
12 to the north presently occupied now by the producing well,
13 the Schneider BS No. 1; the well to the east, which is the
14 Ealum C; and the State BW to the west. It's basically in
15 that portion of the field without having a 160-acre to the
16 south, the well appears to be surrounded on three sides by
17 160-acre spaced wells and if you look at some of the drain-
18 age, possibly on the 160 we've produce most of the gas in
19 place based on Mr. Boyce's figures.

20 Q But isn't it equally fair to say that
21 160's would just result in rate acceleration as opposed to
22 increased ultimate recovery?

23 A I don't know. The model simulation pre-
24 sented by Mr. Boyce presented that 77 to 78 percent of the
25 gas in place on a 320 would be recovered in 30 to 35 years.

1 All I can say is the Cahn to date, you know, to November of
2 '87, which is more like eight years of production, has pro-
3 duced what could be considered close to 100 percent of the
4 gas on a 160.

5 Q So you're basing your conclusion --

6 A That's all, right.

7 Q -- based on Mr. Boyce's testimony.

8 A Absolutely. I am not saying that I'm
9 reinventing anything else.

10 Q And you agree that there's no pressure
11 response on 640's.

12 A From the period of time that I looked at
13 the data in terms of the Leeper Gas No. 1 Well in July '83,
14 from the Cahn production there was no pressure communica-
15 tion.

16 Q Now, I didn't hear in any of your testi-
17 mony that there's any geologic difference in the two sec-
18 tions, 28 and 33, that are subjects of the application. Is
19 that correct?

20 A Yes.

21 Q There are no anomalies or anything you've
22 noticed from a geologic standpoint that would make Sections
23 33 and 28 different than the rest of the pool.

24 A Well, I've seen information in Sections
25 28 and 33 and 34 that show those areas are over-pressured;

1 that they have a greater downhole bottom pressure than in
2 the areas further away.

3 Q But there's no -- talking from a geologic
4 standpoint, you don't see any geologic differences in those
5 two sections as opposed to the rest?

6 A That is correct.

7 Q Now, in coal seam production it's very
8 significant as to the dewatering of the coal seam, isn't
9 that right?

10 A That is correct.

11 Q And since the Cahn was the first well
12 producing from that coal seam member, the Cahn has dewatered
13 a significant portion of this pool, has it not?

14 A I wouldn't -- I don't know about a signi-
15 ficant portion of the pool because that's 16 square miles,
16 but it has created a drawdown in its location and the sur-
17 rounding area.

18 Q Have you reviewed the cumulative (un-
19 clear) water production from the Cahn Well?

20 A I've looked at it briefly.

21 Q Isn't it fair to say that the dewatering
22 that has been done by the Cahn Well has significantly assis-
23 ted gas production from other wells in the pool?

24 A Yes.

25 Q And if you shut in or reduce production

1 in a coal degas well, don't you run the risk of future pro-
2 duction problems, such as coal fines going into the wellbore
3 and either reducing production or even eliminating produc-
4 tion from that well?

5 A Possibly, yes.

6 Q So there can be some harmful effects from
7 either reducing production in a coal degas well or shutting
8 it in, isn't that right?

9 A There can be.

10 Q Now, you don't contend that Amoco didn't
11 present evidence that you need to evaluate coal degas wells
12 differently than conventional wells, do you?

13 A Would you repeat that again, please?

14 Q Sure. You were talking a little earlier
15 about some of the Amoco testimony and I don't think that you
16 testified that Amoco presented evidence which would indicate
17 that coal degas wells should be treated or analyzed the same
18 way as traditional --

19 A No. In fact, in one of the testimonies,
20 I think the words that were used by one of the Amoco witness-
21 ses was that they were unique, and I think it's just a ques-
22 tion of understanding what that uniqueness is.

23 Q All right. Now, for example, you can't
24 look at traditional drainage patterns on a coal degas well
25 as you may find in a conventional reservoir, could you?

1 A That could be true.

2 Q Well, could it or couldn't it?

3 A Say the question again.

4 Q Okay, I'm sorry. That wasn't clear.
5 Sometimes in conventional reservoirs you would assume radial
6 drainage. It may not necessarily be so but often you'll
7 look at radial drainage, isn't that right?

8 A In a typical, conventional gas well, yes,
9 that's right.

10 Q And you really can't view that in a coal
11 gas well, can you?

12 A That not be the case in a lot of situa-
13 tions, yes. Fracture orientation may well give you a large
14 skew as to that radial pattern.

15 Q There are a lot of factors, cleats, and
16 other things, that would affect the drainage pattern, isn't
17 that correct?

18 A That is correct.

19 Q And that's exorbitant in those fields,
20 isn't it?

21 A Yes.

22 Q Now, would you say that it was prudent
23 for Amoco to go to the expense of drilling these pressure
24 observation wells to help figure out what was happening in
25 the field?

1 A Yes.

2 MR. LUND: Nothing further, Mr.
3 Examiner.

4 MR. CARR: I have one more short
5 question.

6

7

RECROSS EXAMINATION

8 BY MR. CARR:

9 Q Mr. Perlman, in response to a question
10 Mr. Lund asked, I think it was your statement that you
11 didn't necessarily assume radial drainage in this pool, is
12 that right?

13 A His questions about generic coal bed
14 methane and there may well be situations that coal bed me-
15 thane wells would be more oriented towards the major cleat
16 direction in the coal.

17 Q So you wouldn't necessarily have radial
18 drainage in this pool, is that correct?

19 A That may well be right.

20 Q I think you testified the Cahn No. 1 was
21 draining at least -- or was draining 160 acres, isn't that
22 right, and --

23 A No. What I said was that based upon the
24 cumulative production of the Cahn and if you looked at the
25 numbers presented by Amoco for in-place gas resources on

1 160-acre spacings, it appeared that 100 percent of the gas
2 in place on a 160 could have been produced by that well.

3 Q And isn't it possible that it also might
4 be draining from, say, the southwest quarter of Section 33
5 as well?

6 A Yes.

7 Q And that in this reservoir, even though
8 we have development around the Cahn No. 1 with one well on
9 three offsetting 160's, that those wells might in fact be
10 draining reserves from properties other than just the 160
11 right around each of those wells.

12 A Yes.

13 Q Thank you.

14 MR. CATANACH: Mr. Bruce, any
15 questions?

16 MR. BRUCE: A couple of quick
17 questions.

18

19 REDIRECT EXAMINATION

20 BY MR. BRUCE:

21 Q Mr. Perlman, you mentioned that in re-
22 viewing the Boyce model presented in Case 8014 that there
23 was a prediction of 70+ percent, I'm not sure how much, re-
24 covery in 30 to 35 years, and that it looked like based on
25 160 acres there was about -- approximately 100 percent

1 recovery in eight years. Is that a correct statement?

2 A Again, that was the same question that I
3 think I just -- just asked, is it appears that way or could
4 be looked at that way based upon the ultimate recovery or
5 the present recovery of the Cahn for the 2.5 from, if you
6 look at the in-place gas resources on a 160.

7 Q Could that mean that the Amoco model is
8 incorrect?

9 A I -- it may need some revision. They
10 have probably done some revision to it, I imagine, since
11 that period of time it was presented in (unclear) of '84,
12 and that's an assumption.

13 MR. BRUCE: Nothing further,
14 Mr. Examiner.

15 MR. CATANACH: I don't have any
16 questions of the witness.

17 MR. LEWIS: Nothing further, Mr.
18 Examiner.

19 MR. CATANACH: He may be ex-
20 cused.

21 MR. BRUCE: I have nothing fur-
22 ther at this time, Mr. Examiner.

23 MR. CATANACH: Okay. Mr. Kel-
24 lahin, are you going to put a witness on?

25 MR. KELLAHIN: I'd like to hear

1 the Amoco presentation first, if that's all right, Mr. Exa-
2 miner.

3 MR. CATANACH: That would be
4 fine.

5 MR. LUND: May we just have a
6 quick recess and --

7 MR. CATANACH: Sure.

8 MR. LUND: -- try to cut down
9 what we are going to do?

10 MR. CATANACH: Sure, let's take
11 a fifteen minute recess.

12

13 (Thereupon a recess was taken.)

14

15 MR. CATANACH: Okay, we'll call
16 this hearing back to order and if I understand right,
17 opposing counsel has no witnesses to present at this time.

18 MR. LUND: That's correct, Mr.
19 Examiner.

20 MR. CATANACH; Okay, Mr. --

21 MR. KELLAHIN: Mr. Examiner, I
22 earlier requested additional time to prepare witnesses with
23 this case. I've had an opportunity during the break to
24 review the correspondence that Mr. Bruce has served on
25 Meridian and we believe insofar as our company is concerned,

1 we were properly notified, notwithstanding the advertise-
2 ment.

3 I am concerned, however, that the
4 advertisement for this case is in fact defective; however,
5 Meridian does not propose to present witnesses now and if
6 Mr. Bruce proposed not to present witnesses in the event the
7 case is readvertised, we don't intend to come back. We
8 assume this our opportunity to make our presentation.

9 And if Mr. Bruce will concur in that,
10 then we will, for all practical purposes, consider our
11 presentation made today.

12 MR. BRUCE: Yeah, I will agree
13 with Mr. Kellahin. I will not put on any more witnesses,
14 but I think the case should be readvertised just to make it
15 technically correct.

16 MR. CARR: I can also state for
17 C & E that we won't be putting on a witness, either.

18 MR. CATANACH: Okay, and Amoco
19 won't be putting on a witness, either?

20 MR. LUND: No, Mr. Examiner.

21 MR. CATANACH: Okay. Then what
22 we'll do is we'll readvertise this case for February 20th,
23 1988, and at that time there being no witnesses, we'll just
24 take the case under advisement at that time.

25 Would counselors like to make

1 closing statements at this time?

2 MR. CATANACH: Mr. Carr, go
3 ahead.

4 MR. CARR: Mr. Catanach, on
5 behalf of W. P. Carr, et al, C & E Operations, Inc., we
6 oppose the application in this case.

7 As you will note, the amended
8 application is seeking an order vacating Division Order Nos.
9 R-7588 and R-7588-A. Those are the orders that establish
10 the pool rules.

11 They're seeking that those or-
12 ders be vacated as to the applicant, as to the people that
13 Mr. Bruce represents. In other words, they want to be
14 treated differently and if you grant that application,
15 you're going to have an interest in the spacing units, Mr.
16 Bruce's clients, who are going to be treated differently and
17 are going to be paid on 160-acre spacing while the rest of the
18 unit continued to be developed on 320, because that's all
19 they're seeking; they want special treatment for themselves.

20 If you treat them differently,
21 if you give them special treatment, you also affect the rest
22 of the interest owners in those spacing units and you don't
23 treat us -- you treat them better, you don't treat us as
24 well, and you impair our correlative rights.

25 They're seeking something, I

1 submit, that has never been done because you cannot do it,
2 for to grant that application and vacate these orders as to
3 these applicants alone you are on the face of that order im-
4 pairing the correlative rights of other interest owners in
5 the spacing units.

6 As to their request for non-
7 standard spacing or proration units, the Carrs own an inter-
8 est in the southwest quarter of Section 33 that is dedicated
9 to the Cahn No. 1 Well. They participated in the well,
10 they've borne part of the costs, and now what is being
11 sought is a spacing order that would cut them out, that
12 would leave them with nothing; leave them with nothing when
13 Mr. Perlman has also admitted that the Cahn Well may be
14 draining reserves from that property, and if you grant the
15 application, you cut them out of a valuable property inter-
16 est and you deny them their correlative rights.

17 The only opportunity left for
18 them in that scenario is to drill a well in the southwest
19 quarter of Section 33. The problem doesn't end there; you
20 start a domino sort of effect because the Carrs also own in-
21 terest in the south half of 32 to the west. Their property
22 immediately adjoins Section 33 and they would be offset with
23 a new well and would have to drill to protect against drain-
24 age and what you create here is de facto 160-acre spacing in
25 this pool; spacing which Mr. Perlman himself has admitted

1 may not be needed.

2 If in fact there is some day
3 data which shows that different spacing is appropriate,
4 that's the time to bring it forward, but not today, and not
5 to do it in a fashion which denies people property inter-
6 ests, properties in which they've invested, in which they've
7 shared the benefits.

8 We submit that granting the ap-
9 plication will result in wasteful drilling. It will impair
10 correlative rights of interest owners in the properties af-
11 fected, and also, in offsetting properties, and therefor you
12 should deny the application in total.

13 MR. CATANACH: Mr. Kellahin?

14 MR. KELLAHIN: Thank you, Mr.
15 Examiner.

16 On behalf of Meridian Oil Com-
17 pany, we would request that the application be denied. Our
18 clients are very much in the position that Mr. Carr's client
19 is in in the north half of Section 28 if the nonstandard
20 proration unit is granted and Meridian, who currently parti-
21 cipates in that one well, will no longer participate and
22 they will be compelled to drill what I think is going to be
23 an unnecessary well.

24 Mr. Perlman has not provided
25 us, despite his efforts, with any significant geologic dif-

1 ference to make these particular spacing units unique unto
2 themselves.

3 There is no way to quantify any
4 of the things that he's told us to determine whether or not
5 ultimately 320-acre spacing is going to be right or wrong.

6 We urge you to continue the
7 practice of the Commission, which is to err, if at all, on
8 the side of being conservative, whereby we drill wells with
9 large acreage dedicated to it and as these ongoing studies
10 may eventually prove, if additional wells are needed, then
11 we'll drill those wells. It would be impossible now to
12 drill additional wells to recover what may be speculative
13 reserves that may be recovered by the current wells. We've
14 got nothing from the applicant that demonstrates that it
15 would be prudent to change the established spacing pattern
16 for his clients or for anyone else.

17 Accordingly, we'd request that
18 the application be denied.

19 MR. CATANACH: Mr. Lund?

20 MR. LUND: Mr. Catanach, I echo
21 those statements by previous counsel.

22 We were prepared today to come
23 in and present additional technical evidence to update the
24 information that was presented in the two prior hearings
25 that have been discussed, and based on the evidence, there's

1 just -- there's just -- there's nothing been shown to us, no
2 technical reasons why the application should be granted.

3 The Cahn is not atypical and
4 drainage is not necessarily radial in this particular area
5 and it's not necessarily true that the Cahn is draining from
6 Section 33.

7 There was some discussion about
8 Mr. Boyce's conclusions earlier and I submit that the point
9 that was made was that since you don't know exactly where
10 the gas is coming from and drainage pattern varies in these
11 types of reservoirs, in the coal seam reservoirs, the points
12 about the Boyce study are invalid. There's no basis for any
13 technical or practical reason to treat the two sections
14 separately; that is, Sections 33 and 28. And the evidence
15 that's been presented shows that Amoco has been timely and
16 prudent in its actions. When it got information about the
17 fact that -- that the spacing pattern was too small, 160's
18 were too small, we came to the Commission in a timely
19 fashion and asked for increased spacing.

20 In short, Mr. Examiner, the
21 elements of the statute on spacing, 70-2-17B, have been met
22 and the effective date of the spacing should be enforced,
23 which is 70-2-18A.

24 The bottom line here is that
25 the applicants make much of the fact that, you know, gee, if

1 we had a chance to argue about it, we would have come in and
2 done so. Well, it would have been futile. There's no evi-
3 dence that would refute the spacing that has been adopted by
4 this Division and we respectfully request that the applica-
5 tion be denied.

6 MR. CATANACH: Mr. Bruce?

7 MR. BRUCE: Mr. Examiner, the
8 applicants in this case seek to vacate the 320-acre spacing
9 provisions of Division Order Nos R-7588 and R-7588-A as to
10 themselves for two reasons.

11 First, we assert that the data
12 Amoco relied on does not suffice to justify 320-acre spacing
13 and as a result, 160-acre spacing should be reinstated for
14 the nonstandard units in Sections 28 and 33.

15 Second, the applicants were not
16 given constitutionally sufficient notice of Case Number 8014
17 and Case Number 8014 reopened, which resulted in the two or-
18 ders. As a result, as a matter of law, these orders are
19 void as to the applicants.

20 Mr. Carr says there's no reason
21 to do this. Well, other than United States and State of New
22 Mexico constitutions, perhaps.

23 As to the spacing, Amoco's tes-
24 timony in the previous cases shows that the reservoir is not
25 like usual reservoirs in the San Juan Basin; thus normal

1 rules to not apply in determining well spacing. In fact,
2 the testimony shows that what you need to do is drill wells,
3 dewater the whole pool, so that more gas may desorb and be
4 produced from the full pool.

5 Apparently, when wells are more
6 densely spaced there is better dewatering and the greater
7 the ultimate recovery. I think it's been referred to that
8 Alabama, which also has coal gas fields, spaces wells on a
9 40-acre basis.

10 Furthermore, the simulation
11 used by Amoco in 1984 is apparently incorrect. It predicted
12 that a well on 320-acre spacing would produce a fixed amount
13 of gas in 30 to 35 years; however, as testimony has shown it
14 has already in eight years produced approximately the amount
15 of gas predicted. Obviously there's something wrong with
16 the simulation and which means there may be a different
17 mechanism in the field and therefor you can't use tradition-
18 al measures.

19 We all know that the Division
20 often, as Mr. Carr has asserted, errs on the -- or -- and
21 Mr. Kellahin -- errs on the side of caution and increases
22 spacing and then infills.

23 Well, first, statewide rules of
24 160 acres are presumptively correct and should be adhered to
25 unless there's some compelling reason to change them. Thus

1 there's no reason to jump the gun and and prescribe 320 ac-
2 res for everything.

3 An example of this is in the
4 San Juan Basin, the Basin Dakota formation was spaced on 320
5 acres thirty-five years ago and over the last decade or more
6 is now being infilled on -- or two wells on 320 acres. I
7 think this shows that there's no real, great need to go
8 ahead and increase spacing at the drop of a hat.

9 In short, we believe that Amoco
10 presented in its hearings a one-sided version of events
11 without adequate notice to the interest owners to give them
12 a chance to come in and protect their rights. We believe
13 the only way to protect the interest owners is to reinstate
14 160 nonstandard units, as we previously requested in the
15 amended application.

16 Furthermore, even if 320-acre
17 spacing is retained, it cannot be effective as to the appli-
18 cants until they were notified at the very least by Amoco of
19 the 320-acre spacing. This occurred in August of 1986.

20 As I previously stated, there
21 is -- there are court orders regarding the necessity of giv-
22 ing proper notice to royalty interest owners and we should
23 follow that precedent in this case.

24 Mr. Carr did state that there
25 is no instance of orders being vacated as to certain par-

1 ties; however, one case from Oklahoma, a case called Luthan
2 versus Amoco Production Company, 652 Pacific 2d, 308, did
3 that very thing, where Amoco was -- where spacing was in-
4 creased from 160 acres to 640 acres without notice to Amoco.
5 Amoco then later came back in and said, hey, we didn't re-
6 ceive notice, and as a result the spacing was decreased as
7 to Amoco from 640 back down to 160 acres.

8 I think in short, what's good
9 for the goose is good for the gander and if Amoco can come
10 back in based on constitutionally deficient notice and avoid
11 the results of an increase in spacing, I think that is also
12 good for the royalty owners in this case.

13 Thank you.

14 MR. CATANACH: Thank you. Can
15 I get both sides to submit a brief on the adequate notice
16 question and if you would present that to the Division be-
17 fore February 20th when this case comes up next.

18 At that, we'll leave the record
19 open in this case and continue it and readvertise it for
20 February 20th, 1988.

21

22 (Hearing concluded.)

23

24

25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

C E R T I F I C A T E

I, SALLY W. BOYD, C.S.R., DO HEREBY CERTIFY that the foregoing Transcript of Hearing before the Oil Conservation Division (Commission) was reported by me; that the said transcript is a full, true, and correct record of the hearing, prepared by me to the best of my ability.

Sally W. Boyd CSR

I do hereby certify that the foregoing is a complete record of the proceedings in the Examiner hearing of Case No. 9129, heard by me on Jan 20 19 88.
David R. Catanach, Examiner
Oil Conservation Division