

STATE OF NEW MEXICO
ENERGY AND MINERALS DEPARTMENT
OIL CONSERVATION DIVISION
STATE LAND OFFICE BLDG.
SANTA FE, NEW MEXICO

26 August 1987

EXAMINER HEARING

IN THE MATTER OF:

Application of Robert L. Bayless for CASE
downhole commingling, Rio Arriba 9190
County, New Mexico.

BEFORE: David R. Catanach, Examiner

TRANSCRIPT OF HEARING

A P P E A R A N C E S

For the Division: Jeff Taylor
 Attorney at Law
 Legal Counsel to the Division
 State Land Office Bldg.
 Santa Fe, New Mexico 87501

For the Applicant:

1

2

MR. CATANACH: The hearing will

3

come to order.

4

Call next Case Number 9190.

5

MR. TAYLOR: Application of

6

Robert L. Bayless for downhole commingling, Rio Arriba Coun-

7

ty, New Mexico.

8

MR. CATANACH: Are there ap-

9

pearances in this case?

10

MR. BAYLESS: I'm Robert L.

11

Bayless, Farmington, New Mexico.

12

I'd like to submit these three

13

copies of our request.

14

MR. CATANACH: Mr. Bayless,

15

could you just go through the application and explain what

16

you're asking for today?

17

MR. BAYLESS: Yes, sir, I can

18

go through it. There's quite a bit of detail up here that

19

you might want to peruse at your own leisure.

20

I'm seeking approval to com-

21

mingle gas production from the Gallup and Pictured Cliffs

22

formations in the wellbore of the Jicarilla 519 Well No. 1,

23

located 790 feet from the south line and 1670 feet from the

24

east line of Section 18, Township 30 North, Range 2 West, on

25

the Jicarilla Apache Indian Reservation.

1 This well is located approxi-
2 mately 2.5 miles west/northwest of the junctio of Highway
3 U.S. 64 and New Mexico 537.

4 Basically this is a remote well
5 over six miles from any other well producing out of the
6 zones that we wish to commingle. This was a well that was
7 drilled originally by Amoco. They attempted a completion in
8 the Dakota formation unsuccessfully. They plugged it.

9 They attempted a completion in
10 the Gallup. It was very marginally commercial.

11 I acquired the well and the en-
12 tire four section lease from Amoco. I set a bridge plug
13 across the Gallup, perforated and fraced the Pictured
14 Cliffs. Details are all set forth in this exhibit.

15 I tested it and pulled the
16 bridge plug. I should correct myself. Before I did any-
17 thing I did another flow test on the Gallup zone, then set
18 the bridge plug, perforated and fraced the Pictured Cliff;
19 flow tested it and (not clearly understood.)

20 We now have to (unclear) with a
21 packer separating the two zones. We would like to commingle
22 the two zones, each of them are very marginal and they pro-
23 duce some water.

24 We feel that we could get bet-
25 ter flow characteristics if we had the two zones together.

1 The BTU content of the gas is set forth in one of the exhi-
2 bits. The BTU content of the two gases are quite similar.

3 There is a pressure differen-
4 tial between the Gallup and the Pictured Cliffs of about
5 1200 pounds; however, the gas, as indicated, is very similar
6 in content of hydrocarbons.

7 The entire four section lease
8 all has common ownership. I am the operator. I have a map
9 that I could pull out. It's just a work map but I have all
10 the acreage, not only on that four sections but for many
11 miles around either under farmout or under assignment into
12 me.

13 Union Oil Company has farmed
14 out to me but we do have a letter, I believe it's been made
15 available to you, that they have no objection to this com-
16 mingling on their offset acreage.

17 There are quite a few sheets in
18 here under Exhibit One, Attachment One, which gives in de-
19 tail the work that Amoco did and the prolonged testing
20 period that they went through on the Gallup zone itself.

21 Basically that's where we
22 stand. The well is, even with two zones commingled, will be
23 still a marginal, marginal well.

24 MR. CATANACH: What are the
25 producing rates, or the projected producing rates for the

1 two zones, Mr. Bayless, when they're combined?

2 MR. BAYLESS: Our line pres-
3 sures are fairly high in that area because we have our own
4 gathering system to carry that gas to a pipeline company.
5 We must have nine miles of gathering; there are many wells
6 being gathered that I have to gather because of the reluc-
7 tance of pipelines to lay to wells.

8 As I say, I have a work map
9 here if you would give you a better overall picture of the
10 overall area.

11 This will be the furthest (sic)
12 northeast production in the San Juan Basin. It's really in
13 a remote area in the Jicarilla Reservation.

14 MR. CATANACH: Okay, but you do
15 own all the acreage involved, all the offsets are yours?

16 MR. BAYLESS: Yes. My offset
17 acreage that I own goes considerably beyond what is shown in
18 the exhibit. The exhibit only refers to the four section
19 lease and the adjoining leases but I -- I go beyond that.

20 MR. CATANACH: Okay. Is there
21 a well schematic somewhere in here?

22 MR. BAYLESS: No, sir, it's --
23 I don't believe there is.

24 We have 5-1/2 casing that's set
25 down below 8000 feet and that was to test the Dakota. The

1 Dakota has been squeezed off and the Gallup is now producing
2 at 7300 feet and the Pictured Cliff at 3700 feet.

3 MR. CATANACH: What's the
4 higher pressured zone in this well?

5 MR. BAYLESS: The Gallup, the
6 deeper zone.

7 MR. CATANACH: Do you have
8 data on the bottom hole pressure?

9 MR. BAYLESS: Yes, sir, I be-
10 lieve -- I know it's in the -- on the -- in the exhibits,
11 and it's around 2400 pounds.

12 I hope you won't hold me to
13 that till I can find it.

14 I'm sorry, it's 2957 surface
15 shut-in on the Gallup.

16 1065 surface shut-in on the
17 Pictured Cliff.

18 We propose to use the two flow
19 tests to allocate the production between -- if a commingling
20 order is issued, we propose to use the two flow tests that
21 we have to allocate the production between zones; however,
22 we do have uniform, common working interest and royalty in-
23 terest in -- throughout the well, throughout the zones, and
24 throughout the acreage.

25 MR. CATANACH: Have you done

1 any reserve calculations at all?

2 MR. BAYLESS: No, sir, we real-
3 ly have not. There is such limited control, well, it's the
4 furthest northeast well that's producing and it's several
5 miles to another drill hole, so we don't have any real con-
6 trol over the areal extent of the sand and we have not
7 flowed the wells long enough to get any kind of pressure
8 test work.

9 The one thing -- one thing
10 we're really convinced is that it's a very marginal opera-
11 tion.

12 MR. CATANACH: How do you pro-
13 pose to -- to produce the well, just through one single
14 string of tubing?

15 MR. BAYLESS: Yes, sir.

16 MR. CATANACH: You're not going
17 to put any sort of casing or anything.

18 MR. BAYLESS: No, we would like
19 to just have a single string of tubing in and flow both
20 zones up through it and we'll set the tubing on down at the
21 Gallup interval. What we're trying -- we have some water
22 there. We don't know how long the water is going to last.
23 We've been checking the salinities and we can't say posi-
24 tively that this is frac fluid or formation fluid at this
25 point, but we do have, oh, 50 or 60 barrels a day of water

1 and we need the flow from both zones to be able to lift that
2 fluid.

3 MR. CATANACH: Let's see, are
4 you going to put a packer above the Pictured Cliffs
5 formation or --

6 MR. BAYLESS: No, sir, we don't
7 want -- we don't propose to.

8 MR. CATANACH: Just the tubing
9 will be --

10 MR. BAYLESS: The tubing will
11 be hanging in the well.

12 We'd like to have the annulus,
13 well, having the annulus open helps us on our flow char-
14 acteristics, particularly if we initially -- finally go in
15 with a piston or some kind of an intermittent device so we
16 can build a volume of gas when the piston is actuated.

17 MR. CATANACH: Do you antici-
18 pate any crossflow problems into the Pictured Cliffs from
19 the Gallup?

20 MR. BAYLESS: Well, obviously
21 there's pressure differential. The rock in both zones is
22 very poor quality rock as far as permeability is concerned.
23 I don't think that crossflow will be a great problem and,
24 frankly, we propose to -- that's the only way holding that
25 Jicarilla lease, and that gas is not dedicated. We're

1 selling on the spot market and we're pretty much, I think,
2 obligated to flow that well full time.

3 MR. CATANACH: I guess you do
4 have a market for that gas.

5 MR. BAYLESS: At a price.

6 MR. CATANACH: Okay. Do you
7 have a recommended allocation percentage based on --

8 MR. BAYLESS: Yes, it is. It's
9 right on the Attachment, Attachment 7.

10 MR. CATANACH: You don't pro-
11 duce any condensate?

12 MR. BAYLESS: We haven't seen
13 any condensate yet.

14 As I -- to repeat again, we're
15 in the extremely -- extreme northeast portion of San Juan
16 Basin and for some reason you just don't have liquid hydro-
17 carbons up there. When you drop down to the south and east,
18 obviously back to the southwest you do, but in that area
19 it's very dry gas.

20 MR. CATANACH: How much water
21 are you producing?

22 MR. BAYLESS: We think about 60
23 barrels but we -- there's a water schedule in there and we
24 think it's, hopefully, going to decline.

25 On Exhibit Five you'll see a

1 production test on the Gallup giving the water production
2 and, well, Four is the Gallup and Five will be a Pictured
3 Cliff, showing the flow testing and the water production.

4 MR. CATANACH: Mr. Bayless,
5 would it be uneconomical to produce the two zones
6 separately?

7 MR. BAYLESS: We feel it would
8 be and not feasible mechanically.

9 MR. CATANACH: Because of the
10 water problems?

11 MR. BAYLESS: Because of the
12 water problems.

13 MR. CATANACH: As I understand
14 it, Union Texas is an offset?

15 MR. BAYLESS: Union Cal.

16 MR. CATANACH: That would be
17 Union of California.

18 MR. BAYLESS: California, but
19 we have a farmout on that acreage and we also have, and I
20 believe you have it in your files, a waiver letter from
21 Union Cal.

22 MR. CATANACH: Okay, I think
23 that will be sufficient, Mr. Bayless, unless you have any-
24 thing further to add.

25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

MR. BAYLESS: I don't believe I

have.

MR. CATANACH: Okay.

MR. BAYLESS: Thank you very

much.

MR. CATANACH: Case 9190 will

be taken under advisement.

(Hearing concluded.)

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

C E R T I F I C A T E

I, SALLY W. BOYD, C.S.R., DO HEREBY CERTIFY that the foregoing Transcript of Hearing before the Oil Conservation Division (Commission) was reported by me; that the said transcript is a full, true, and correct record of the hearing, prepared by me to the best of my ability.

Sally W. Boyd CSR

I do hereby certify that the foregoing is a complete record of the proceedings in the Examiner hearing of Case No. 9790 heard by me on August 26, 1987;

David R. Catamb, Examiner
Oil Conservation Division