

STATE OF NEW MEXICO
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
OIL CONSERVATION DIVISION
STATE LAND OFFICE BLDG.
SANTA FE, NEW MEXICO

27 April 1988

EXAMINER HEARING

IN THE MATTER OF:

Application of Dugan Production Cor- CASE
poration for a nonstandard oil prora- 9359
tion unit, Sandoval County, New Mexico.

BEFORE: Michael E. Stogner, Examiner

TRANSCRIPT OF HEARING

A P P E A R A N C E S

For the Division:

Charles E. Roybal
Attorney at Law
Legal Counsel to the Division
State Land Office Bldg.
Santa Fe, New Mexico 87501

For the Applicant:

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

MR. STOGNER: Call next Case
Number 9359.

MR. ROYBAL: Case 9359. Appli-
cation of Dugan Production Corporation for a nonstandard oil
proration unit, Sandoval County, New Mexico.

MR. STOGNER: At the appli-
cant's request this case will be continued to the Examiner's
hearing scheduled for May 25th, 1988.

(Hearing concluded.)

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

C E R T I F I C A T E

I, SALLY W. BOYD, C.S.R., DO HEREBY CERTIFY that the foregoing Transcript of Hearing before the Oil Conservation Division (Commission) was reported by me; that the said transcript is a full, true, and correct record of the hearing, prepared by me the best of my ability.

Sally W. Boyd CSR

I do hereby certify that the foregoing is a complete record of the proceedings in the Examiner hearing of Case No. 9359 heard by me on 27 May 1988.
Michael C. Stogor Examiner
Oil Conservation Division

STATE OF NEW MEXICO
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
OIL CONSERVATION DIVISION
STATE LAND OFFICE BLDG.
SANTA FE, NEW MEXICO

25 May 1988

EXAMINER HEARING

IN THE MATTER OF:

Application of Dugan Production Corporation for a non-standard oil proration unit, Sandoval County, New Mexico. CASE 9359

BEFORE: Michael E. Stogner, Examiner

TRANSCRIPT OF HEARING

A P P E A R A N C E S

For the Division: Charles E. Roybal
Attorney at Law
Legal Counsel to the Division
State Land Office Bldg.
Santa Fe, New Mexico 87501

For the Applicant:

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

MR. STOGNER: Call next Case
9359.

MR. ROYBAL: Case 9359.
Application of Dugan Production Corporation for a
nonstandard oil proration unit, Sandoval County, New Mexico.

MR. STOGNER: At the
applicant's request this case is to be continued to the
Examienr's Hearing scheduled to be heard in Farmington, New
Mexico, on July 6th, 1988.

(Hearing concluded.)

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

C E R T I F I C A T E

I, SALLY W. BOYD, C.S.R., DO HEREBY
CERTIFY that the foregoing Transcript of Hearing before the
Oil Conservation Division (Commission) was reported by me;
that the said transcript is a full, true, and correct record
of the hearing, prepared by me to the best of my ability.

Sally W. Boyd CSR

I do hereby certify that the foregoing is
a complete record of the proceedings in
the Examiner hearing of Case No. 9359,
heard by me on 25 May 1988.
Michael E. Stoyan, Examiner
Oil Conservation Division

1 STATE OF NEW MEXICO
2 ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
3 OIL CONSERVATION DIVISION
4 STATE LAND OFFICE BUILDING
5 SANTA FE, NEW MEXICO

6
7
8 6 July 1988

9 EXAMINER HEARING

10 IN THE MATTER OF:

11 Application of Dugan Production Corp- CASE
12 oration for a non-standard oil pro- 9359
13 ration unit, Sandoval County, New
14 Mexico.

15 BEFORE: David R. Catanach, Examiner

16 TRANSCRIPT OF HEARING

17
18 A P P E A R A N C E S

19 For the Division: Robert G. Stovall
20 Attorney at Law
21 Legal Counsel to the Division
22 State Land Office Bldg.
Santa Fe, New Mexico

23 For the Applicant:
24
25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

MR. CATANACH: Call next Case
Number 9359.

MR. STOVALL: Application of
Dugan Production Corporation for a non-standard oil pro-
duction unit, Sandoval County, New Mexico. County, New
Mexico.

The applicant has requested
that Case No. 9359 be continued.

MR. CATANACH: Case No. 9359
will be continued to the Examiner Hearing September 14,
1988.

(Hearing concluded.)

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

C E R T I F I C A T E

I, SALLY W. BOYD, C. S. R. DO HEREBY
CERTIFY that the foregoing Transcript of Hearing before the
Oil Conservation Division (Commission) was reported by me;
that the said transcript is a full, true and correct record
of the hearing, prepared by me to the best of my ability.

Sally W. Boyd CSR

I do hereby certify that the foregoing is
a complete record of the proceedings in
the Examiner hearing of Case No. 9359,
heard by me on July 6 1988.

David R. Coburn, Examiner
Oil Conservation Division

STATE OF NEW MEXICO
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
OIL CONSERVATION DIVISION
STATE LAND OFFICE BUILDING
SANTA FE, NEW MEXICO

14 September 1988

EXAMINER HEARING

IN THE MATTER OF:

Application of Dugan Production Corp- CASE
oration for a non-standard oil pro- 9359
ration unit, Sandoval County, New
Mexico.

BEFORE: David R. Catanach, Examiner

TRANSCRIPT OF HEARING

A P P E A R A N C E S

For the Division:

Robert G. Stovall
Attorney at Law
Legal Counsel to the Division
State Land Office Bldg.
Santa Fe, New Mexico

For Dugan Production
Corporation:

W. Thomas Kellahin
Attorney at Law
KELLAHIN, KELLAHIN & AUBREY
P. O. Box 2265
Santa Fe, New Mexico 87504

1

2

I N D E X

3

4

RICH CORCORAN

5

Direct Examination by Mr. Kellahin 3

6

Cross Examination by Mr. Catanach 11

7

8

JOHN DALE ROE

9

Direct Examination by Mr. Kellahin 12

10

Cross Examination by Mr. Catanach 27

11

12

13

E X H I B I T S

14

15

Dugan Exhibit One, Ownership Information 7

16

Dugan Exhibit Two, Letter, etc. 8

17

Dugan Exhibit Three, Waivers 10

18

Dugan Exhibit Four, Plat 4

19

Dugan Exhibit Five, Completion Report 16

20

Dugan Exhibit Six, Plat, etc. 18

21

Dugan Exhibit Seven, Pages 61 & 62 Proration

22

Schedule 24

23

Dugan Exhibit Eight, Letter 27

24

25

1 MR. CATANACH: Application of
2 Dugan Production Corporation for a nonstandard oil pro-
3 ration unit, Sandoval County, New Mexico.

4 Are there appearances in this
5 case?

6 MR. KELLAHIN: Mr. Examiner,
7 I'm Tom Kellahin from the Santa Fe law firm of Kellahin,
8 Kellahin & Aubrey. I'm appearing on behalf of the appli-
9 cant and I have two witnesses to be sworn.

10 MR. CATANACH: Would the
11 witnesses please stand to be sworn in?

12
13 (Witnesses sworn.)

14
15 MR. KELLAHIN: Mr. Examiner,
16 my first witness is Rich Corcoran. C-O-R-C-O-R-A-N. He's
17 a landman for Dugan Production Corporation.

18
19 RICH CORCORAN,
20 being called as a witness and being duly sworn upon his
21 oath, testified as follows, to-wit:

22
23 DIRECT EXAMINATION

24 BY MR. KELLAHIN:

25 Q Mr. Corcoran, would you please state

1 your name and occupation?

2 A My name is Rich Corcoran. My occupation
3 is landman for Dugan Production Corporation.

4 Q Mr. Corcoran, as a landman for your com-
5 pany have you had previous occasions to testify before the
6 Oil Conservation Division?

7 A I have.

8 Q And pursuant to your employment as a
9 landman have you made a study of the land ownership with
10 regards not only to the proposed nonstandard spacing unit,
11 but to the other interest owners within this section and
12 the affected operators, if any, surrounding the spacing
13 unit?

14 A Yes, I have.

15 MR. KELLAHIN; At this time,
16 Mr. Examiner, we tender Mr. Corcoran as an expert petroleum
17 landman.

18 MR. CATANACH: He is so qual-
19 ified.

20 Q Mr. Corcoran, let me ask you, sir, to
21 take the exhibits out of order for a moment and I direct
22 your attention to Dugan Exhibit Number Four, and before we
23 discuss your specific involvement with this project, take a
24 moment and identify for us first of all the township and
25 range and then the section and then within the section that

1 acreage that you propose to be designated as a nonstandard
2 oil proration unit.

3 A Okay. The exhibit marked Number Four,
4 it's Township 21 North, Range 4 West, Section 25. The well
5 that we're going to speak about today is in the northwest
6 quarter northwest quarter of Section 25. The spacing that
7 we're going to ask for outlined in orange and the pool
8 boundary is indicated by a hachured outline.

9 Q When we look at this pool boundary, what
10 pool are we dealing with, Mr. Corcoran?

11 A We're talking about the Rio Puerco Pool.
12 What we're trying to accomplish here is a request that the
13 Commission approved a nonstandard spacing unit within that
14 pool.

15 Q Currently the pool rules for the Rio
16 Puerco Oil Pool require how many acres to be dedicated to a
17 well?

18 A 320 acres.

19 Q And your well in the northwest quarter
20 of Section 25 is identified by what name?

21 A By the Husky Federal No. 2, it's known
22 as.

23 Q All right. When was the Husky Federal
24 No. 2 Well completed, Mr. Corcoran?

25 A The well was completed on December 8,

1 1983, and when it was completed it was an undesignated
2 40-acre Gallup well. At a later time, April of '88 -- '86,
3 that is, this well was included within the Rio Puerco Pool,
4 which I had mentioned earlier is indicated by the hachure
5 mark.

6 Q The Husky Well was completed in Decem-
7 ber, '83?

8 A Yes, that's correct.

9 Q Do you have a date when the Rio Puerco
10 Oil Pool was originally established?

11 A Originally established in April of '84
12 and later extended, I believe, to include this, I believe
13 I'm correct, on April of '86.

14 Q Subsequent expansion of the pool, then,
15 in April of '86, that included Section 25?

16 A That's correct.

17 Q Let me direct your attention now back to
18 Exhibit Number One.

19 In preparing to integrate this well
20 which was spaced on 40-acre statewide Gallup spacing, into
21 the Rio Puerco Oil Pool, did you tabulate and identify the
22 interest owners in Section 25 and in the adjacent tracts
23 that adjoin the 160-acre spacing unit that you're request-
24 ing?

25 A That's right. I had that done.

1 Q And what is shown, then, on Exhibit
2 Number One?

3 A Exhibit Number One indicates all the
4 surrounding ownership for the Husky Federal No. 2 Well, as
5 required by Rule, I believe it's 1207.

6 Q When we look at the northwest quarter of
7 Section 25, that is acreage that's operated by Dugan Pro-
8 duction Corporation?

9 A It is, everything outlined in that one
10 color. It's orange, I believe.

11 Q When we look at the southwest quarter of
12 25, that is the 160-acre tract that is not to be included
13 in the well?

14 A That's right.

15 Q And that is a portion of Tract No. 4?

16 A Yes.

17 Q And the exhibit then identifies the in-
18 terest owners for that tract.

19 A That's correct, and their -- their
20 interest is set out in a percentage basis.

21 Q When we look at the east half of Section
22 25, we're looking at a portion of Tract 3 and a portion of
23 Tract 4.

24 A Yes, that's correct.

25 Q And is the east half of that section

1 dedicated to a well that's in the Rio Puerco Oil Pool?

2 A I don't -- I'm not sure.

3 Q All right. Are you satisfied, sir, that
4 the tabulation of information concerning these tracts and
5 the ownership is correct and accurate to the best of your
6 knowledge, information and belief?

7 A I am satisfied that that is accurate.

8 Q All right. What action have you taken,
9 then, to cause those various offsetting interest owners, as
10 well as the owners in the tract that is to be excluded,
11 notifying them of your proposal?

12 A Okay, if you'll refer to Exhibit Two,
13 this is a copy of a letter that we sent explaining what we
14 had intended to do, that is, request a nonstandard spacing
15 unit.

16 It also supplied all the parties identi-
17 fied on the earlier exhibit, Exhibit One, notice for this
18 nonstandard application, as well as notice of the date that
19 this application would be heard.

20 Q The second page of the letter shows a
21 paragraph that indicates the September 14th Division
22 hearing for this case.

23 A That's right. In the body of the letter
24 it indicates that on August 20th we had -- August 20th of
25 1987 we had contacted most of the people outlined -- most

1 of the people that are -- that were contacted at this time,
2 and had requested the same; however, subsequent to that
3 point in time there was a little change in ownership, so
4 we felt it necessary to recontact everyone.

5 Q Attached to Exhibit Two, in addition to
6 the letter and the index of parties notified, are some
7 other documents. Would you identify those for us?

8 A The third page is a list of the parties
9 that were identified, or that were noticed.

10 The fourth page is in the application --
11 it's a waiver form that we requested each of the parties to
12 execute and return to both the Commission and ourselves.

13 The next page is a breakdown of the
14 ownership surrounding the well in question.

15 The following pages are a copy of our
16 application to the Commission.

17 And then the last three pages are copies
18 of certified receipts indicating that all parties had re-
19 ceived our notice as set out in here.

20 Q As a result of the August 20th, 1987,
21 communication to certain owners that might be affected, did
22 you receive any objection after that letter by any of these
23 people?

24 A We have not received any objection.

25 Q And after the July 27th, '88, letter was

1 sent, did you receive any objection from any party affect-
2 ed?

3 A We have received no objections from any
4 parties involved.

5 Q In addition to sending the notices out,
6 Mr. Corcoran, have you obtained waivers and written con-
7 sents by certain affected parties?

8 A We have and that's identified as Exhibit
9 Three, and I'd like to point out, if you'll go back to --
10 to Exhibit One, the parties whose interests would make up
11 the southwest quarter of Section 25, which would be the
12 other 100 -- the remaining acreage in a standard spacing
13 unit, two of the parties have executed the waiver and re-
14 turned it, and it is included in Exhibit Three.

15 Those two parties' interest make up ap-
16 proximately 55 percent of the interest.

17 Q What parties are those in Tract 4?

18 A Those are ICG Petroleum, Incorporated,
19 for 17.33 percent, and Gary Williams Oil Producer, for
20 37.5849 percent.

21 MR. KELLAHIN: That concludes
22 my examination of Mr. Corcoran.

23 We would move the introduction
24 of Exhibits One through Four at this time.

25 MR. CATANACH: Exhibits One

1 through Four will be admitted as evidence.

2
3 CROSS EXAMINATION

4 BY MR. CATANACH:

5 Q Let's see if I understand this right.
6 In April of '86 the pool was expanded, the Rio Puerco,
7 expanded to include the acreage for your well today.

8 A Yes.

9 Q Has the well not produced since then or
10 -- or what's been the status?

11 A I'm -- I'm not certain and I'd like --
12 I'd rather have my engineer respond to that, if that's
13 okay.

14 Q Okay.

15 MR. CATANACH: That's all the
16 questions I have of the witness at this time. He may be
17 excused.

18 MR. KELLAHIN: Mr. Examiner,
19 at this time I'd like to call Mr. John Roe. Mr. Roe is a
20 petroleum engineer with Dugan Production Corporation.

21
22 JOHN D. ROE, JR.,

23
24 being called as a witness and being duly sworn upon his
25 oath, testified as follows, to-wit:

1
2 DIRECT EXAMINATION

3 BY MR. KELLAHIN:

4 Q Mr. Roe, for the record would you please
5 state your name and occupation?6 A My name is John Dale Roe, Junior, and
7 I'm Engineering Manager for Dugan Production Corporation in
8 Farmington, New Mexico.9 Q And, Mr. Roe, on previous occasions
10 you've testified before the Oil Conservation Division and
11 its Commission in various hearings, have you not?

12 A Yes, I have.

13 Q Pursuant to your employment as a petro-
14 leum engineer for your company, have you made a study of
15 the engineering facts surrounding this particular applica-
16 tion?

17 A Yes, I have.

18 Q And in making that study have you formu-
19 lated an opinion with regards to whether or not Dugan's
20 application for 160-acre nonstandard spacing unit in the
21 Rio Puerco Oil Pool should be granted or not?

22 A Yes, I have an opinion.

23 MR. KELLAHIN: At this point,
24 Mr. Examiner, we tender Mr. Roe as an expert petroleum
25 engineer.

1 MR. CATANACH: And so quali-
2 fied.

3 Q Mr. Roe, let me have you take Exhibit
4 Number Four. Mr. Corcoran has identified for us the loca-
5 tion of the subject well. I'd like to have you take just a
6 minute and give Mr. Catanach a more detailed explanation of
7 what has been the history on the Husky Federal No. 2 Well.

8 A Yes. The well, formation it was com-
9 pleted in, as an undesignated Gallup well, and produced up
10 until the nomenclature hearing brought it into the Rio
11 Puerco Mancos Pool, is produced as an undesignated 40-acre
12 Gallup producing well.

13 At the time it was brought into the Rio
14 Puerco Mancos Dugan was -- was really unaware that it had
15 been included into the Rio Puerco Mancos until the Aztec
16 Office of the OCD advised us that we needed to form a 600
17 -- or 320-acre spacing unit, at which time, which was in
18 1986 and we'll have a later exhibit to show that we pro-
19 ceeded to put together a 320-acre spacing unit.

20 We admit to a degree that this has
21 covered a long period of time in putting together either a
22 standard spacing unit or a nonstandard spacing unit that
23 would be recognized by the Commission. It covered a lot of
24 misunderstanding. Initially the Commission had indicated
25 it could be done administratively. The Aztec Office had

1 even proposed contracting the pool boundaries. There's been
2 a lot of discussion which has resulted in us having this
3 hearing.

4 Initially this hearing was scheduled --
5 I forget, but it's been continued several times. The most
6 recent schedule was the date that we met in Farmington, we
7 were going to have it at that time but because of the
8 docket we pretty much, at the Commission's request, agreed
9 to continue it, but we're dealing with a fairly small
10 volume well and I have in one of my exhibits a detail of
11 the actual production from the well. It is a Federal lease
12 capable of production. We have produced it some in '87 and
13 some in '88; none in '86, although, again, we do have that
14 information included in our exhibits.

15 Q What is your recommendation and opinion
16 to the Examiner as to whether or not we should form a west
17 half spacing unit consisting of 320 acres or the approval
18 of 160-acre nonstandard unit for the well?

19 A Well, considering the quality and the
20 productivity of the well and the reservoir at this point,
21 at this location within the bounds of the Rio Puerco
22 Mancos Pool, we feel it's fairly impractical form a 320
23 because of the productivity of the well and if we were to
24 force pool this well at 320, we feel fairly certain that
25 the parties in the southwest quarter would not be able to

1 recommend participating actively and we'd be forced to go
2 nonconsent, and we have pursued the efforts to put a 320
3 together and that's pretty much -- the outcome of that ef-
4 fort is that it's a very tough well to have the spacing
5 unit enlarged.

6 My recommendation is that we -- that a
7 nonstandard 160 be authorized. We have evidence to show
8 that it is -- has producing characteristics reflecting the
9 fractured Mancos reservoir. We think that it's probably
10 proper to include it within the boundary of the Rio Puerco
11 Pool, although we have information to show that it is a
12 marginal well by the general standards of wells within the
13 Rio Puerco Mancos.

14 Q What's currently happening with the east
15 half of 25?

16 A The east half of Section 25 is a
17 320-acre spacing unit and it is dedicated to the well loca-
18 ted in Unit B of Section 25 and that is operated by Gary
19 Williams Oil Producers, Incorporated, and it is their -- I
20 probably will not say this right -- but it's the Ceja,
21 C-E-J-A, Pelon, P-E-L-O-N, Well No. 25-2. It is a well
22 that on Exhibit Four I have identified four pieces of in-
23 formation in the handwritten numbers. The upper left
24 number would be the actual average production during 1987
25 in barrels of oil per month.

1 The upper righthand number would be the
2 actual MCF per month, and I stress these are producing
3 month averages, in other words, if a well produced four
4 months, then that's the average of four months, not a
5 12-months average.

6 The lower left number would be the cumu-
7 lative oil in thousands of barrels and that would be cumu-
8 lative to January 1st of -- my exhibit shows '81 but it's
9 actually 1988.

10 And the lower right number would be the
11 cumulative gas to January 1st of 1988 in millions of cubic
12 feet per day -- millions of cubic feet, period.

13 By looking at the numbers of the Husky
14 Federal No. 2 and Gary Williams Ceja Pelon 25-2, it is
15 apparent that his well is significantly better than our
16 well.

17 Q Turn your attention now, sir, to Exhibit
18 Number Five.

19 The first page of that is a completion
20 report. Would you show us the particular information on
21 the first page that's of importance to you in reaching your
22 opinion?

23 A All right. Initially, I just want to
24 point out that we did file our completion report and it was
25 accepted as an Undesignated Gallup completion and spaced 40

1 acres. It was completed December 8th of 1983, as Mr.
2 Corcoran has testified.

3 We pretty much completed the overall
4 interval that's generally produced in the Rio Puerco Mancos
5 Pool, the top perforation being at 4787 and the bottom one
6 at 5215, covering a 428-foot gross interval. And this com-
7 pleted interval is further identified on page 2 of Exhibit
8 Number Five, which is a copy of the open hole induction
9 electric log recorded in the well. I have identified the
10 perforations with marks across the righthand margin of the
11 depth column.

12 Also important on the log, I've indenti-
13 fied two intervals that we had encountered lost circulation
14 while drilling the well, the one being at approximately
15 4890; we lost 225 barrels of mud; and another being at ap-
16 proximately 5113; we lost 100 barrels of mud.

17 Q What significance is that to you?

18 A That is historically in the Rio Puerco
19 Mancos Pool plus other fractured Mancos reservoirs we've
20 been developing, that's a very good indicator that we've
21 encountered a natural fracture at that depth.

22 Q When we look at the area just above the
23 5000 foot interval, you have an area that says "producing
24 interval"?

25 A Yes, I do.

1 Q P-11-20-3?

2 A Yes.

3 Q That refers to what well?

4 A That would be the Gary Williams Oil
5 Producers, Incorporated, operated well; it's their San
6 Isidro Well 11-16, which is located in Unit P of Section 11
7 of Township 20 North, Range 3 West, and that primarily is
8 the big well in the Rio Puerco Mancos Pool.

9 Q How does that producing interval compare
10 to the quality of that interval in your well?

11 A Well, by correlation of the logs, and we
12 have very good correlation throughout the whole Rio Puerco
13 Mancos Pool area, it would suggest that, you know, the
14 characteristics that are encountered in the gut of the Rio
15 Puerco Mancos Pool are similar to what we see in the Husky
16 Federal No. 2, the main difference being the quality of
17 fracturing that exists at the two different points in the
18 reservoir.

19 Q All right, sir, if you'll turn your at-
20 tention to Exhibit Number Six, would you identify that ex-
21 hibit for us?

22 A Yes, sir, Exhibit Number Six consists of
23 three pages.

24 The first page of Exhibit Number Six is
25 nothing more than a plot of the actual production that was

1 reported to the Commission on our Form C-115. It -- the
2 lower curve is the presentation of oil production. The
3 upper curve is a presentation of the gas production. The
4 oil -- the scale on the -- that relates to oil production,
5 the bottom log scale is 10, 100, 1000, 10,000.

6 The gas scale is different and I've
7 identified it as a second scale pretty much in line with
8 the identification of gas production.

9 Q Turn to the second page, Mr. Roe.

10 A Okay. Since what is plotted on the
11 first page of Exhibit Number Six is the actual monthly pro-
12 duction that we report, it -- probably it does not reflect
13 the total production that would be available from the well
14 if we were producing it on a sustained basis.

15 It's our common practice (unclear) we do
16 not have an authorized spacing unit for the well, and in
17 view of the fact that we have not successfully put together
18 a west half 320, and we no longer have a recognized 40-acre
19 spacing unit, so we -- we are not producing the well full
20 time. It's producing between 3 and 6 days per month;
21 therefor, in order to more properly reflect the produc-
22 tivity of the well, again is a low grade producing well,
23 the upper portion of page 2 I've presented a summary of the
24 C-116 test data that has been submitted to the Commission
25 and taken from the well, the most recent test being one

1 taken April 19th of 1988 during which the well averaged
2 2.52 barrels of oil per day over a 24-hour test period.

3 The lower part of the data presented on
4 page 2 is a summary of the actual production numbers that
5 have occurred from the well and along with the question you
6 asked Mr. Corcoran earlier, during 1986 we did not produce
7 the well at all and it produced only eight months during
8 1987 and we've produced it so far each month during 1988
9 but during any one month it's been a very small portion of
10 the month that we've produced it, and effective August 1st
11 of 1988 cumulated production over the 37 months we've pro-
12 duced, had some production, is 1781 barrels of oil and 4115
13 MCF of gas.

14 Q All right, sir, and then the last page
15 of this exhibit?

16 A Okay, the last page of the exhibit is
17 nothing more than to just add some support to the fact that
18 we're dealing with a marginally economic well. The current
19 market conditions have -- have not improved since we sub-
20 mitted this sundry in 1986. This sundry was submitted to
21 the BLM. Not only were we not able to have our spacing
22 unit pieced together, but economics are a real issue here.
23 With the oil prices declining, this particular well was --
24 is located about 11 miles west of Cuba very close to the
25 Continental Divide; it's approximately 8 miles off of

1 Highway 44 and it is a real hard well to get in and out of
2 and it's weather dependent. If there's any moisture at
3 all, we can't get in.

4 So for a lot of reasons we view this
5 well as a marginally economic well and the last page of
6 this exhibit just supports that.

7 Q What did this well cost to drill and
8 complete?

9 A Our actual cost to drill and complete
10 the well was just a little more than \$243,000. I think the
11 exact number is 243,125.

12 Q Are you able to assign any reserve
13 number to this spacing unit or to this well based upon con-
14 ventional volumetric analysis of oil in place or recover-
15 able oil?

16 A No. As is the case with most other
17 fractured Mancos reservoirs that we've dealt with, the con-
18 ventional reserve analysis is impossible. We have to
19 resort to pressure testing and pressure interference data,
20 which normally you stay away from, but in a fractured re-
21 servoir which we feel exists here, that's the only method
22 to establish reserves.

23 Q In terms of comparing the productivity
24 of wells so that the Examiner can be satisfied he is
25 dealing with your well as a well that cannot be expected to

1 fully drain and develop 320 acres, can you take Exhibit
2 Number 4 and show us the wells that were tested and upon
3 which there was interference information to establish
4 originally 320-acre spacing for the pool?

5 A Yes, yes, I can.

6 The original efforts to set up the
7 larger spacing for this pool were pretty much pursued by
8 Gary Williams Oil Producers, Incorporated, and naturally,
9 it was centered around the wells that they operated and had
10 most of the information on.

11 Now, on Exhibit Four all of the Rio
12 Puerco Mancos Pool is not presented, only the lower western
13 portion. In addition to the 39-1/2 acres that are here,
14 there's an additional 39 -- I'm sorry, 39-1/2 sections that
15 are presented, there's an additional 32 sections that are
16 east of what I show on Exhibit Four or southeast in Town-
17 ships 21, 2 West, 21, 3 West, and 21 North, 2 West.

18 Now, in the area that's in the south-
19 eastern part of my Exhibit Number Four, most of the wells
20 wells involved in this pressure interference testing that
21 was done and performed under the direction and guidance of
22 the New Mexico Petroleum Recovery Research Center, specifi-
23 cally Bill Weiss, most of the wells are identified. I re-
24 gret that I hadn't identified them with a circle or some-
25 thing but I can give the wells to you and their locations.

1 There was ten wells that were actually
2 involved in pressure build-up tests and then of those ten,
3 seven of them were incorporated into a pressure interfer-
4 ence test, one well being the producing well and six wells
5 being observation wells.

6 Then again, if it would be useful to the
7 Examiner, I'd be happy to provide the location of those
8 wells.

9 The results of that study were used to
10 basically give confidence that we were going to effectively
11 drain larger areas. There was pressure interference de-
12 tected between wells as far as 3-1/2 miles apart.

13 Now the oil in place number that we
14 would arrive at using that pressure interference data is
15 at the upper end of what I feel comfortable with. Mr.
16 Weiss concluded that there was approximately 320 barrels of
17 oil per acre that would be recoverable, and he was consid-
18 ering pretty much the same general section that we're
19 looking at. He was looking at a 400-foot gross interval,
20 and like I say, he did a very detailed analysis of this
21 area.

22 Q On what basis, then, do you conclude as
23 an engineer that your well, the Husky Federal No. 2 Well,
24 does not have the capacity to fully drain and develop 320
25 acres?

1 A In a fracture type reservoir your
2 ultimate recovery will be a fracture of your productivity.
3 A low rate well does not necessarily mean that you aren't
4 able to drain larger areas. It's just that you aren't
5 going to drain it very fast and it's also an indicator that
6 you probably, or not probably, you did not have the frac-
7 ture system necessary to drain as large an area as you
8 would in an area where the fracture system is better deve-
9 loped.

10 Q Would you turn now to Exhibit Number
11 Seven?

12 A Yes. Exhibit Number Seven is a repro-
13 duction from Pages 61 and 62 of the current oil proration
14 schedule Number 49, Volume Number 3, which basically is
15 used to set the allowables for the period September through
16 December of 1988.

17 The information presented on this is
18 pretty much just a summary of the most recent gas/oil ratio
19 test that was submitted by the operator to the Commission
20 on Form C-116 and I feel fairly certain that the data pre-
21 sented here and highlighted in blue would reflect what each
22 operator has tested the current productive -- productivity
23 of his individual wells to be.

24 Q Show us some comparisons on Exhibit
25 Seven by which you then can conclude the productivity of

1 the Husky Federal 2 Well is so low that it cannot be
2 reasonably expected to drain and develop 320 acres.

3 A Well, first off, the thing that's im-
4 portant is the hours that I've identified with the blue
5 marking, there's 16 of them, the range of rates is 3 bar-
6 rels of oil per day to 140 barrels of oil per day. The 140
7 barrel of oil per day productivity is from the well located
8 in Section 11, 20 North, 3 West. That was the one we men-
9 tioned earlier, the San Isidro 11-16 Well, located in Unit
10 P.

11 And that definitely is the best well in
12 the Rio Puerco Mancos Pool.

13 The lower end of the range is Dugan Pro-
14 duction's Husky Federal No 2. The number presented here is
15 3 barrels a day, which is a rounding of the 2.52 barrels of
16 oil per day that I showed on the last -- page number 2 of
17 my Exhibit Number Six.

18 By comparison the direct offset that's
19 located in the north -- or in the west half of Section 25
20 on their standard 320-acre unit, having a cumulative pro-
21 duction of about 7000 barrels of oil, it still has a pro-
22 ductivity of 5 barrels a day.

23 There are other wells. The bulk of the
24 higher rate wells are located in the southeastern part of
25 the area that I've shown on Exhibit Four, which again sup-

1 ports the more productive area of the Rio Puerco Mancos
2 Pool is removed a little bit from the area we're talking
3 about.

4 Q In your opinion, Mr. Roe, is the
5 southwest quarter of Section 25 going to be drained and
6 depleted by your well in the northwest quarter of that
7 section?

8 A I -- it's my feeling that if drainage
9 ever results it will be at a point down the road that --
10 that the present worth is almost negligible and I person-
11 ally feel that because of the productivity of our well we
12 probably will not drain beyond the 160-acre spacing unit
13 that we're asking for, which is 100 percent Dugan Produc-
14 tion leasehold interest.

15 Q If this application is approved by the
16 Examiner and the Division, do you see any adverse affect on
17 the correlative rights of other interest owners?

18 A There should be no adverse affect. In
19 fact, if we were to ask or be pushed to put the 320 to-
20 gether by forced pooling, there might be one adverse affect
21 tying their acreage up by a well that probably will never
22 drain it and actually prohibit them from ever developing it
23 should they have a different viewpoint than we do.

24 Q Let me ask you now to turn to Exhibit
25 Eight. Would you identify and describe this exhibit?

1 A Exhibit Number Eight is a copy of a
2 letter that Dugan Production sent in what we knew, or at
3 the time what we felt the -- the ownership was in the
4 southwest quarter of Section 25, and I might add, that own-
5 ership is also the same ownership as exists in the east
6 half of Section 25, which is the spacing unit for the --
7 the Gary Williams Ceja Pelon 25-2.

8 So here in this letter of September 26
9 we propose that a 320-acre spacing unit be put together.

10 MR. KELLAHIN: That concludes
11 my examination of Mr. Roe, Mr. Catanach. We would move the
12 introduction of Exhibits Five through Eight.

13 MR. CATANACH; Exhibits Five
14 through Eight will be admitted as evidence.

15
16 CROSS EXAMINATION

17 BY MR. CATANACH:

18 Q Mr. Roe, do wells traditionally take a
19 long time to produce in this area or is it just your well
20 in particular or is it just your well in particular or --

21 A Well, there's -- with reference to Exhi-
22 bit Seven, there's one well that has 3 barrels a day; one
23 well has 5 barrels a day; one, 7 barrels a day -- I'm sor-
24 ry, two that have 7; and then the rates get a little bet-
25 ter, being fairly typical to any fractured Mancos, being

1 fairly typical to any fractured Mancos. We see a big vari-
2 ation throughout the reservoir as far as well productivity
3 goes. Again, well productivity is, in my opinion, totally
4 determined by the natural fracturing and so the lower the
5 productivity, the lower the natural fracturing, or the
6 lower the degree that that point in the reservoir is natur-
7 ally fractured.

8 As you can see from our Exhibit Four,
9 our well is located on the edge of the Rio Puerco Mancos
10 Pool and there are really no good wells west, north, or
11 south of our well, and I think we, with our well, we have
12 identified the western edge of influence that fracturing
13 had in the Mancos formation.

14 In answer to your question, all of the
15 wells in the Rio Puerco Mancos, including our well, have
16 similar lives as far as productive lives go. In other
17 words, development in this area was all in the '82-'83 time
18 frame. The cumulative production ranges -- our well is not
19 the lowest. There's a well in the southeast quarter of
20 Section 26 that has never produced. Now whether it is com-
21 pleted and -- and I say never produced, it has produced but
22 not anything that's significant, not even enough to really
23 sell a load of oil. That is a well that Dugan Production
24 recently has taken over operatorship of from Jack Cole.

25 But at any rate, our well is at the

1 lower end of cumulative production for wells in the pool.
2 The maximum cum would be the well that I've mentioned in P
3 of 11 of 23 wells, a well operated by Gary Williams. That's
4 got 126,000 barrels and again this is all roughly the same
5 time frame, and so it's not fair to say all wells take a
6 long time but if you have a well that has less fracturing,
7 it's going to take a longer time. The performance that
8 we've indicated on Exhibit Six, that, even though it's down
9 in the monthly rate of about 75 barrels a month, it hasn't
10 stabilized. This performance is fairly typical of a frac-
11 tured reservoir. You see a real rapid, steep decline in
12 productivity but it will stabilize at some point and then
13 it will last forever.

14 Our well, being lesser fractured, will
15 take a long time to produce the reserves that are in that
16 part of the reservoir.

17 Q I see. Do you have any idea, if your
18 application is approved, do you have any idea if the opera-
19 tors or the interest owners in the southwest quarter would
20 propose to drill a well or how would that acreage be devel-
21 oped, do you know?

22 A Well, it's my feeling right now, and I'm
23 speaking as if I had the option to develop that acreage,
24 with the Husky Federal No. 2 plus the Penistaja No 16 that
25 Jack Cole drilled in the southeast of 26, and if you look

1 on further down to the south, Lewis has got a well, that
2 it isn't a great well, but I think with the information
3 that exists very close to or are direct offsets to that
4 acreage, it would be very difficult to justify an expendi-
5 ture of \$250-to-300,000 to add an additional piece of in-
6 formation as to the productivity of that part of the re-
7 servoir.

8 I can't say that they would never drill.
9 I feel they wouldn't for sure drill unless oil prices got
10 ridiculously high, at which time their only option would be
11 to drill on a nonstandard spacing unit, and it would be
12 something that they would have the option to do, whereas if
13 we put it in a 320 they wouldn't have that option and I
14 feel fairly certain that we're not going to drain that part
15 of the reservoir with our well.

16 And, and like I say, I might mention
17 that one of our exhibits, 54 percent of that ownership. or
18 55 percent, has signed a waiver to our having a nonstandard
19 spacing unit in the northwest quarter.

20 Q Let's see, as I understand it, the --
21 the interest in the northwest quarter is common and it's
22 owned by Dugan Production Company.

23 A That's correct. It's -- Dugan has 100
24 percent ownership of that interest.

25 Q So going from, say, a 40 to a 160,

1 that's -- that's what you're doing, right?

2 A Yes.

3 Q It's not going to hurt anybody's inter-
4 est, violate anybody's correlative rights.

5 A That's exactly right and, like I say,
6 one of the problems we ran into trying to form a 320 was
7 how were they going to pay for the risk in drilling costs
8 or -- and how are we going to handle what production occur-
9 red and having seen that production, should they be allow-
10 ed to participate at no risk. I mean these are all ques-
11 tions that we've already hashed over at Gavilan when we
12 changed the spacing, and so a lot of those problems are
13 taken care of by not changing ownership of a well and es-
14 pecially when the well's of a productive nature that it
15 might even be argued that it might not go in a 160 acre,
16 but I forgot when Mr. Kellahin asked me about the recovery
17 efficiency of the Mancos reservoir, I gave you the 340
18 barrels of oil per acre that resulted from the interference
19 test that Gary Williams did, but more typically for the
20 Mancos formation, and also the results of interference
21 testing or massive interference testing involved on the
22 West Puerto Chiquito, the oil recovery per acre is more in
23 the range of 100 to 300 and may be averaging 150 barrels of
24 oil per acre.

25 So using the 150, 100-to-150, which I

1 feel our well is more in the area of, our ultimate recov-
2 ery is going to be dependent upon the oil price. At 2-1/2
3 barrels a day our economic limit is not far from that at
4 the current oil price. If we can hold out until oil prices
5 go up, our reserves will easily be doubled. I feel fairly
6 certain we're draining more than 40 acres. I am not sure I
7 can tell you that we're going to drain 160 acres.

8 Q It seems to me that you may have had the
9 right idea in September of '86 when you tried to form a 320
10 acre unit, but it just never would have panned out.

11 A Well, putting myself in the position of
12 operators in the southeast quarter, I mean, I would not --
13 if Dugan came to me and asked me to pay 50 percent of the
14 total \$243,000 that it took to drill the well, and provided
15 me with the production information from that well, I'd say,
16 hey, wait a minute, I don't want any part of your well,
17 plus, I don't want you to tie my acreage up in your well
18 because I don't think it's going to drain it.

19 Q So that's basically the response you got
20 when you tried to form a unit?

21 A Yes, that is the response we got.

22 Q Okay.

23 A It's a pretty tough issue, Mr. Catanach,
24 how to handle a change in ownership in a well that's mar-
25 ginally commercial.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

MR. CATANACH: I don't have any further questions of the witness.

MR. KELLAHIN: Thank you. That concludes our presentation.

MR. CATANACH: Okay. There being nothing further in Case 9359, it will be taken under advisement.

(Hearing concluded.)

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

C E R T I F I C A T E

I, SALLY W. BOYD, C. S. R. DO HEREBY CERTIFY that the foregoing Transcript of Hearing before the Oil Conservation Division (Commission) was reported by me; that the said transcript is a full, true and correct record of the hearing, prepared by me to the best of my ability.


Sally W. Boyd CSR

I do hereby certify that the foregoing is a complete record of the proceedings in the Examiner hearing of Case No. 9359, heard by me on September 21, 1988.

David R. Catamb, Examiner
Oil Conservation Division

EXHIBIT "A"
 APPLICATION FOR DUGAN PRODUCTION COPP. - NON-STANDARD 160.0 ACRE SPACING UNIT
 HUSKY FEDERAL #2 WELL

NMOC D CASE NO. 9359
 9-14-88
 Dugan Production Corp.
 Exhibit No. 1



TRACT 1 - Section 23: SE/4 SE/4
 Yates Petroleum Corp. 40.0%
 Myco Industries, Inc. 20.0%
 Yates Drilling Co. 20.0%
 ARD Petroleum Corp. 20.0%

TRACT 2 - Section 24: S/2 SW/4, SW/4 SE/4
 Section 25: NW/4
 Section 26: E/2
 Dugan Production Corp. 100.0%

TRACT 3 - NW/4 NE/4 (to base of the Gallup formation)
 Gary-Williams Oil Producer 37.585%
 *AMP Energy Corp.
 (Toga Petroleum Corp.) 37.585%
 ICG Petroleum, Inc. 17.330%
 Talus Properties Ltd. P'ship. 7.500%

TRACT 4 - Section 25: NE/4 NE/4, S/2 NE/4, S/2 (to the base of the Gallup formation)
 Talus Properties Ltd. P-ship. 7.5000000000%
 ICG Petroleum Inc. 17.330005400%
 Gary-Williams Oil Producer 37.5849974%
 *AMP Energy Corp.
 (Toga Petroleum Corp.) 36.6399926%
 Toga Petroleum Corp. 0.94500047%

TRACT 5 - Section 35: N/2 (to the base of the Gallup formation)
 Gary-Williams Oil Producer 33.80499784%
 AMP Energy Corp. 33.80499784%
 Talus Properties Ltd. P'ship. 7.500000000%
 ICG Petroleum Inc. 16.250000000%
 A. E. Investments 6.28819200%
 Penn Bristol Corp. 2.35181232%

TRACT 6 - Section 36: N/2 NW/4, NW/4 NE/4
 Gary-Williams Oil Producer 39.585%
 *AA Energy
 (Toga Petroleum Corp.) 39.585%
 ICG Vista Petroleums, Inc. 17.500%
 Talus Properties Ltd. P-ship. 8.330%

* NOTE: Public records do not show a transfer of interest or name change. However, Toga Petroleum Corp. is in the process of filing such documentation.