

STATE OF NEW MEXICO
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
OIL CONSERVATION DIVISION
STATE LAND OFFICE BUILDING
SANTA FE, NEW MEXICO

17 August 1988

EXAMINER HEARING

IN THE MATTER OF:

Application of Nearburg Producing
Company for an unorthodox oil well
location, Lea County, New Mexico,
and

CASE
9467

Application of Nearburg Producing
Company for an unorthodox oil well
location, Lea County, New Mexico.

9469

BEFORE: David R. Catanach, Examiner

TRANSCRIPT OF HEARING

A P P E A R A N C E S

For the Division:

Robert G. Stovall
Attorney at Law
Legal Counsel to the Division
State Land Office Bldg.
Santa Fe, New Mexico

For the Applicant:

Scott Hall
Attorney at Law
CAMPBELL and BLACK, P.A.
P.O. Box 2208
Santa Fe, New Mexico 87501

I N D E X

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

MARK NEARBURG

Direct Examination by Mr. Hall 4

Cross Examination by Mr. Catanach 10

LOUIS MAZZULLO

Direct Examination by Mr. Hall 11

TERRY E. DURHAM

Direct Examination by Mr. Hall 20

Cross Examination by Mr. Catanach 22

TIMOTHY R. MacDONALD

Direct Examination by Mr. Hall 24

Cross Examination by Mr. Catanach 27

E X H I B I T S

Nearburg Exhibit One, Plat 5

Nearburg Exhibit Two, Affidavits 9

Nearburg Exhibit Three, Affidavits 9

Nearburg Exhibit Four, Structure Contour Map 12

Nearburg Exhibit Five, Isopach 13

Nearburg Exhibit Six, Cross Section 16

Nearburg Exhibit Seven, Isopach 24

1 MR. CATANACH: Call next Case
2 Number 9467.

3 Application of Nearburg Pro-
4 ducing Company for an unorthodox oil well location, Lea
5 County, New Mexico.

6 Are there any appearances in
7 this case?

8 MR. HALL: Mr. Examiner, Scott
9 Hall from the Campbell & Black law firm on behalf of the
10 applicant.

11 We would also like request
12 that this case be consolidated with Case 64 -- correction,
13 9469.

14 MR. CATANACH: At this time
15 we'll call Case 9469, the application of Nearburg Producing
16 Company for an unorthodox oil well location, Lea County,
17 New Mexico.

18 MR. CATANACH: Do you have the
19 same witnesses, Mr. Hall, as the previous case?

20 MR. HALL: Yes, plus an addi-
21 tional.

22 MR. CATANACH: Was the addi-
23 tional witness sworn?

24 MR. HALL: Were you sworn?

25 MR. DURHAM: No, I was not.

1 A We seek approval of two unorthodox
2 Strawn well locations, one located -- Case 9467 is for a
3 well located 400 feet from the north and east lines of
4 Section 25, Township 16 South, Range 33 East, to test the
5 Strawn formation in the Undesignated Northeast Lovington
6 Pennsylvanian Pool, with the north half northeast quarter
7 dedicated to that well.

8 The Case 9469 is the application for an
9 unorthodox Strawn well location, located 400 from the north
10 line and 2560 feet from the west line, Section 30, Township
11 16 South, Range 37 East, to test the Strawn formation on an
12 80-acre unit consisting of the east half northwest quarter,
13 also in the Undesignated Northeast Lovington Pennsylvanian
14 Pool.

15 Q All right, let's look at Exhibit One.
16 Are those locations reflected on that exhibit?

17 A Yes, they are.

18 Q And what else does that exhibit show?

19 A That exhibit shows all offset ownership
20 applicable to these applications. It shows producing wells
21 in green; a dry hole in blue; and the test wells in red.
22 It shows the ownership of the various units and percentages
23 and the -- at the bottom of Section -- of the northwest
24 quarter of Section 30, it indicates that the west half
25 northwest quarter of Section 30 is an oversized lot due to

1 survey, being 1659 feet east to west.

2 The rest of Section 30 is correctly sur-
3 veyed. This well, due to the -- the Soledad State 30-C,
4 due to the over survey, is actually 420 feet from the
5 centerline of Section 30.

6 Q All right. Now, are you familiar with
7 the present pool rules for the Northeast Lovington Penn?

8 A Yes. This pool requires 80-acre prora-
9 tion units with wells located no more than 150 feet from
10 the center of any governmental quarter quarter section.

11 Q All right, so is it the irregular lot
12 that compels you to seek an exception to those rules for
13 the well located in Section 30?

14 A No. That's a geologic request. We only
15 presented the additional footage so that the -- it's ob-
16 vious that the 2560 feet, if you look at that without
17 knowing your oversized lots, it would be quite confusing.

18 Q All right. Let's look at the offsets to
19 the 80-acre staked location.

20 A Yes.

21 Q What is the identification of that off-
22 set?

23 A Okay. The original well that set up the
24 drilling in here is in the west half southwest quarter of
25 Section 19. That's the Soledad 19-M Well, drilled by Near-

1 burg and completed as a Strawn producer.

2 We then, based on seismic and subsurface
3 data, drilled the Doubloon State 24-P Well, which is the
4 offset to the 88 State Well requested in Case 9467. Subse-
5 quent to drilling the Doubloon State 24-P we shot addi-
6 tional seismic and re-evaluated our subsurface work to pick
7 the location for the 88 State.

8 Q All right, what is the present status of
9 the Doubloon State 24-P?

10 A The Doubloon State 24-P is currently
11 producing with about 75 -- 75 pounds flowing tubing pres-
12 sure and approximately 240 barrels a day of oil, and
13 3-to-400 MCF of gas a day.

14 Q All right, does it appear that the
15 Doubloon State is presently draining the acreage to be
16 dedicated to the 88 State?

17 A Yes.

18 Q Is there a penalty imposed on the
19 production from the Doubloon 24-P?

20 A No. When we drilled the Doubloon 24-P
21 we worked -- there are major -- there are several farmouts
22 in here from Cities Service, which is now OXY USA, Yates
23 Petroleum Company, et al, Tenneco, and all of those parties
24 agreed that it was in the best interest of the protection
25 of correlative rights to have a drilling program and not to

1 oppose the unorthodox location.

2 We feel that for the protection of cor-
3 relative rights the 88 State should be approved. This is
4 -- this is further pointed out by the dry hole drilled on
5 the Soledad State 30-B, which the geologic evidence will
6 show the communication between the Doubloon and the 88
7 State.

8 Q All right, do you believe it's appro-
9 priate that a production penalty be imposed upon production
10 from the 88 State?

11 A No, there was no penalty imposed on the
12 Doubloon State 24-P and therefore we feel that no penalty
13 should be imposed on the 88 State. They should be treated
14 equally.

15 Q And likewise for the Soledad 30-C?

16 A The Soledad 30-C, I will not press that
17 same requirement on that well which will be brought out by
18 the geologic evidence.

19 Q All right. If a penalty were imposed,
20 would that affect your plans for going forward with other
21 new wells?

22 A It would definitely affect the plans on
23 the 88 State. At this time we're not certain how it would
24 affect the Soledad State 30-C because there is more evalua-
25 tion to be done on the 30-C once the 88 State is drilled.

1 Q All right. With respect to the Soledad
2 30-C, would you please explain to the Examiner what your
3 plans are for developing that acreage and point out whether
4 or not you're under a lease with a farmout deadline for
5 that well?

6 A Under the farmout from Tenneco we have
7 to have a well drilling in late November in the east half
8 northwest quarter of Section 30.

9 Whenever a well is drilled in this area
10 all of the geologic and geophysical data has to be re-
11 evaluated. Due to the time constraints for notification,
12 the hearing, and the time required for the order subse-
13 quent thereto, the possibility of de novo hearings, we have
14 to hold the hearing at this time for the State 30-C because
15 if we waited until the 88 State was drilled, there would be
16 no time for the notice, the hearing, and the subsequent
17 time for protest for de novo hearing. There would be no
18 way to have the hearing and drill the well by the farmout
19 deadline.

20 Q All right, when you said 88 State, you
21 were in fact referring to the Soledad State --

22 A Soledad State 30-C, yes.

23 Q All right. Let's look at Exhibits Two
24 and Three. Are those exhibits affidavits from your counsel
25 whereby you directed your counsel to send out notice to all

1 the offset operators and owners of interest affected by the
2 application?

3 A Yes.

4 Q Were Exhibits One, Two and Three
5 prepared by you or at your direction?

6 A Yes.

7 MR. HALL: We move the admis-
8 sion of Exhibits One, Two and Three.

9 MR. CATANACH: Exhibits One,
10 Two and Three will be admitted into evidence.

11 Q Do you have anything further you wish to
12 add?

13 A No.

14 MR. HALL: That concludes our
15 direct of this witness.

16

17

CROSS EXAMINATION

18 BY MR. CATANACH:

19 Q Mr. Nearburg, the 88 State Well, is that
20 the -- is that a mirror location of the Doubloon 24-P.

21 A In terms of spacing, yes, but there are
22 geologic reasons for it. It just so happens it turns out
23 to be the same distance out of the corners as the Doubloon
24 State 24-P.

25

Also we recognize the Commission's feel-

1 ings on proximity to lease lines and we've tried to keep
2 the well as far from the lease lines as is possible without
3 totally condemning the economics of drilling it.

4 MR. CATANACH: No further
5 questions. The witness may be excused.

6
7 LOUIS J. MAZZULLO,

8 being called as a witness and being previously sworn and
9 remaining under oath, testified as follows, to-wit:

10
11 DIRECT EXAMINATION

12 BY MR. HALL:

13 Q For the record please state your name,
14 by whom you're employed and in what capacity .

15 A My name is Louis Mazzullo. I'm a geolo-
16 gical consultant on retainer to Nearburg Producing Company
17 out of Midland, Texas.

18 Q All right, Mr. Mazzullo, have you pre-
19 viously testified before the Division or one of its exam-
20 iners and had your credentials made a matter of record?

21 A I have.

22 Q And are you familiar with the subject
23 lands and the subject applications combined for hearing
24 today?

25 A I am.

1 Q Have you prepared certain exhibits in
2 connection with your testimony today?

3 A I have three exhibits, Four, Five and
4 Six.

5 Q All right, let's start with Exhibit
6 Four. Would you please explain that to the Hearing Exa-
7 miner?

8 A Exhibit Number is a structure contour
9 map drawn on top of the Strawn limestone in the area in
10 which the wells, the proposed wells are located.

11 As you can see, I've included all of
12 Section 19 and the north half of Section 30, 25, and most
13 all of Section 24.

14 The proposed locations for the 88 State
15 25-A No. 1 is indicated by the yellow dot in the northeast
16 quarter of 25, and for the 30-C No. 1 is in the northeast
17 quarter of the northwest quarter of Section 30.

18 The narrow, solid lines that crisscross
19 this map are seismic, indicate the locations of seismic
20 record lines that were used in evaluating both the regional
21 structure on top of the Strawn and on the location of
22 Strawn anomalies, which will be discussed in a -- in
23 another exhibit.

24 The structure map on top of the Strawn
25 here was based primarily upon subsurface control, which

1 we've had quite a bit -- of which we have quite a bit in
2 this area, and in addition to the seismic control that
3 we've had.

4 The purpose of this exhibit is to show
5 that on top of the Strawn the regional structure is very
6 subtle northeasterly dip with very little nosing and very
7 little apparent indication of what's going on within the
8 Strawn section in terms of the build-up of the Strawn reef
9 units, which constitute the reservoir in this area.

10 The build-ups of the Strawn reservoir
11 are very subtle; are not easily expressed structurally, but
12 are expressed in other ways, which we have to deal with.

13 Q All right, let's look at Exhibit Five.
14 Could you identify that, please, and explain what that's
15 intended to reflect?

16 A Exhibit Number Five is an isopach of the
17 Strawn limestone; that is, it's the thickness of the Strawn
18 section between the top of the Strawn, which was mapped in
19 the previous exhibit, and the top of the underlying Strawn
20 sandstone, which is at the base of the Strawn limestone
21 unit in this area.

22 So it's the total limestone section in
23 which the various reef units which constitute the reservoir
24 as a belt (sic). The map shows that the Strawn varies in
25 thickness from about 100 feet on the west side of the

1 mapped area to over 225 feet proceeding eastward, and with-
2 in this subtle change in thickness are local anomalies,
3 which are very subtle and they show up very subtly within
4 the section.

5 The various colors that you see refer to
6 individual reefal units which develop within the Strawn
7 section at various places stratigraphically within the
8 section.

9 So the green area that we see on the
10 lefthand side of the map refers to an upper reef unit which
11 developed very localized porosity.

12 The red unit refers to a more extensive,
13 laterally extensive reefal unit which develops productive
14 porosity over the area.

15 And the blue area refers to a Lower
16 Strawn reefal unit which develops porosity in the extreme
17 eastern part of the map area and well into Section 20.

18 These little reefal areas were based
19 upon a combination of subsurface sample control which I had
20 done, and certain wavelet. certain seismic wavelet anomaly
21 character changes that you see, which will be discussed by
22 our geophysical witness after I'm done here.

23 The outline, the colored, natural color
24 outlines refer to the maximum build-up of productive, what
25 we consider to be productive Strawn porosity at various

1 levels in the section.

2 The -- calling your attention to the
3 location indicated by 25-A No. 1, that's the 88 State
4 location in Case Number 9467, this is shown to lie on the
5 edge of a very small, area -- areally limited upper Strawn
6 reefal unit, which is productive in the Doubloon State, the
7 Nearburg Doubloon State 24-1 in the southeast quarter of
8 Section 24. Within the limits of resolution of the seismic
9 data we show this location for the 88 State Well to be at
10 the very edge, very marginal and extremely risky, in terms
11 of that unit alone. If we were to move that location any
12 further to the south, we would probably run the risk of
13 running out of that limiting reef development.

14 The size of this -- of this reef deve-
15 lopment is not unusual in the Strawn play. The Strawn
16 reefal units vary in size anywhere from a one-well unit,
17 one-well reef, to a multi-well unit, as I've shown by the
18 red area, for example, on this map, and they vary in size
19 across the Lovington Field, the Shipp Field, the Casey, and
20 the Humble City areas. Those are not unusually sized
21 features for this area.

22 In terms of the location for the Soledad
23 No. 1, I have shown this location to be very marginal, ex-
24 tremely risky, in terms of its penetration into the middle
25 reefal unit, the red unit, as I've shown it on the map.

1 Within the limits of the resolution of
2 the seismic data, this location appears to be very risky.
3 As Mr. Nearburg has previously stated, this actual drill-
4 ing is going to depend entirely upon what we see develop-
5 ing when we drill the 25-A No. 1, the 88 State Well, and
6 combine the data that we receive from that well with data
7 that we have -- that we are presently looking at from our
8 dry hole that was drilled in the northwest quarter of the
9 northwest quarter of Section 30.

10 Q All right, let's look at Exhibit Six.
11 Would you identify that and explain what that's intended to
12 reflect?

13 A Exhibit Number Six is a stratigraphic
14 cross section A-A', a west-to-east cross section which I've
15 indexed on the preceding Exhibit Number Five, going from
16 the Nearburg Doubloon State No. 24-P eastward into their
17 No. 1-19 Soledad in Section 19, down to the dry hole that
18 was just completed in the northwest quarter of Section 30,
19 across the proposed -- the area of the proposed location of
20 the 30-C Soledad No. 1, and then eastward to a Strawn dry
21 hole and then a productive Strawn well.

22 This cross section is designed essenti-
23 ally to show you how these various reefal units relate to
24 one another stratigraphically in a section, and also to
25 give you some idea of the size and lateral magnitude that

1 you can sometimes run into on each one of these units.

2 Taking a look at the Doubloon State 24-P
3 on the west side of the cross section, we see that produc-
4 tion from that well is primarily from a porous, reefal
5 facies near the top of the Strawn unit, top of the Strawn
6 limestone indicated by the dashed line that's the datum the
7 section is hung on.

8 You'll also notice that we've gotten
9 some good pressure, good shut-in pressure readings on RFT
10 tests in that unit of over 3350 pounds, but when you pro-
11 ceed over to the Soledad State 19-1, which is producing
12 from a reefal unit that is stratigraphically lower in the
13 section and which has been on-stream for a few more months,
14 we notice that RFT pressures in that particular unit are
15 averaging around 3,030 pounds. over 300 pounds less than
16 the unit that's producing out of the Doubloon State.

17 In my mind, based upon the stratigraphic
18 locations of the two productive units across these two
19 wells, these are two separate units. These are two differ-
20 ent units. The Doubloon State is higher stratigraphically
21 than the unit that's productive out of the Soledad.

22 The unit that is productive out of the
23 Soledad is totally absent from the dry hole in the north-
24 west quarter of Section 3, a location away we're totally
25 out of it. There's no sign that the -- that we're even

1 close.

2 Proceeding across where I would -- where
3 the 30-C No. 1 location is, I would hope to get into at
4 least the marginal part of the same unit that the 19 Sole-
5 dad Well was producing out of, but again it would be a very
6 narrow track that we're shooting for over here in terms of
7 that unit according to the seismic data that's going to be
8 presented here in a minute.

9 As you go further eastward you notice
10 again that the Yates Jacob State is totally out of the pro-
11 ductive facies except for a possible thin-bedded porosity
12 unit towards the base of the Strawn, where as you get fur-
13 ther east into Section 20 you pick up a unit that is indeed
14 stratigraphically a little bit lower, indicated in blue,
15 and it's produced over a million barrels of oil out of the
16 -- the Exxon No. 1 Monteith, or the Tidewater Exxon No. 1
17 Monteith.

18 So this cross section again just shows
19 the lateral, both the lateral discontinuity that these
20 reefal units are prone to and how difficult it may be to
21 predict where these units are going to develop. It's easy
22 to drill a dry hole just only a location away, or wet a
23 location away.

24 It also shows the vertical separation
25 among the Strawn reefal units, as indicated by the RFT

1 pressures.

2 Q Mr. Mazzullo, will the drilling of your
3 well at locations other than the proposed location pose a
4 risk that the well could be unsuccessful?

5 A Yes. Yes.

6 Q In your opinion will the granting of the
7 two applications be in the best interest of conservation,
8 the prevention of waste and protection of correlative
9 rights?

10 A Yes.

11 Q Were Exhibits Four, Five and Six prepar-
12 ed by you or at your direction?

13 A They were both prepared by me and at my
14 direction.

15 Q All right.

16 MR. HALL: We move the admis-
17 sion of Exhibits Four, Five and Six.

18 MR. CATANACH: Exhibits Four,
19 Five and Six will be admitted as evidence.

20 Q Do you have anything further you wish to
21 add?

22 A No.

23 MR. HALL: That concludes our
24 direct.

25 MR. CATANACH: I have no

1 questions of the witness.

2

3

TERRY E. DURHAM,

4 being called as a witness and being duly sworn upon his
5 oath, testified as follows, to-wit:

6

7

DIRECT EXAMINATION

8

BY MR. HALL:

9

Q Please state your name, by whom you're
10 employed and in what capacity.

11

A I'm Terry Durham. I'm an independent
12 geophysicist from Littleton, Colorado, and I'm on a con-
13 sulting basis for Nearburg Producing Company.

14

Q All right, Mr. Durham, have you pre-
15 viously testified before the Division or one of its exa-
16 miners?

17

A Yes, I have.

18

Q All right, you've had your credentials
19 accepted as matter of record?

20

A Yes, I have.

21

Q And, Mr. Durham, are you familiar with
22 the subject lands and applications here today?

23

A Yes, I am.

24

Q All right, let's refer back to Exhibit
25 Five, if you would, and please explain how you've used geo-

1 seismic information to define the location of the algal
2 mounds.

3 A I've used the seismic data to prepare
4 structure maps primarily in the search for algal mounds.
5 As Mr. Mazzullo alluded, they are subtle in this area and
6 do, in some cases, show a subtle nosing, which is indica-
7 tive of areas of interest.

8 I also prepare isochron maps of the
9 Strawn interval. This is a time interval, the Strawn, and
10 that's also an indication of thickness differences or mound
11 developments within the Strawn, and probably the most indi-
12 cative is a subtle seismic attributes in the data, which
13 are amplitude differences as well as phasing differences,
14 and those are drawn on the map and I've made an outline
15 which is shown in color on the Exhibit Number Five. The
16 outline associated with the Soledad 19-M seems to cover
17 quite a large area incorporating some four -- five other
18 wells in the area.

19 The only seismic anomaly associated with
20 the Doubloon Well seems to be isolated or separate from the
21 anomaly associated with the 19-M, as is shown by the color
22 difference on the map in Exhibit Number Five.

23 Q Do you have anything further you wish to
24 add?

25 A I might add that there are certain

1 limits of resolution in the seismic data. Using the re-
2 cording parameters that we have with frequencies in the
3 range of 86 Hertz and the velocities, natural velocities of
4 the rock that we're looking at, we're looking at limits of
5 resolution in the order of 80 feet. That means that a
6 particular horizon must be at least 80 feet thick in order
7 to actually map the top and base and in this case we have
8 no problem because it's at least 100 feet thick in here.

9 However, in some cases the mound growth
10 is thicker than regional thickness. That's going to help
11 out in showing the mound development.

12 That's all I have.

13 Q The seismic techniques you've utilized
14 in helping to prepare Exhibit Five considered to be reli-
15 able by geophysicists?

16 A They're standard techniques that are
17 used by other geophysicists, yes.

18 MR. HALL: All right. That
19 concludes our direct of this witness.

20

21 CROSS EXAMINATION

22 BY MR. CATANACH:

23 Q Do you know if seismic -- seismic has
24 been used in this area before to define structures and de-
25 termine well locations?

1 A Yes, it has. It's been used more pro-
2 bably in the last five or six years because of recent tech-
3 niques in recording higher frequencies and increasing reso-
4 lution of seismic data.

5 It's been used very successfully in the
6 area. I think using seismic data increases the chance for
7 virtually a 1-in-2 success ratio.

8 Q Now, you said you didn't have any prob-
9 lems with the resolution because these structures were
10 greater than 80 feet thick, is that what you said?

11 A Yes, in this area they are greater than
12 that. I might add that there may be some stringers of por-
13 osity that are thinner than the resolution limits that I
14 mentioned and those -- I want to backtrack and mention that
15 this outline would represent a maximum, maximum area, if
16 you will, of resolution.

17 So then the actual outline may be
18 slightly larger than what's indicated beyond the limits of
19 the resolution of the seismic data.

20 Q So the smaller stringers wouldn't --
21 just wouldn't show up.

22 A Right.

23 MR. CATANACH: I have no fur-
24 ther questions of the witness. He may be excused.

25

1 TIMOTHY R. MacDONALD,
2 being called as a witness and being duly sworn upon his
3 oath, testified as follows, to-wit:

4

5

DIRECT EXAMINATION

6

BY MR. HALL:

7

8

 Q For the record, please state your name,
by who you're employed, and in what capacity.

9

10

11

 A Timothy R. MacDonald, employed by Near-
burg Producing Company as Engineering Manager in Dallas,
Texas.

12

13

14

 Q Mr. MacDonald, have you previously had
your qualifications made a matter of record before the Div-
ision or one of its examiners?

15

16

17

18

 A Yes.

19

20

21

 Q And are you familiar with the subject
application and subject lands here for both combined appli-
cations?

22

23

24

 A Yes, I have.

25

 Q All right, let's look at Exhibit Seven
and would you explain what that's intended to reflect?

1 A Exhibit Seven, what I've tried to do
2 again is show a potential radius from the Devonian well
3 based on the pay taken off the logs, the porosities taken
4 off the log. the water saturation taken off the log, and
5 using 18 percent recovery, which is high to typical for a
6 solution gas drive reservoir like we're looking at here.

7 I based my reserves on 150,000 barrels
8 of oil, which actually gives you a drainage radius that
9 corresponds with what the seismic and geologic data is
10 showing as far as the potential extent of the reservoir,
11 and based on all those calculations what I've come up with
12 is a drainage area of about 77 acres and that gives a
13 drainage radius of 1031 feet which is shown by a red circle
14 on the exhibit.

15 One of the questions that has to be an-
16 swered is the red circle is larger than what they've shown
17 geologically and some of that may be due to what Mr. Durham
18 and Mr. Mazzullo commented to as the resolution problems
19 with the seismic, is you get off the center of the struc-
20 ture you'll get stringers which will contribute some pro-
21 duction possibly to the well which wouldn't be seen and
22 therefore not able to be mapped as far as their mapping
23 techniques.

24 Q All right. Let me establish for the re-
25 cord, is Exhibit Seven an isopach of the Strawn?

1 MR. HALL: We move the admis-
2 sion of Exhibit Seven.

3 MR. CATANACH: Exhibit Seven
4 will be admitted into evidence.

5
6 CROSS EXAMINATION

7 BY MR. CATANACH:

8 Q Mr. MacDonald, you said that the Doub-
9 loon Well will produce approximately 150,000 barrels of
10 oil?

11 A Well, that's -- that's the area that's
12 in the red circle. Based on a constant, you know, homo-
13 geneous reservoir, based on the characteristics in the
14 actual Doubloon wellbore.

15 This is all the control that we have at
16 this point.

17 Q So the drilling of the proposed well in
18 Section 25 will sharply reduce the recovery of the Doubloon
19 Well.

20 A Yes.

21 Q Okay. With the drilling of that propos-
22 ed well, how much do you think that the Doubloon Well will
23 produce, do you have an opinion?

24 A It's very hard to say because in the
25 Strawn reefs the reservoir quality is -- to do these calcu-

1 lations you have to base it on homogeneous reservoir but
2 when an interval is not truly homogeneous -- so without
3 more control it's really -- really impossible to say at
4 this point.

5 MR. CATANACH: That's all I
6 have of the witness.

7 He may be excused.

8 MR. HALL: We have nothing
9 further in the case.

10 MR. CATANACH: Being nothing
11 further in Case 9467 and 9469, they will be taken under
12 advisement.

13

14 (Hearing concluded.)

15

16

17

18

19

20

21

22

23

24

25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

C E R T I F I C A T E

I, SALLY W. BOYD, C. S. R. DO HEREBY CERTIFY that the foregoing Transcript of Hearing before the Oil Conservation Division (Commission) was reported by me; that the said transcript is a full, true and correct record of the hearing, prepared by me to the best of my ability.

Sally W. Boyd CSR

I do hereby certify that the foregoing is a complete record of the proceedings in the Examiner hearing of Case No. 9467 9469 heard by me on August 17 1988,
David R. Catalano, Examiner
Oil Conservation Division

OPTIONAL FORM NO. 10, MARCH 1963 EDITION GSA FPMR (41 CFR) 101-11.6