

1 STATE OF NEW MEXICO
2 ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
3 OIL CONSERVATION DIVISION
4 STATE LAND OFFICE BUILDING
5 SANTA FE, NEW MEXICO

6 24 May 1989

7 EXAMINER HEARING

8 IN THE MATTER OF:

9 Application of Texaco Producing, Inc. CASE
10 for pool reclassification, to rescind 9674
11 Division Order No. R-2439, as amended,
12 and to amend Division Order No. R-5353,
13 as amended, Lea County, New Mexico.

14 BEFORE: David R. Catanach, Examiner

15 TRANSCRIPT OF HEARING

16 A P P E A R A N C E S

17 For the Division:

18 For Texaco Producing, Inc.: Scott Hall
19 Attorney at Law
20 CAMPBELL and BLACK, P. A.
21 P. O. Box 2208
22 Santa Fe, New Mexico 87501
23
24
25

I N D E X

1		
2		
3	DENNIS WEHMEYER	
4	Direct Examination by Mr. Hall	3
5	Cross Examination by Mr. Catanach	8
6		
7	ANDREW COVER	
8	Direct Examination by Mr. Hall	12
9	Cross Examination by Mr. Catanach	16
10		
11	PRESSLY H. McCANCE	
12	Direct Examination by Mr. Hall	17
13		
14	DENNIS WEHMEYER RECALLED	
15	Recross Examination by Mr. Catanach	21
16		
17	E X H I B I T S	
18		
19	Texaco Exhibit One, Plat	4
20	Texaco Exhibit Two, Drainage Calculation	6
21	Texaco Exhibit Three, Curves	13
22	Texaco Exhibit Four, GOR Plots	14
23	Texaco Exhibit Five, Structural Map	17
24	Texaco Exhibit Six, Cross Section	17
25	Texaco Exhibit Seven, Notice	7

1 MR. CATANACH: At this time
2 we'll call Case Number 9674, the application of Texaco,
3 Producing, Inc., for pool reclassification and to rescind
4 Division Order No. R-2439, as amended, and to amend Divi-
5 sion Order No. R-5353, as amended, Lea County, New Mexico.

6 Are there appearances in this
7 case?

8 MR. HALL: Mr. Examiner, Scott
9 Hall from the Campbell & Black law firm of Santa Fe, on
10 behalf of Texaco, with three witnesses this morning.

11 MR. CATANACH: Any other ap-
12 pearances?

13 Will the witnesses please
14 stand and be sworn in.

15
16 (Witnesses sworn.)
17

18 DENNIS WEHMEYER,
19 being called as a witness and being duly sworn upon his
20 oath, testified as follows, to-wit:

21
22 DIRECT EXAMINATION

23 BY MR. HALL:

24 Q For the record, please state your name.

25 A My name is Dennis Wehmeyer.

1 Q Mr. Wehmeyer, for whom do you work,
2 where, and in what capacity?

3 A I work for Texaco as the District
4 Operations Engineer in Hobbs, New Mexico.

5 Q And you're subject with -- you're fami-
6 liar with the subject application (unclear) are you not?

7 A Yes, I am.

8 Q You've previously testified before this
9 examiner and has your credentials accepted?

10 A Yes, I have.

11 Q Briefly state what it is Texaco is
12 seeking today.

13 A Texaco seeks an order rescinding Order
14 R-2439, which established special pool rules for the West
15 Jal Strawn Pool with 640-acre spacing and replacing them
16 with the general rules for associated pools in southeast
17 New Mexico under R -- under Order R-5353, which provides
18 for 40-acre oil and 320-acre gas spacing and proration
19 units.

20 Q All right, and I understand you prepared
21 certain exhibits this morning.

22 Let's look at Exhibit One and if you
23 would explain that to the examiner.

24 A Exhibit One is a plat showing the
25 boundary of the pool, of the West Jal Strawn Pool. It's

1 highlighted in yellow.

2 There have been three wells that have
3 produced from the pool. The top well in Section 8 is the
4 C. E. Elliott Fed No. 1. That well is currently producing,
5 as you can see to the side there, it gives the cumulative
6 that he current rates of production.

7 The next well south in Section 17 is the
8 West Jal B No. 1. That well is currently plugged and
9 abandoned with the cums to the right there.

10 The well, southern well, in Section 20,
11 is the West Jal Unit. Of course to the right there we have
12 the cumulatives and it is also currently plugged and aban-
13 doned.

14 We might note, we have two proposed re-
15 completions. Out of the three wells two are plugged, one's
16 active. We also have two proposed recompletions, the West
17 Jal B Deep No. 1, which is in Section 17. It is north and
18 east of the West Jal B No. 1. We propose to recomplete
19 that well to the Strawn.

20 And also we have another proposed recom-
21 pletion, the West Jal A No. 1, which is located in Section
22 21, kind of south and east of the West Jal Unit.

23 Q All right, and the producing well, the
24 Elliott, is that classified as an oil well?

25 A Yes, it is.

1 Q All right. Let's look at Exhibit Two,
2 if you would explain that to the examiner.

3 A Exhibit Two are some drainage calcula-
4 tions and I worked up on the West Jal B and the West Jal
5 Unit. I only did on those two wells since they have the
6 highest cums.

7 The first one, the West Jal B, I calcu-
8 lated an approximate drainage area of 314 acres, while the
9 West Jal Unit was calculated at approximately 180 acres.
10 To me it indicates that the wells are not capable of drain-
11 ing 640 acres, the gas wells, that is, and they should be
12 classified as one field draining 320.

13 Q All right. And that's the reason that
14 you're recommending that associated rules be implemented
15 for this pool?

16 A That is correct.

17 Q Do you recommend that the oil wells and
18 gas well completions in this pool be defined on the basis
19 of the GOR's --

20 A Yes.

21 Q -- as defined in Order R-5353?

22 A Yes.

23 Q Are there wells in the pool that will be
24 at an unorthodox location as a result of the adoption of
25 the proposed pool rules?

1 A No.

2 Q Mr. Wehmeyer, in your opinion will the
3 granting of this application be in the best interest of
4 conservation, the prevention of waste, and the protection
5 of correlative rights?

6 A Yes, it will.

7 Q Let me have you look at Exhibit Seven.
8 Is Exhibit Seven the notice that you've directed your
9 counsel to send to all interested parties?

10 A Yes, it is.

11 Q And let me ask you, are there any cur-
12 rent -- are there any operators currently operating wells
13 within one mile of the pool boundaries?

14 A No, there are not.

15 Q All right. Were Exhibit One, Two and
16 Seven prepared by you or at your direction?

17 A Yes, they were.

18 Q All right.

19 MR. HALL: At this time we'd
20 move the admission of Exhibits One, Two and Seven and that
21 concludes our direct of this witness.

22 MR. CATANACH: Exhibits One,
23 Two and Seven will be admitted as evidence.

24

25

CROSS EXAMINATION

1
2 BY MR. CATANACH:

3 Q Mr. Wehmeyer, all the acreage in the
4 subject pool at this time, is that all Texaco's acreage?

5 A Not all of it. There is some acreage in
6 Section 17 to the west and in Section 20 that are not
7 leased by Texaco.

8 Q Who operates that acreage?

9 A It is Yates, MYCO and there's one other
10 operator, it's in my notes here, MYCO, Yates and Abo Petro-
11 leum, and there's some unleased acreage owned by Mr. Din-
12 widdie, also. They all were provided notice.

13 Q This pool's been in existence for a long
14 time, hasn't it?

15 A Since 1965, '65, yes.

16 Q Was Texaco involved in the original
17 case?

18 A Yes, Texaco-- well, Skelly, a predeces-
19 sor was the one that filed originally for the 640 acres.

20 Q Do you know which was the discovery well
21 for this pool?

22 A The discovery was the -- let's see, I
23 can tell you in a second -- it was the -- it was the West
24 Jal Unit or the West Jal B Unit. I'm trying to remember
25 which one. It was the West Jal Unit No. 1 in Section 20

1 down there.

2 Q You just volumetrically calculated your
3 reserves for the two wells, is that correct?

4 A Well, the reserves are the actual cumu-
5 lative production that I was backing into a drainage
6 radius, and then the acres that were drained. So I really
7 backed into that using the actual cums produced from the
8 wells.

9 Q Both of those wells have been plugged,
10 right?

11 A Yes, both those two gas wells, 17 and 20
12 have been plugged.

13 Q Do you know what these wells are making
14 at the time they were plugged?

15 A Yeah, we've got them on the next exhi-
16 bits. They were making --

17 Q If it's in a later exhibit --

18 A We'll have a later exhibit, production
19 decline curves showing the last rates, approximately 100
20 MCF, maybe a little bit better. We've got some water
21 problems with them, also, though.

22 Q Is it -- is it your opinion, Mr. Weh-
23 meyer, that all the reserves in Section 17 and 20 were not
24 recovered by those two wells?

25 A Yes, it is.

1 Q And do you plan to continue developing
2 -- developing those two sections?

3 A We plan to continue development of Sec-
4 tion 17 by the recompletion of the West Jal Deep No. 1,
5 which is that well over to the east side of the section in
6 Section 20.

7 We have the well in Section 21 which we
8 plan to recomplete that well and into the Strawn. So we
9 don't have any present plans for Section 20 at the moment.
10 We will be looking at that -- those sections upon evalua-
11 tion of the recompletions on the other two wells.

12 Q Where is that West Jal B Deep No. 1
13 located?

14 A That is -- it's in the northeast quarter
15 of Section 17. It's near the east line of the section
16 there. It's marked 1-B. You can see it. You can barely
17 see it there. I think it's 1980 from the north line and 660
18 from the east line.

19 Q What do you -- if you get 320-acre spac-
20 ing, how do you propose to continue development in Section
21 8 (not clearly heard) --

22 A As far as Section 8 goes, the Elliott
23 Well, the well is nearing depletion. We are currently
24 evaluating the uphole potential on that well at this
25 moment. A lot of it really depends on the recompletions

1 on these existing two wells. We are trying to utilize the
2 current completions to test the Strawn that we have avail-
3 able. Upon favorable results we will consider drilling of
4 additional wells in the pool. It's -- a lot of it depends
5 on our proposed work that we have pending right now,
6 though.

7 Q Was (unclear) -- if all that acreage in
8 Section 8 was Texaco's or was that communitized sometime?

9 A That's -- as far as I know, it's all
10 Texaco.

11 Q What I'm trying to get at is if you re-
12 duce the proration units to a 320 unit, who's going to be
13 affected in Section 8?

14 A It would just be Texaco. We own all --
15 the whole section. The acreage still would be, let's see,
16 as far as I know the whole section is still HBP, held by
17 production by Texaco with the existing with the existing
18 well.

19 Q And that's a Federal lease.

20 A That's correct, yes.

21 MR. CATANACH; That's all the
22 questions I have of the witness at this time. He may be
23 excused.

24

25

1 ANDREW COVER,

2 being called as a witness and being duly sworn upon his
3 oath, testified as follows, to-wit:

4
5 DIRECT EXAMINATION

6 BY MR. HALL:

7 Q For the record would you please state
8 your name?

9 A Andrew Cover.

10 Q Mr. Cover, where do you live, by whom
11 are you employed, and in what capacity?

12 A I live in Hobbs and I'm employed by
13 Texaco as a production engineer.

14 Q All right. And you have not previously
15 testified before the Division, have you?

16 A No.

17 Q If you would, please, give the Examiner
18 a brief summary of your educational background and work
19 experience.

20 A I received my BS degree in petroleum
21 natural gas engineering from Penn State in 1982.

22 I worked for Getty in the Texas and
23 Oklahoma panhandle for three years as a production engineer
24 and I worked for Texaco in southeast Lea County for four
25 years as a production engineer.

1 I'm currently a registered petroleum
2 engineer in the State of New Mexico.

3 Q All right, and you're familiar with the
4 application here today and the lands affected, are you not?

5 A Yes, I am.

6 MR. HALL: Are the witness'
7 credentials acceptable?

8 MR. CATANACH: They are.

9 Q Mr. Cover, I understand that you've pre-
10 pared certain exhibits in conjunction with your hearing.
11 Would you refer to Exhibit Three and explain that to the
12 examiner, please, sir?

13 A Exhibit Number Three are production
14 curves on the three wells that have produced from the
15 Strawn in this pool.

16 This first one is on the C Elliott
17 Federal No. 1. It was completed in the Strawn in November
18 of '65 and cumulative production was 81,000 barrels and 198
19 MMCF to date; it's still producing, marginal production.

20 The gravity of the oil on this well is
21 41 degrees API gravity.

22 The next curve is on the West Jal B No.
23 1. It was completed in the Strawn in June of 1964. It has
24 made a cumulative of 5.1 BCF of gas and 73 MBO as of aban-
25 donment in March of '76. Abandonment on this well was due

1 to water influx, as can be seen by this curve. It made
2 producing the well uneconomical.

3 The next curve is West Jal Unit No. 1.
4 It was completed in the Strawn in January of '63. Cumu-
5 lative production is 4.2 BCF and 82,000 barrels of oil at
6 abandonment in 1972. The gravity of the oil in this well
7 was 49 degrees API.

8 I'd like to go back, on the West Jal B
9 No. 1 the gravity of the oil was 52 degrees API.

10 Q All right. Do you have anything further
11 to add with respect to Exhibit Three?

12 A No, that would be it.

13 Q All right, let's look at Exhibit Four,
14 if you would identify that and explain that, please.

15 A Okay. Exhibit Four are GOR plots for
16 the same wells.

17 The first well is the C. E. Elliott
18 Federal No. 1 showing that the GORs in this well have
19 generally run around 5,000 MCF per barrel, 5000 and lower,
20 depending on the (unclear).

21 The West Jal B shows a GOR of approxi-
22 mately 100,000 MCF per barrel.

23 The West Jal Unit has ranged from 50,000
24 to 250,000 MCF per barrel.

25 The point of these curves is that the

1 Elliott has made a significantly lower GOR than the other
2 two wells in the field.

3 Q All right. What conclusions are you
4 able to draw from the Exhibits Three and Four?

5 A That there is some discontinuity in the
6 reservoir and that it could be difficult to drain 320
7 acres. I'd also like to note in the West Jal B Deep, which
8 is one of the wells we plan to workover into the Strawn, it
9 was drilled in December of 1975 at approximately abandon-
10 ment date of both -- of all three wells -- well, of these
11 two wells and the Elliott is still producing.

12 However, while we were drilling the
13 Strawn pay in that well, it had a good show of gas while
14 drilling with 11.4 pound mud. It had a gas flow go from 4
15 foot to 9 foot in that Strawn pay, also indicating that we
16 hadn't drained 640 acres because this well, this B Deep is
17 only 1400 foot from the West Jal Deep Well.

18 Q So the production characteristics and
19 the widely varying GORs among the three wells indicated to
20 you that there are significant discontinuities in the re-
21 servoir among the three wells, is that correct?

22 A Yes, it did.

23 Q All right, in your view can this pool be
24 efficiently and effectively drained by wells drilled on 640
25 acre spacing?

1 A No.

2 Q All right. Do you have anything further
3 you wish to add?

4 A No, that would be it.

5 Q All right, were Exhibits Three and Four
6 prepared by you or at your direction?

7 A They were prepared by me.

8 MR. HALL: At this time we'd
9 move the admission of Exhibits Three and Four.

10 That concludes our direct of
11 this witness.

12 MR. CATANACH: Exhibits Three
13 and Four will be admitted as evidence in this case.

14

15 CROSS EXAMINATION

16 BY MR. CATANACH:

17 Q Mr. Cover, why was the West Jal Unit
18 Well abandoned?

19 A The West Jal Unit Well was abandoned due
20 to poor economics. It was only -- at the time it was only
21 making about 70 MCF a day and approximately a barrel and a
22 half of condensate.

23

24

25

1 PRESSLY H. McCANCE,
2 being called as a witness and being duly sworn upon his
3 oath, testified as follows, to-wit:
4

5 DIRECT EXAMINATION

6 BY MR. HALL:

7 Q For the record please state your name.

8 A Pressly H. McCance.

9 Q Mr. McCance, where do you live, by whom
10 are you employed and in what capacity?

11 A I live in Midland, Texas. I'm employed
12 by Texaco Producing, Incorporated, where I'm development
13 geologist.

14 Q And you've previously testified before
15 the examiner and had your credentials accepted, have you
16 not?

17 A Yes, I have.

18 Q Are you familiar with the subject appli-
19 cation and the lands involved?

20 A Yes, I am.

21 Q All right, Mr. McCance, I understand
22 you've prepared certain exhibits. Let's look at Exhibit
23 Five, if you would explain that to the examiner, please.

24 A All right. Exhibit Five is a structure
25 map contoured on the top of the Strawn. It's based on

1 fusulinid data.

2 It shows the current Strawn producing
3 wells and those that have been plugged, as well as other
4 production in the area. The West Jal Unit outline is
5 indicated in green. The significant features of the map
6 are some -- some faults, a reverse fault and normal fault
7 which define the eastern boundary of the field and the
8 position of the West Jal B Deep, which is located in -- in
9 unit letter H of Section 17, which is the proposed work-
10 over, shows that it's roughly 100 feet up dip from the
11 West Jal B No. 1, which is plugged.

12 I might add that the West Jal Federal
13 No. 1, located down in Section 21 is also being looked at
14 for a proposed workover in the Upper Strawn that's --
15 there's a reverse fault that cuts that well and there are
16 two fault blocks. The Lower Strawn or the Second -- Second
17 Strawn was perforated and they had plans to work over the
18 Upper Strawn at a future date.

19 Let's see, the faults were picked from
20 -- from Paleo data and the significant well is the well in
21 Section 21 where you can actually see the fault cuts in the
22 Strawn.

23 I guess that's about all.

24 Q The location of the faults running north
25 and south through Sections 9, 16 and 21 would seem to pre-

1 clude drainage across anything more than 320 acres, is that
2 not correct?

3 A I believe so.

4 Q All right, let's look at Exhibit Six, if
5 you would explain that, please.

6 A Exhibit Six is a structural cross sec-
7 tion that runs north/south through the West Jal Unit. The
8 proposed re-entry is the second well from the left, as
9 indicated.

10 The color coding is the fusulinid data
11 that I used to pick my formation tops. The pink color is
12 -- is -- represents Strawn fusulinids. The proposed loca-
13 tions are indicated for the proposed workover, as well as
14 the other perforations in the wells. The significant
15 features on the cross section are the faults on the south
16 part of the cross section, or the righthand side, that
17 actually cuts the -- cuts the Strawn; the farthestmost (sic)
18 fault is a reverse fault and the one just to the left of
19 that is a normal fault, and that -- those faults were
20 placed using Paleo data.

21 Now there are some -- there are discon-
22 tinuities suggested by the cross section. There's some --
23 some of the porosity correlates and some of the porosity
24 doesn't correlate. Most significantly is right above the
25 dashed correlation line there's some perforations in the

1 West Jal B No. 1 with porosity indicated on the sonic log.
2 Corresponding porosity in the West Jal B Deep is -- doesn't
3 appear to be present, suggesting that there are discontinuities
4 in the reservoir. I might add that the Elliott
5 Federal, given the different gravity of oil, might suggest
6 that it is fault separated from the other Strawn production
7 in the area. Based on well control I wasn't able to place
8 a fault between the wells but there is a good possibility
9 that it is fault separated further adding to the discontinuities
10 in the reservoir.

11 I guess that's about all.

12 Q Mr. McCance, is it your view that the
13 discontinuous nature of the reservoir would preclude efficient
14 and economic recovery of hydrocarbons by wells
15 drilled on 640-acre spacing --

16 A Yes.

17 Q -- as opposed to 320?

18 A Yes, I think 320 would be necessary to
19 drain the reserves.

20 Q All right. Were Exhibits Five and Six
21 prepared by you?

22 A Yes, they were.

23 MR. HALL: We'd move the admission
24 of Exhibits Five and Six, and that concludes our
25 direct of this witness.

1 MR. CATANACH: Exhibits Five
2 and Six will be admitted as evidence.

3 I have no questions of the
4 witness.

5
6 DENNIS WEHMEYER,
7 being recalled as a witness and remaining under oath,
8 testified as follows, to-wit:

9
10 RECROSS EXAMINATION

11 BY MR. CATANACH:

12 Q Just a couple more questions, Mr. Weh-
13 meyer.

14 A Uh-huh.

15 Q How would -- what gas/oil ratio would be
16 -- or would the separation between the gas and oil wells be
17 100,000-to-1 or is that what you propose? Is that how you
18 propose it?

19 A We're proposing the standard rules in
20 associated pools. It's -- of course, the limiting gas/oil
21 ratio would be 2000-to-1. The -- according to standard
22 rules, associated pools it's 30,000.

23 Q 30,000?

24 A Yes, that's what we're proposing, is
25 standard.

1 Q Would that put the Elliott as -- would
2 it remain as a gas well?

3 A The Elliott would still remain as an oil
4 well.

5 Q An oil well.

6 A Yes.

7 Q I guess in that (unclear) you would de-
8 dicate 40 acres to that well.

9 A Yes, 40 acres would be dedicated to the
10 Elliott proposed recompletion. For the West Jal B Deep the
11 east half of 17 would be dedicated, and the West Jal A in
12 Section 21, I'm assuming the west half of 21. I'll have to
13 check on that exactly, though, since we're just looking at
14 it. We haven't done the work yet.

15 Q So you're anticipating that the well,
16 the two recompletions are going to be gas?

17 A We anticipate, we're processing the
18 paper work on the well in 17, Section 17. We anticipate it
19 to be a gas well. Preliminary look at the well in Section
20 21, we're estimating it to be a gas well, also, at this
21 time.

22 Q Were these the only three wells drilled
23 in the pool, to your knowledge?

24 A Those are the only three wells that were
25 completed in the pool. Now one thing that you might note,

1 the well in Section 21, the proposed recompletion of the
2 West Jal A No. 1, it was perforated in that second Strawn.
3 There's a couple Strawns in the well due to that fault.
4 The second Strawn was perforated and tested and subse-
5 quently shut in. When we came back, opened the well up, it
6 wasn't there any more. We couldn't produce it or it would
7 produce at a very low rate. It tested at first around
8 5-600 MCF a day. When we came back to open the well up
9 down a sales line, it was producing less than 100, more
10 like 50 MCF a day. We abandoned it, abandoned the Second
11 Strawn right then; couldn't afford to produce it.

12 So it was perforated in the Second
13 Strawn but it never really produced from the pool.

14 And now we have that First Strawn that
15 we want to come up, come up the hole and test.

16 Q Do you have any estimates on what kind
17 of additional reserves you could produce from the 17 --
18 from Section 17 and from Section 21?

19 A The work that we've looked at on Section
20 17, we're estimating approximately half a BCF gas, due to
21 partial drainage; 3000 barrels of condensate; I said
22 3-to-5000 barrels, 3-to-5000 barrels.

23 The well in Section 21, we're looking at
24 some similar type reservoir reserves, maybe even less than
25 the well in Section 17. It's more indeterminate for the

1 West Jal A in Section 21.

2 Q Are you proposing these 320 rules being
3 a permanent part of R-5353?

4 A Yes, we are.

5 MR. CATANACH: That's all the
6 questions I have. He may be excused.

7 MR. HALL: We have nothing
8 further.

9 MR. CATANACH: Being nothing
10 further in this case it will be taken under advisement.

11

12 (Hearing concluded.)

13

14

15

16

17

18

19

20

21

22

23

24

25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

C E R T I F I C A T E

I, SALLY W. BOYD, C. S. R. DO HEREBY CERTIFY that the foregoing Transcript of Hearing before the Oil Conservation Division (Commission) was reported by me; that the said transcript is a full, true and correct record of the hearing, prepared by me to the best of my ability.

Sally W. Boyd CSR

I do hereby certify that the foregoing is a complete record of the proceedings in the Examiner hearing of Case No. 9671, heard by me on May 21, 1959.

David R. Cutamb, Examiner
Oil Conservation Division

NEW MEXICO OIL CONSERVATION COMMISSION

EXAMINER HEARING

SANTA FE, NEW MEXICO

Hearing Date MAY 24, 1989 Time: 8:15 A.M.

NAME	REPRESENTING	LOCATION
Scott Tanberg Susan Courtwright	Robert Landrath Phillips Petroleum	Midland TX Odessa, TX
David A. Brown DENNIS LEMMON	Phillips Petroleum TEXACO	Odessa, TX HOBBS, NM
Tim R. Jucy	Midland Phoenix Corp	Midland, TX.
Bob Huber	Byram	Santa Fe
J. Bruce	Humble Law Firm	Albuquerque Midland, TX,
W. R. Conrad	Charles B. Gillespie Jr.	Midland, TX,
P. W. McCance	TEXACO	Midland, TX
Scott Hall	Campbell & Black	SF
William A. Jay	Campbell & Black, P.A.	Santa Fe
Cary J. Green	Enron Oil & Gas	Midland, Texas
Paul Allen	Fred Paul Pulley	Roswell
Fred Paul Pulley	Fred Paul Pulley	Raw
Bill Clark	Bluebird Nichols	Bingo Co

NEW MEXICO OIL CONSERVATION COMMISSION

EXAMINER HEARING

SANTA FE, NEW MEXICO

Hearing Date MAY 24, 1989 Time: 8:15 A.M.

NAME	REPRESENTING	LOCATION
<i>W. Keller</i>	<i>Keller Keller Aubrey</i>	<i>Santa Fe</i>
<i>Ernest L. Padilla</i>	<i>Padilla + Snyder</i>	<i>SF</i>
<i>Bob M. M. [unclear]</i>	<i>ENRON Oil & Gas Company</i>	<i>Midland, TX</i>
<i>Billy Helms</i>	<i>Enron Oil & Gas</i>	<i>Midland, TX</i>
<i>Went Beers</i>	<i>Meridian Oil Inc.</i>	<i>Farmington NM</i>
<i>Jim [unclear]</i>	<i>Midland Phoenix Corp</i>	<i>Midland TX</i>
<i>James L. Cherryhomes</i>	<i>ENRON OIL & GAS</i>	<i>Midland Texas</i>
<i>B. CRAIG DUKE</i>	<i>MIDLAND PHOENIX Corp.</i>	<i>MIDLAND, TX</i>

1 STATE OF NEW MEXICO
2 ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
3 OIL CONSERVATION DIVISION
4 STATE LAND OFFICE BUILDING
5 SANTA FE, NEW MEXICO

6 24 May 1989

7 EXAMINER HEARING

8 IN THE MATTER OF:

9 Application of Texaco Producing, Inc. CASE
10 for pool reclassification, to rescind 9674
11 Division Order No. R-2439, as amended,
12 and to amend Division Order No. R-5353,
13 as amended, Lea County, New Mexico.

14 BEFORE: David R. Catanach, Examiner

15 TRANSCRIPT OF HEARING

16 A P P E A R A N C E S

17 For the Division:

18 For Texaco Producing, Inc.: Scott Hall
19 Attorney at Law
20 CAMPBELL and BLACK, P. A.
21 P. O. Box 2208
22 Santa Fe, New Mexico 87501
23
24
25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

I N D E X

DENNIS WEHMEYER

Direct Examination by Mr. Hall 3
Cross Examination by Mr. Catanach 8

ANDREW COVER

Direct Examination by Mr. Hall 12
Cross Examination by Mr. Catanach 16

PRESSLY H. McCANCE

Direct Examination by Mr. Hall 17

DENNIS WEHMEYER RECALLED

Recross Examination by Mr. Catanach 21

E X H I B I T S

Texaco Exhibit One, Plat 4
Texaco Exhibit Two, Drainage Calculation 6
Texaco Exhibit Three, Curves 13
Texaco Exhibit Four, GOR Plots 14
Texaco Exhibit Five, Structural Map 17
Texaco Exhibit Six, Cross Section 17
Texaco Exhibit Seven, Notice 7

1 MR. CATANACH: At this time
2 we'll call Case Number 9674, the application of Texaco,
3 Producing, Inc., for pool reclassification and to rescind
4 Division Order No. R-2439, as amended, and to amend Divi-
5 sion Order No. R-5353, as amended, Lea County, New Mexico.

6 Are there appearances in this
7 case?

8 MR. HALL: Mr. Examiner, Scott
9 Hall from the Campbell & Black law firm of Santa Fe, on
10 behalf of Texaco, with three witnesses this morning.

11 MR. CATANACH: Any other ap-
12 pearances?

13 Will the witnesses please
14 stand and be sworn in.

15
16 (Witnesses sworn.)

17
18 DENNIS WEHMEYER,
19 being called as a witness and being duly sworn upon his
20 oath, testified as follows, to-wit:

21
22 DIRECT EXAMINATION

23 BY MR. HALL:

24 Q For the record, please state your name.

25 A My name is Dennis Wehmeyer.

1 Q Mr. Wehmeyer, for whom do you work,
2 where, and in what capacity?

3 A I work for Texaco as the District
4 Operations Engineer in Hobbs, New Mexico.

5 Q And you're subject with -- you're fami-
6 liar with the subject application (unclear) are you not?

7 A Yes, I am.

8 Q You've previously testified before this
9 examiner and has your credentials accepted?

10 A Yes, I have.

11 Q Briefly state what it is Texaco is
12 seeking today.

13 A Texaco seeks an order rescinding Order
14 R-2439, which established special pool rules for the West
15 Jal Strawn Pool with 640-acre spacing and replacing them
16 with the general rules for associated pools in southeast
17 New Mexico under R -- under Order R-5353, which provides
18 for 40-acre oil and 320-acre gas spacing and proration
19 units.

20 Q All right, and I understand you prepared
21 certain exhibits this morning.

22 Let's look at Exhibit One and if you
23 would explain that to the examiner.

24 A Exhibit One is a plat showing the
25 boundary of the pool, of the West Jal Strawn Pool. It's

1 highlighted in yellow.

2 There have been three wells that have
3 produced from the pool. The top well in Section 8 is the
4 C. E. Elliott Fed No. 1. That well is currently producing,
5 as you can see to the side there, it gives the cumulative
6 that he current rates of production.

7 The next well south in Section 17 is the
8 West Jal B No. 1. That well is currently plugged and
9 abandoned with the cums to the right there.

10 The well, southern well, in Section 20,
11 is the West Jal Unit. Of course to the right there we have
12 the cumulatives and it is also currently plugged and aban-
13 doned.

14 We might note, we have two proposed re-
15 completions. Out of the three wells two are plugged, one's
16 active. We also have two proposed recompletions, the West
17 Jal B Deep No. 1, which is in Section 17. It is north and
18 east of the West Jal B No. 1. We propose to recomplete
19 that well to the Strawn.

20 And also we have another proposed recom-
21 pletion, the West Jal A No. 1, which is located in Section
22 21, kind of south and east of the West Jal Unit.

23 Q All right, and the producing well, the
24 Elliott, is that classified as an oil well?

25 A Yes, it is.

1 Q All right. Let's look at Exhibit Two,
2 if you would explain that to the examiner.

3 A Exhibit Two are some drainage calcula-
4 tions and I worked up on the West Jal B and the West Jal
5 Unit. I only did on those two wells since they have the
6 highest cums.

7 The first one, the West Jal B, I calcu-
8 lated an approximate drainage area of 314 acres, while the
9 West Jal Unit was calculated at approximately 180 acres.
10 To me it indicates that the wells are not capable of drain-
11 ing 640 acres, the gas wells, that is, and they should be
12 classified as one field draining 320.

13 Q All right. And that's the reason that
14 you're recommending that associated rules be implemented
15 for this pool?

16 A That is correct.

17 Q Do you recommend that the oil wells and
18 gas well completions in this pool be defined on the basis
19 of the GOR's --

20 A Yes.

21 Q -- as defined in Order R-5353?

22 A Yes.

23 Q Are there wells in the pool that will be
24 at an unorthodox location as a result of the adoption of
25 the proposed pool rules?

1 A No.

2 Q Mr. Wehmeyer, in your opinion will the
3 granting of this application be in the best interest of
4 conservation, the prevention of waste, and the protection
5 of correlative rights?

6 A Yes, it will.

7 Q Let me have you look at Exhibit Seven.
8 Is Exhibit Seven the notice that you've directed your
9 counsel to send to all interested parties?

10 A Yes, it is.

11 Q And let me ask you, are there any cur-
12 rent -- are there any operators currently operating wells
13 within one mile of the pool boundaries?

14 A No, there are not.

15 Q All right. Were Exhibit One, Two and
16 Seven prepared by you or at your direction?

17 A Yes, they were.

18 Q All right.

19 MR. HALL: At this time we'd
20 move the admission of Exhibits One, Two and Seven and that
21 concludes our direct of this witness.

22 MR. CATANACH: Exhibits One,
23 Two and Seven will be admitted as evidence.

24

25

CROSS EXAMINATION

1
2 BY MR. CATANACH:

3 Q Mr. Wehmeyer, all the acreage in the
4 subject pool at this time, is that all Texaco's acreage?

5 A Not all of it. There is some acreage in
6 Section 17 to the west and in Section 20 that are not
7 leased by Texaco.

8 Q Who operates that acreage?

9 A It is Yates, MYCO and there's one other
10 operator, it's in my notes here, MYCO, Yates and Abo Petro-
11 leum, and there's some unleased acreage owned by Mr. Din-
12 widdie, also. They all were provided notice.

13 Q This pool's been in existence for a long
14 time, hasn't it?

15 A Since 1965, '65, yes.

16 Q Was Texaco involved in the original
17 case?

18 A Yes, Texaco-- well, Skelly, a predeces-
19 sor was the one that filed originally for the 640 acres.

20 Q Do you know which was the discovery well
21 for this pool?

22 A The discovery was the -- let's see, I
23 can tell you in a second -- it was the -- it was the West
24 Jal Unit or the West Jal B Unit. I'm trying to remember
25 which one. It was the West Jal Unit No. 1 in Section 20

1 down there.

2 Q You just volumetrically calculated your
3 reserves for the two wells, is that correct?

4 A Well, the reserves are the actual cumu-
5 lative production that I was backing into a drainage
6 radius, and then the acres that were drained. So I really
7 backed into that using the actual cums produced from the
8 wells.

9 Q Both of those wells have been plugged,
10 right?

11 A Yes, both those two gas wells, 17 and 20
12 have been plugged.

13 Q Do you know what these wells are making
14 at the time they were plugged?

15 A Yeah, we've got them on the next exhi-
16 bits. They were making --

17 Q If it's in a later exhibit --

18 A We'll have a later exhibit, production
19 decline curves showing the last rates, approximately 100
20 MCF, maybe a little bit better. We've got some water
21 problems with them, also, though.

22 Q Is it -- is it your opinion, Mr. Weh-
23 meyer, that all the reserves in Section 17 and 20 were not
24 recovered by those two wells?

25 A Yes, it is.

1 Q And do you plan to continue developing
2 -- developing those two sections?

3 A We plan to continue development of Sec-
4 tion 17 by the recompletion of the West Jal Deep No. 1,
5 which is that well over to the east side of the section in
6 Section 20.

7 We have the well in Section 21 which we
8 plan to recomplete that well and into the Strawn. So we
9 don't have any present plans for Section 20 at the moment.
10 We will be looking at that -- those sections upon evalua-
11 tion of the recompletions on the other two wells.

12 Q Where is that West Jal B Deep No. 1
13 located?

14 A That is -- it's in the northeast quarter
15 of Section 17. It's near the east line of the section
16 there. It's marked 1-B. You can see it. You can barely
17 see it there. I think it's 1980 from the north line and 660
18 from the east line.

19 Q What do you -- if you get 320-acre spac-
20 ing, how do you propose to continue development in Section
21 8 (not clearly heard) --

22 A As far as Section 8 goes, the Elliott
23 Well, the well is nearing depletion. We are currently
24 evaluating the uphole potential on that well at this
25 moment. A lot of it really depends on the recompletions

1 on these existing two wells. We are trying to utilize the
2 current completions to test the Strawn that we have avail-
3 able. Upon favorable results we will consider drilling of
4 additional wells in the pool. It's -- a lot of it depends
5 on our proposed work that we have pending right now,
6 though.

7 Q Was (unclear) -- if all that acreage in
8 Section 8 was Texaco's or was that communitized sometime?

9 A That's -- as far as I know, it's all
10 Texaco.

11 Q What I'm trying to get at is if you re-
12 duce the proration units to a 320 unit, who's going to be
13 affected in Section 8?

14 A It would just be Texaco. We own all --
15 the whole section. The acreage still would be, let's see,
16 as far as I know the whole section is still HBP, held by
17 production by Texaco with the existing with the existing
18 well.

19 Q And that's a Federal lease.

20 A That's correct, yes.

21 MR. CATANACH; That's all the
22 questions I have of the witness at this time. He may be
23 excused.

24

25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

ANDREW COVER,

being called as a witness and being duly sworn upon his oath, testified as follows, to-wit:

DIRECT EXAMINATION

BY MR. HALL:

Q For the record would you please state your name?

A Andrew Cover.

Q Mr. Cover, where do you live, by whom are you employed, and in what capacity?

A I live in Hobbs and I'm employed by Texaco as a production engineer.

Q All right. And you have not previously testified before the Division, have you?

A No.

Q If you would, please, give the Examiner a brief summary of your educational background and work experience.

A I received my BS degree in petroleum natural gas engineering from Penn State in 1982.

I worked for Getty in the Texas and Oklahoma panhandle for three years as a production engineer and I worked for Texaco in southeast Lea County for four years as a production engineer.

1 I'm currently a registered petroleum
2 engineer in the State of New Mexico.

3 Q All right, and you're familiar with the
4 application here today and the lands affected, are you not?

5 A Yes, I am.

6 MR. HALL: Are the witness'
7 credentials acceptable?

8 MR. CATANACH: They are.

9 Q Mr. Cover, I understand that you've pre-
10 pared certain exhibits in conjunction with your hearing.
11 Would you refer to Exhibit Three and explain that to the
12 examiner, please, sir?

13 A Exhibit Number Three are production
14 curves on the three wells that have produced from the
15 Strawn in this pool.

16 This first one is on the C Elliott
17 Federal No. 1. It was completed in the Strawn in November
18 of '65 and cumulative production was 81,000 barrels and 198
19 MCMCF to date; it's still producing, marginal production.

20 The gravity of the oil on this well is
21 41 degrees API gravity.

22 The next curve is on the West Jal B No.
23 1. It was completed in the Strawn in June of 1964. It has
24 made a cumulative of 5.1 BCF of gas and 73 MBO as of aban-
25 donment in March of '76. Abandonment on this well was due

1 to water influx, as can be seen by this curve. It made
2 producing the well uneconomical.

3 The next curve is West Jal Unit No. 1.
4 It was completed in the Strawn in January of '63. Cumu-
5 lative production is 4.2 BCF and 82,000 barrels of oil at
6 abandonment in 1972. The gravity of the oil in this well
7 was 49 degrees API.

8 I'd like to go back, on the West Jal B
9 No. 1 the gravity of the oil was 52 degrees API.

10 Q All right. Do you have anything further
11 to add with respect to Exhibit Three?

12 A No, that would be it.

13 Q All right, let's look at Exhibit Four,
14 if you would identify that and explain that, please.

15 A Okay. Exhibit Four are GOR plots for
16 the same wells.

17 The first well is the C. E. Elliott
18 Federal No. 1 showing that the GORs in this well have
19 generally run around 5,000 MCF per barrel, 5000 and lower,
20 depending on the (unclear).

21 The West Jal B shows a GOR of approxi-
22 mately 100,000 MCF per barrel.

23 The West Jal Unit has ranged from 50,000
24 to 250,000 MCF per barrel.

25 The point of these curves is that the

1 Elliott has made a significantly lower GOR than the other
2 two wells in the field.

3 Q All right. What conclusions are you
4 able to draw from the Exhibits Three and Four?

5 A That there is some discontinuity in the
6 reservoir and that it could be difficult to drain 320
7 acres. I'd also like to note in the West Jal B Deep, which
8 is one of the wells we plan to workover into the Strawn, it
9 was drilled in December of 1975 at approximately abandon-
10 ment date of both -- of all three wells -- well, of these
11 two wells and the Elliott is still producing.

12 However, while we were drilling the
13 Strawn pay in that well, it had a good show of gas while
14 drilling with 11.4 pound mud. It had a gas flow go from 4
15 foot to 9 foot in that Strawn pay, also indicating that we
16 hadn't drained 640 acres because this well, this B Deep is
17 only 1400 foot from the West Jal Deep Well.

18 Q So the production characteristics and
19 the widely varying GORs among the three wells indicated to
20 you that there are significant discontinuities in the re-
21 servoir among the three wells, is that correct?

22 A Yes, it did.

23 Q All right, in your view can this pool be
24 efficiently and effectively drained by wells drilled on 640
25 acre spacing?

1 A No.

2 Q All right. Do you have anything further
3 you wish to add?

4 A No, that would be it.

5 Q All right, were Exhibits Three and Four
6 prepared by you or at your direction?

7 A They were prepared by me.

8 MR. HALL: At this time we'd
9 move the admission of Exhibits Three and Four.

10 That concludes our direct of
11 this witness.

12 MR. CATANACH: Exhibits Three
13 and Four will be admitted as evidence in this case.

14

15 CROSS EXAMINATION

16 BY MR. CATANACH:

17 Q Mr. Cover, why was the West Jal Unit
18 Well abandoned?

19 A The West Jal Unit Well was abandoned due
20 to poor economics. It was only -- at the time it was only
21 making about 70 MCF a day and approximately a barrel and a
22 half of condensate.

23

24

25

1 PRESSLY H. McCANCE,

2 being called as a witness and being duly sworn upon his
3 oath, testified as follows, to-wit:

4
5 DIRECT EXAMINATION

6 BY MR. HALL:

7 Q For the record please state your name.

8 A Pressly H. McCance.

9 Q Mr. McCance, where do you live, by whom
10 are you employed and in what capacity?

11 A I live in Midland, Texas. I'm employed
12 by Texaco Producing, Incorporated, where I'm development
13 geologist.

14 Q And you've previously testified before
15 the examiner and had your credentials accepted, have you
16 not?

17 A Yes, I have.

18 Q Are you familiar with the subject appli-
19 cation and the lands involved?

20 A Yes, I am.

21 Q All right, Mr. McCance, I understand
22 you've prepared certain exhibits. Let's look at Exhibit
23 Five, if you would explain that to the examiner, please.

24 A All right. Exhibit Five is a structure
25 map contoured on the top of the Strawn. It's based on

1 fusulinid data.

2 It shows the current Strawn producing
3 wells and those that have been plugged, as well as other
4 production in the area. The West Jal Unit outline is
5 indicated in green. The significant features of the map
6 are some -- some faults, a reverse fault and normal fault
7 which define the eastern boundary of the field and the
8 position of the West Jal B Deep, which is located in -- in
9 unit letter H of Section 17, which is the proposed work-
10 over, shows that it's roughly 100 feet up dip from the
11 West Jal B No. 1, which is plugged.

12 I might add that the West Jal Federal
13 No. 1, located down in Section 21 is also being looked at
14 for a proposed workover in the Upper Strawn that's --
15 there's a reverse fault that cuts that well and there are
16 two fault blocks. The Lower Strawn or the Second -- Second
17 Strawn was perforated and they had plans to work over the
18 Upper Strawn at a future date.

19 Let's see, the faults were picked from
20 -- from Paleo data and the significant well is the well in
21 Section 21 where you can actually see the fault cuts in the
22 Strawn.

23 I guess that's about all.

24 Q The location of the faults running north
25 and south through Sections 9, 16 and 21 would seem to pre-

1 clude drainage across anything more than 320 acres, is that
2 not correct?

3 A I believe so.

4 Q All right, let's look at Exhibit Six, if
5 you would explain that, please.

6 A Exhibit Six is a structural cross sec-
7 tion that runs north/south through the West Jal Unit. The
8 proposed re-entry is the second well from the left, as
9 indicated.

10 The color coding is the fusulinid data
11 that I used to pick my formation tops. The pink color is
12 -- is -- represents Strawn fusulinids. The proposed loca-
13 tions are indicated for the proposed workover, as well as
14 the other perforations in the wells. The significant
15 features on the cross section are the faults on the south
16 part of the cross section, or the righthand side, that
17 actually cuts the -- cuts the Strawn; the farthestmost (sic)
18 fault is a reverse fault and the one just to the left of
19 that is a normal fault, and that -- those faults were
20 placed using Paleo data.

21 Now there are some -- there are discon-
22 tinuities suggested by the cross section. There's some --
23 some of the porosity correlates and some of the porosity
24 doesn't correlate. Most significantly is right above the
25 dashed correlation line there's some perforations in the

1 West Jal B No. 1 with porosity indicated on the sonic log.
2 Corresponding porosity in the West Jal B Deep is -- doesn't
3 appear to be present, suggesting that there are discontinu-
4 ities in the reservoir. I might add that the Elliott
5 Federal, given the different gravity of oil, might suggest
6 that it is fault separated from the other Strawn production
7 in the area. Based on well control I wasn't able to place
8 a fault between the wells but there is a good possibility
9 that it is fault separated further adding to the discon-
10 tinuities in the reservoir.

11 I guess that's about all.

12 Q Mr. McCance, is it your view that the
13 discontinuous nature of the reservoir would preclude effi-
14 cient and economic recovery of hydrocarbons by wells
15 drilled on 640-acre spacing --

16 A Yes.

17 Q -- as opposed to 320?

18 A Yes, I think 320 would be necessary to
19 drain the reserves.

20 Q All right. Were Exhibits Five and Six
21 prepared by you?

22 A Yes, they were.

23 MR. HALL: We'd move the ad-
24 mission of Exhibits Five and Six, and that concludes our
25 direct of this witness.

1 MR. CATANACH: Exhibits Five
2 and Six will be admitted as evidence.

3 I have no questions of the
4 witness.

5
6 DENNIS WEHMEYER,
7 being recalled as a witness and remaining under oath,
8 testified as follows, to-wit:

9
10 RE CROSS EXAMINATION

11 BY MR. CATANACH:

12 Q Just a couple more questions, Mr. Weh-
13 meyer.

14 A Uh-huh.

15 Q How would -- what gas/oil ratio would be
16 -- or would the separation between the gas and oil wells be
17 100,000-to-1 or is that what you propose? Is that how you
18 propose it?

19 A We're proposing the standard rules in
20 associated pools. It's -- of course, the limiting gas/oil
21 ratio would be 2000-to-1. The -- according to standard
22 rules, associated pools it's 30,000.

23 Q 30,000?

24 A Yes, that's what we're proposing, is
25 standard.

1 Q Would that put the Elliott as -- would
2 it remain as a gas well?

3 A The Elliott would still remain as an oil
4 well.

5 Q An oil well.

6 A Yes.

7 Q I guess in that (unclear) you would de-
8 dicate 40 acres to that well.

9 A Yes, 40 acres would be dedicated to the
10 Elliott proposed recompletion. For the West Jal B Deep the
11 east half of 17 would be dedicated, and the West Jal A in
12 Section 21, I'm assuming the west half of 21. I'll have to
13 check on that exactly, though, since we're just looking at
14 it. We haven't done the work yet.

15 Q So you're anticipating that the well,
16 the two recompletions are going to be gas?

17 A We anticipate, we're processing the
18 paper work on the well in 17, Section 17. We anticipate it
19 to be a gas well. Preliminary look at the well in Section
20 21, we're estimating it to be a gas well, also, at this
21 time.

22 Q Were these the only three wells drilled
23 in the pool, to your knowledge?

24 A Those are the only three wells that were
25 completed in the pool. Now one thing that you might note,

1 the well in Section 21, the proposed recompletion of the
2 West Jal A No. 1, it was perforated in that second Strawn.
3 There's a couple Strawns in the well due to that fault.
4 The second Strawn was perforated and tested and subse-
5 quently shut in. When we came back, opened the well up, it
6 wasn't there any more. We couldn't produce it or it would
7 produce at a very low rate. It tested at first around
8 5-600 MCF a day. When we came back to open the well up
9 down a sales line, it was producing less than 100, more
10 like 50 MCF a day. We abandoned it, abandoned the Second
11 Strawn right then; couldn't afford to produce it.

12 So it was perforated in the Second
13 Strawn but it never really produced from the pool.

14 And now we have that First Strawn that
15 we want to come up, come up the hole and test.

16 Q Do you have any estimates on what kind
17 of additional reserves you could produce from the 17 --
18 from Section 17 and from Section 21?

19 A The work that we've looked at on Section
20 17, we're estimating approximately half a BCF gas, due to
21 partial drainage; 3000 barrels of condensate; I said
22 3-to-5000 barrels, 3-to-5000 barrels.

23 The well in Section 21, we're looking at
24 some similar type reservoir reserves, maybe even less than
25 the well in Section 17. It's more indeterminate for the

1 West Jal A in Section 21.

2 Q Are you proposing these 320 rules being
3 a permanent part of R-5353?

4 A Yes, we are.

5 MR. CATANACH: That's all the
6 questions I have. He may be excused.

7 MR. HALL: We have nothing
8 further.

9 MR. CATANACH: Being nothing
10 further in this case it will be taken under advisement.

11

12 (Hearing concluded.)

13

14

15

16

17

18

19

20

21

22

23

24

25

C E R T I F I C A T E

I, SALLY W. BOYD, C. S. R. DO HEREBY CERTIFY that the foregoing Transcript of Hearing before the Oil Conservation Division (Commission) was reported by me; that the said transcript is a full, true and correct record of the hearing, prepared by me to the best of my ability.

Sally W. Boyd CSR

I do hereby certify that the foregoing is a complete record of the proceedings in the Examiner hearing of Case No. 9674, heard by me on May 21, 1959.

David R. Cotaud, Examiner
Oil Conservation Division