

STATE OF NEW MEXICO
ENERGY, MINERALS, AND NATURAL RESOURCES DEPARTMENT
OIL CONSERVATION COMMISSION

IN THE MATTER OF THE HEARING
CALLED BY THE OIL CONSERVATION
COMMISSION FOR THE PURPOSE OF
CONSIDERING:

CASE NO. 9802 DE NOVO
Order No. R-9050-A

APPLICATION OF MARATHON OIL COMPANY
FOR AN UNORTHODOX GAS WELL LOCATION
AND SIMULTANEOUS DEDICATION, EDDY
COUNTY, NEW MEXICO.

ORDER OF THE COMMISSION

BY THE COMMISSION:

This cause came on for hearing at 9:00 a.m. on January 18, 1990, at Santa Fe, New Mexico, before the Oil Conservation Commission of New Mexico, hereinafter referred to as the "Commission".

NOW, on this 22nd day of March, 1990, the Commission, a quorum being present, having considered the testimony presented and exhibits received at said hearing, and being fully advised in the premises,

FINDS THAT:

(1) Due public notice having been given as required by law, the Commission has jurisdiction of this cause and the subject matter thereof.

(2) The applicant, Marathon Oil Company, seeks approval of an unorthodox gas well location 330 feet from the South line and 1650 feet from the West line (Unit N) of Section 9, Township 21 South, Range 23 East, NMPM, to produce from the Indian Basin-Upper Pennsylvanian Gas Pool, Eddy County, New Mexico.

CASE NO. 9802 DE NOVO
Order No. R-9050-A
Page -2-

(3) This matter came on for hearing at 8:15 a.m. on November 1, 1989, at Santa Fe, New Mexico before Examiner Victor T. Lyon and pursuant to this hearing, Order No. R-9050 was issued on November 21, 1989 which granted Marathon's application but imposed an eighty percent (80%) penalty factor to offset the advantage gained over the diagonal offset operator as a result of the unorthodox location.

(4) All of said Section 9 is proposed to be dedicated to said well replacing the existing North Indian Basin Unit Well No. 5 located at a standard gas well location 1815 feet from the South line and 1752.3 feet from the East line (Unit J) of said Section 9 forming a 640-acre gas spacing and proration unit for said pool.

(5) Oryx Energy Company (Oryx), owner of 54.1% working interest and operator of Section 17, Township 21 South, Range 23 East, NMPM, appeared in protest of the application and presented evidence designed to show the unorthodox location was contrary to the field rules and would adversely affect Oryx's correlative rights.

(6) Applicant's testimony showed that its North Indian Basin Well No. 5 ceased to flow because of mechanical conditions in the wellbore and needed to be replaced to permit the owners under the gas proration unit (GPU) to recover their just and equitable share of gas from the reservoir.

(7) The testimony showed that the Indian Basin-Upper Pennsylvanian Gas Pool is a water drive reservoir and it is logical and prudent in such a reservoir to locate wells as high as possible on the structure to maximize recovery of gas from the GPU.

(8) Testimony also showed a dolomite/limestone reservoir facies change striking northeast-southwest through the W/2 of Section 9 which is a major factor in governing the quality of gas production encountered, the better quality wells being located in the dolomite reservoir facies and the poor quality wells and dry holes being located in the limestone facies.

(9) The Indian Basin-Upper Pennsylvanian Gas Pool is prorated under the provisions of Order No. R-8170, and its special pool rules are designed to place wells a minimum of 1650 feet from the outer boundary of the gas proration unit.

CASE NO. 9802 DE NOVO
Order No. R-9050-A
Page -3-

(10) Marathon's proposed location in Section 9 is located within the North Indian Basin Unit which also includes Section 16 to the South, so crowding Section 16 with a 330 foot offset location does not violate the correlative rights of working interest and royalty interest owners in Section 16.

(11) Both applicant and Oryx presented geologic testimony which, though differing in some details, generally agreed that the proposed location for the replacement well was up-dip from the present well and closer to Oryx's GPU located in Section 17 than a standard location. The expert witnesses did not agree on the extent to which Oryx's correlative rights would be impaired by production from the proposed location.

(12) The diagonal offset interest owner is the only party affected so a penalty should be assessed which reflects the encroachment toward the diagonal interest owners' acreage.

(13) The Oryx expert witness testified that Oryx would not object to any unorthodox location in Section 9 which would be no closer to the corner point of Sections 8, 9, 16 and 17 than a standard location 1650 feet from the South and West lines of Section 9.

(14) The calculated distance from the aforementioned corner point to the aforementioned standard location is 2,333 feet.

(15) The distance from the aforementioned corner point to the proposed location is calculated to be 1,683 feet.

(16) In order to protect correlative rights a penalty should be assigned to the applicant's GPU which will reflect the proportionate distance the proposed location is moved toward the aforementioned corner point.

(17) Ratio penalties have historically been assigned to wells which crowd objecting parties whose acreage directly offsets the crowding well.

(18) When ratio penalties are applied because of objections from parties owning diagonal offsetting acreage, penalty adjustments must be made to account for lesser acreage being effected by drainage from the crowding well.

CASE NO. 9802 DE NOVO
Order No. R-9050-A
Page -4-

(19) Mathematical computations show that approximately two times as much direct offset acreage is effected by drainage as diagonal offset acreage assuming theoretical circular drainage and equal radii.

(20) Correlative rights will be protected by assigning a penalty to the allowable of the proposed location based upon the formula: $(0.5) (1-1683/2333)$ or 14% penalty.

(21) Approval of the subject application with a 14% penalty will afford the applicant the opportunity to produce its just and equitable share of the gas in the affected pool, will prevent the economic loss caused by the drilling of unnecessary wells, avoid the augmentation of risk arising from the drilling of an excessive number of wells and will otherwise prevent waste and protect correlative rights.

IT IS THEREFORE ORDERED THAT:

(1) The application of Marathon Oil Company for an unorthodox gas well location is hereby approved for a well to be located at a point 330 feet from the South line and 1650 feet from the West line of Section 9, Township 21 South, Range 23 East, NMPM, Indian Basin-Upper Pennsylvanian Gas Pool, Eddy County, New Mexico.

(2) All of said Section 9 shall be simultaneously dedicated to the above-described well and the existing North Indian Basin Unit Well No. 5 located at a standard gas well location 1815 feet from the South line and 1752.3 feet from the East line (Unit J) forming a 640-acre gas spacing and proration unit for said pool.

(3) The above described proposed location and gas proration unit shall be assigned a 14% penalty, or an allowable equal to 86% (.86) of the normal monthly allowable assigned to a standard gas proration unit in the Indian Basin-Upper Pennsylvanian Gas Pool.

(4) Jurisdiction of this cause is retained for the entry of such further orders as the Commission may deem necessary.

CASE NO. 9802 DE NOVO
Order No. R-9050-A
Page -5-

DONE at Santa Fe, New Mexico, on the day and year
hereinabove designated.

STATE OF NEW MEXICO
OIL CONSERVATION COMMISSION

WILLIAM R. HUMPHRIES, Member

William W. Weiss

WILLIAM W. WEISS, Member

William J. Lemay

WILLIAM J. LEMAY, Chairman
and Secretary

S E A L

STATE OF NEW MEXICO
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
OIL CONSERVATION DIVISION

IN THE MATTER OF THE HEARING
CALLED BY THE OIL CONSERVATION
DIVISION FOR THE PURPOSE OF
CONSIDERING:

CASE NO. 9954
Order No. R-9050-B

APPLICATION OF MARATHON OIL COMPANY
FOR AN ADDENDUM TO DIVISION ORDER
NO. R-9050-A, TO INCLUDE A PROVISION
FOR DUAL COMPLETION AND AN UNORTHODOX
GAS WELL LOCATION IN THE UNDESIGNATED
INDIAN BASIN-MORROW GAS POOL, EDDY
COUNTY, NEW MEXICO.

ORDER OF THE DIVISION

BY THE DIVISION:

This cause came on for hearing at 8:15 a.m. on May 30, 1990, at Santa Fe, New Mexico, before Examiner David R. Catanach.

NOW, on this 15th day of August, 1990, the Division Director, having considered the testimony, the record, and the recommendations of the Examiner, and being fully advised in the premises,

FINDS THAT:

- (1) Due public notice having been given as required by law, the Division has jurisdiction of this cause and the subject matter thereof.
- (2) By Order No. R-9050-A, issued in De Novo Case No. 9802 on January 18, 1990, the Division authorized Marathon Oil Company to drill its North Indian Basin Unit Well No. 8, subject to a production penalty, at an unorthodox gas well location 330 feet from the South line and 1650 feet from the West line (Unit N) of Section 9, Township 21 South, Range 23 East, NMPM, Eddy County, New Mexico, to test the Indian Basin-Upper Pennsylvanian Gas Pool.
- (3) The applicant, Marathon Oil Company, seeks an addendum to said Order No. R-9050-A, to include authorization for an unorthodox gas well location for said North

-2-

Case No. 9954

Order No. R-9050-B

Indian Basin Unit Well No. 8 within the Undesignated Indian Basin-Morrow Gas Pool. In addition, the applicant seeks authority to dually complete said well in such a manner as to permit production of gas from the Undesignated Indian Basin-Morrow Gas Pool through a string of 2 7/8-inch tubing and the production of gas from the Indian Basin-Upper Pennsylvanian Gas Pool through the 5 1/2-inch casing-tubing annulus.

(4) All of said Section 9 is to be dedicated to the Morrow production from said well to form a standard 640-acre gas spacing and proration unit as provided by the Special Rules and Regulations governing the Indian Basin-Morrow Gas Pool.

(5) The evidence and record in this case indicates that the subject well, which was spudded on April 4, 1990 subsequent to the issuance of said Order No. R-9050-A, has been drilled to a depth sufficient to test the Morrow formation and has encountered commercial gas production from the Basal "A" Sand within the Indian Basin-Morrow Gas Pool as well as the Indian Basin-Upper Pennsylvanian Gas Pool.

(6) Oryx Energy Company (Oryx), the owner of the affected diagonal offset acreage in Section 17, Township 21 South, Range 23 East, NMPM, appeared at the hearing in opposition to the unorthodox Morrow location and in support of a production penalty to be assessed against the subject well within the Indian Basin-Morrow Gas Pool.

(7) The applicant presented geologic and engineering evidence and testimony in its attempt to demonstrate that:

- a) The Basal "A" Sand, which is interpreted as a "beach" type deposit, is present over a large area; however, due to the gas-water contact, effective porosity limits, and facies changes, the potentially productive portion of the reservoir is essentially limited to portions of Sections 9, 16 and 17.
- b) The potential for gas production from Section 17 is limited to a portion of the NE/4 due to the absence of effective porosity.
- c) Recoverable gas reserves from the subject Morrow reservoir are approximately 1.3 BCF,

-3-

Case No. 9954

Order No. R-9050-B

with some 85% of said reserves underlying Marathon-operated acreage in Sections 9 and 16, and the remaining 15% essentially underlying Section 17.

- d) The amount of possible recoverable gas reserves underlying Oryx's acreage (approximately 200 MMCF) does not economically justify the drilling of a Morrow well within said Section 17 to produce said reserves.

(8) The applicant proposed, in view of its geologic and engineering evidence, that no production penalty be assessed against the subject well within the Indian Basin-Morrow Gas Pool.

(9) Oryx also presented geologic and engineering evidence and testimony which differs from the applicant's in the following respects:

- a) The Basal "A" Sand has been interpreted as a "channel" type deposit and the extent of said Basal "A" Sand with effective porosity underlies a substantial portion of Section 17.
- b) Based on its geologic interpretation, gas reserves underlying Section 17 are estimated to be approximately 3.0 BCF.

(10) According to evidence and testimony, Oryx is currently evaluating the possibility of drilling a Morrow well in Section 17.

(11) In order to secure the protection of its correlative rights, Oryx has proposed that the subject well be allowed to drain only that area of Section 17 which would normally be drained by a well located at a standard location in Section 9. This proposal is to be accomplished by limiting the subject well's production to 55% (45% penalty), thereby reducing its area of drainage to 349 acres.

(12) Due to the highly subjective nature of geologic interpretation and due to limited well control in Section 17, it is difficult to correctly ascertain at this time the amount of gas reserves underlying Oryx's acreage.

-4-

Case No. 9954

Order No. R-9050-B

(13) Although the estimates differ, both the applicant and Oryx agree that there are gas reserves underlying Section 17 and, therefore, Oryx should be afforded some protection against drainage from the subject well.

(14) The 45% production penalty proposed by Oryx is excessive in that assuming 640-acre radial drainage, the subject well will drain an estimated 42 acres in Section 17, 10.35 acres of which would be legally allowed by a well at a standard location. Therefore, the total additional impact would be 32 acres, or 5% of a standard 640-acre unit comprising said Section 17.

(15) In addition, any penalty imposed on the subject well by the Division will be ultimately ineffective if Oryx chooses not to drill a well to recover its gas reserves in Section 17.

(16) A production penalty based upon the distance the subject well encroaches toward the corner point of Sections 8, 9, 16 and 17 is reasonable and equitable and should be utilized in this case.

(17) The calculated distance from the above-described corner point to a standard well location in Section 9 is 2,333 feet. The calculated distance from the above-described corner point to the actual well location is 1,683 feet.

(18) By calculation, the subject well is 27.9% closer ($[2,333' - 1,683'] / 2,333'$) to said corner point than a well located at a standard location in Section 9.

(19) Approval of the subject unorthodox Morrow location and dual completion will afford the applicant the opportunity to produce its just and equitable share of the gas in the affected pool, will prevent the economic loss caused by the drilling of unnecessary wells, avoid the augmentation of risk arising from the drilling of an excessive number of wells and will otherwise prevent waste and protect correlative rights.

IT IS THEREFORE ORDERED THAT:

(1) The application of Marathon Oil Company for an addendum to Division Order No. R-9050-A to include authorization for an unorthodox gas well location for its North Indian Basin Unit Well No. 8, located 330 feet from the South line and 1650 feet from the West line (Unit N) of

-5-

Case No. 9954

Order No. R-9050-B

Section 9, Township 21 South, Range 23 East, NMPM, Eddy County, New Mexico, within the Indian Basin-Morrow Gas Pool is hereby approved.

(2) The applicant is further authorized to dually complete said well in such a manner as to permit production of gas from the Undesignated Indian Basin-Morrow Gas Pool through a string of 2 7/8-inch tubing and the production of gas from the Indian Basin-Upper Pennsylvanian Gas Pool through the 5 1/2-inch casing-tubing annulus.


(3) All of said Section 9 is to be dedicated to the Undesignated Indian Basin-Morrow Gas Pool production from said well to form a standard 640-acre gas spacing and proration unit.

(4) The above-described well and gas proration unit shall be assigned a 27.9% penalty, or an allowable equal to 72.1% (.721) of the normal monthly allowable assigned to a standard gas proration unit in the Indian Basin-Morrow Gas Pool.

(5) Jurisdiction of this cause is retained for the entry of such further orders as the Division may deem necessary.

DONE at Santa Fe, New Mexico, on the day and year hereinabove designated.

STATE OF NEW MEXICO
OIL CONSERVATION DIVISION



WILLIAM J. LEMAY
Director

S E A L

fd/

copy marked by Commission Attorney 1

STATE OF NEW MEXICO

ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT

OIL CONSERVATION DIVISION

CASE 9954

EXAMINER HEARING

IN THE MATTER OF:

Application of Marathon Oil Company for an
Addendum to Division Order No. R-9050-A, to
Include Provision for Dual Completion and an
Unorthodox Gas Well Location in the Undesignated
Indian Basin-Morrow Gas Pool, Eddy County, New
Mexico

TRANSCRIPT OF PROCEEDINGS

BEFORE: DAVID R. CATANACH, EXAMINER

STATE LAND OFFICE BUILDING

SANTA FE, NEW MEXICO

May 30, 1990

A P P E A R A N C E S

FOR THE DIVISION:

ROBERT G. STOVALL
Attorney at Law
Legal Counsel to the Division
State Land Office Building
Santa Fe, New Mexico

FOR THE APPLICANT:

KELLAHIN, KELLAHIN & AUBREY
Attorneys at Law
By: W. THOMAS KELLAHIN
117 N. Guadalupe
P.O. Box 2265
Santa Fe, New Mexico 87504-2265

FOR ORYX ENERGY COMPANY:

CAMPBELL & BLACK, P.A.
Attorneys at Law
By: WILLIAM F. CARR
Suite 1 - 110 N. Guadalupe
P.O. Box 2208
Santa Fe, New Mexico 87504-2208

* * *

I N D E X

	Page Number
Appearances	2
Exhibits	4
ERIC D. CARLSON	
Direct Examination by Mr. Kellahin	7
Cross-Examination by Mr. Carr	29

1	CRAIG T. KENT	
2	Direct Examination by Mr. Kellahin	42
3	Cross-Examination by Mr. Carr	50
4	CURTIS SMITH	
5	Direct Examination by Mr. Kellahin	54
6	DAVID R. ROJAS	
7	Direct Examination by Mr. Carr	58
8	Cross-Examination by Mr. Kellahin	69
9	Examination by Examiner Catanach	80
10	Examination by Mr. Stovall	81
11	Redirect Examination by Mr. Carr	95
12	Further Examination by Examiner Catanach	95
13	Further Examination by Mr. Stovall	96
14	BONNIE WILSON	
15	Direct Examination by Mr. Carr	97
16	Cross-Examination by Mr. Kellahin	105
17	Redirect Examination by Mr. Carr	115
18	Examination by Mr. Stovall	116
19	Closing Statement by Mr. Carr	117
20	Closing Statement by Mr. Kellahin	120
21	Certificate of Reporter	123
22	* * *	
23		
24		
25		

E X H I B I T S

APPLICANT'S EXHIBITS:

Exhibit 1	8
Exhibit 2	10
Exhibit 3	15
Exhibit 4	19
Exhibit 5	22
Exhibit 6	25
Exhibit 7	25
Exhibit 8	43
Exhibit 9	46
Exhibit 10	48
Exhibit 11	48
Exhibit 12	55
Exhibit 13	55
Exhibit 14	57

* * *

1	E X H I B I T S (Continued)	
2	ORYX EXHIBITS:	
3	Exhibit 1	59
4	Exhibit 2	61
5	Exhibit 3	63
6	Exhibit 4	64
7	Exhibit 5	98
8	Exhibit 6	99
9	Exhibit 7	99
10	Exhibit 8	100
11	Exhibit 9	101
12	Exhibit 10	103
13	Exhibit 11	103

* * *

1 WHEREUPON, the following proceedings were had
2 at 10:46 a.m.:

3 EXAMINER CATANACH: Call the hearing back to
4 order.

5 At this time we'll call Case 9954.

6 MR. STOVALL: Application of Marathon Oil
7 Company for an Addendum to Division Number R-9050-A, to
8 include provision for a dual completion and an
9 unorthodox gas well location in the undesignated Indian
10 Basin-Morrow Gas Pool, Eddy County, New Mexico.

11 EXAMINER CATANACH: Are there appearances in
12 this case?

13 MR. KELLAHIN: Mr. Examiner, I'm Tom Kellahin
14 of the Santa Fe law firm of Kellahin, Kellahin and
15 Aubrey, appearing today on behalf of Marathon Oil
16 Company, and I have three witnesses to be sworn.

17 EXAMINER CATANACH: Other appearances?

18 MR. CARR: May it please the examiner, my
19 name is William F. Carr with the law firm Campbell and
20 Black, P.A., of Santa Fe.

21 I represent Oryx Energy Company, and I have
22 two witnesses.

23 EXAMINER CATANACH: Any other appearances?

24 Will the five witnesses please stand and be
25 sworn in?

1 (Thereupon, the witnesses were sworn.)

2 ERIC D. CARLSON,

3 the witness herein, after having been first duly sworn
4 upon his oath, was examined and testified as follows:

5 DIRECT EXAMINATION

6 BY MR. KELLAHIN:

7 Q. Mr. Carlson, for the record would you please
8 state your name and occupation?

9 A. My name is Eric D. Carlson, and I am a
10 petroleum geologist.

11 Q. Mr. Carlson, on prior occasions have you
12 testified before the Oil Conservation Division as a
13 petroleum geologist, had your qualifications accepted
14 and made a matter of record?

15 A. Yes, sir.

16 Q. Pursuant to your employment by Marathon Oil
17 Company, have you made a study of the Morrow geology
18 that has been encountered and found productive in the
19 unorthodox well location described in the docket of
20 this case?

21 A. Yes, sir.

22 MR. KELLAHIN: We tender Mr. Carlson as an
23 expert petroleum geologist.

24 EXAMINER CATANACH: He is so qualified.

25 Q. (By Mr. Kellahin) Mr. Carlson, let me have

1 you turn to what is marked as Marathon Exhibit Number
2 1, and let's use this for several purposes, the first
3 of which is to orient the Examiner as to what portion
4 of the Morrow you're mapping for structure and the
5 location of the well that's the subject of the hearing.

6 A. Exhibit 1 is a structure map, made with well
7 control, on the actual pay horizon for this particular
8 hearing of interest.

9 The pay horizon is located at the base of the
10 Morrow. It's the lowermost sand in the Morrow.

11 The well of interest is located in Section 9,
12 Township 21 South, Range 23 East. As you can see, it
13 is marked on the exhibit by a red gas-well symbol. It
14 is the North Indian Basin Unit Well Number 8.

15 Q. The specific location of that well in
16 relationship to its southern and western boundaries for
17 Section 9 is what, sir?

18 A. It is 330 feet from the south line and 1650
19 feet from the west line.

20 Q. In terms of locating a well at a standard
21 location for Morrow production, what would be a
22 standard location?

23 A. A standard location would be anywhere that is
24 set back 1650 feet from a lease line.

25 Q. From a section line?

1 A. Thank you, from a section line.

2 Q. And the spacing for the Morrow production in
3 this area is what, sir?

4 A. It's currently 640 acres.

5 Q. The well, then, in Section 9 has already been
6 drilled, has it?

7 A. That is correct.

8 Q. And it would be standard as to the western
9 boundary of Section 9?

10 A. Yes, sir.

11 Q. And it is unorthodox in relation to its
12 southern boundary?

13 A. Yes, sir.

14 Q. Okay. When we examine the structural
15 information shown on the display, what have you
16 concluded as a geologist?

17 A. The structure of the pay horizon is about a
18 two-degree east dip. The strike runs roughly north to
19 south.

20 And we see as well on this map that the
21 actual stratum will pinch out to the north. The actual
22 pay horizon pinches out across Section 7, 8, 9, 10 and,
23 as you can see, up on to Section 2.

24 So this is a structure map, once again on the
25 pay horizon where the stratum of interest is at

1 present.

2 Q. Have you shown the Morrow penetrations, each
3 and every of the Morrow penetrations in the area of
4 review shown on this Exhibit Number 1?

5 A. Yes, sir. All the wells that have penetrated
6 the Morrow on this map area are shown, and only those
7 wells.

8 Q. Are there any producing Morrow gas wells out
9 of this Morrow interval, other than the subject well?

10 A. No, sir.

11 Q. As part of your geologic study, in addition
12 to mapping the structure on the Morrow basal "A" sand,
13 what else did you do?

14 A. Well, I constructed several isopach maps and
15 cross-sections. I'd like to turn to Exhibit 2, please.

16 Q. All right.

17 A. Exhibit 2 is a gross sand map. I have taken
18 the liberty to name this interval the Morrow basal "A"
19 pay. You could also call it the base of the Lower
20 Morrow.

21 Several people divide the Morrow into three
22 informal zonations, the C zone at the top being the
23 bend lime, the B being a zone of sand and shale and
24 often- -- sometimes having pays -- and then the A zone
25 also is on a sand and shale.

1 At the base of the Morrow there's a very
2 prominent shale marker which we will show you shortly,
3 which is a very nice thing to hang your hat on.

4 But what we have done is simply, returning to
5 the exhibit, taken the stratum of interest, which is
6 the interval section that contains the pay, and made an
7 isopach map.

8 And what we see, first of all, is that the
9 trend of the sand trends more or less east-west. We
10 see as we look to the south in a seaward direction,
11 there is a facies change to a shallow-water lime.

12 We lose our sand, it becomes very limey to
13 the south. And those are indicated, as you see, by the
14 wells where we have zero sand and we're in lime.

15 Also, as you go to the north of this zone,
16 you'll see a zero line. In Section 8 you see a note,
17 north of the zero line the basal "A" sand is absent.
18 Once again, it's just pinched out, if you will.

19 And you see that in general this sand has the
20 shape of a Galveston-type barrier bar or, if you will,
21 a beach sand such as you'd find along the Texas Gulf
22 Coast. We say that because we have abundant well
23 control here.

24 And also when we look at the log curves
25 themselves we see what is very clearly an upward

1 tortioning sequence of sand in this interval; rather
2 than the shape that would be indicative of a bar or a
3 river or something, we see something that looks like a
4 beach on the logs.

5 So this came as a little bit of a surprise to
6 us. But we have to admit we have the data to show
7 that.

8 Q. Describe for us the control point and your
9 interpretation for the southern zero line on the map.

10 A. Once again, the southern zero line is
11 determined by looking at Section 10, and we see a very
12 thick, gross sand there, 24 feet. And in Section 15 we
13 see zero feet of sand. We see that in less than a mile
14 it goes from 25 feet to zero.

15 And then as we turn eastward to Section 14,
16 we see once again that we go very quickly from 18 feet
17 to zero feet.

18 So we feel pretty good about that edge. We
19 actually have a cross-section to show you shortly that
20 will show you that facies change.

21 Q. When we look at Section 17, which is the
22 Oryx-operated section, there's a well in their section
23 that penetrated this Morrow basal "A" sand?

24 A. Yes, sir.

25 Q. And what does the information show you about

1 that well?

2 A. That well had four feet of gross sand in this
3 particular pay interval. However, it was tight.

4 Q. Okay, it was then not completed, I assume,
5 for production out of that interval?

6 A. That is correct.

7 All the well symbols on these sets of maps
8 are indicative of what this zone had.

9 So we show a gas well for our symbol in
10 Section 8, and all the other symbols are dry holes
11 because they haven't produced from this basal Morrow
12 pay here.

13 Q. When we look in the section immediately west
14 of Section 9, ~~Section 8~~, there's a well in the extreme
15 southeast corner of that section. Do you know the
16 approximate location of that well --

17 A. Yes.

18 Q. -- at the surface?

19 A. That well was drilled 660 feet from the south
20 line and 660 feet from the east line. It was the --
21 Santa Fe Exploration's Indian Basin Number 1.

22 And as you can see, ~~it also~~ penetrated nine
23 feet of gross sand.

24 Q. Did they attempt to produce from the basal
25 "A" sand in that well?

1 A. No. Once again it was very clear on the
2 log -- and we'll show you this in a while -- that ~~that~~
3 sand is tight in that well. ~~There is~~ no pay in the
4 Morrow in that well.

5 Q. On your map, we go from a well that
6 encountered four feet and can't produce gas, to Section
7 8 with nine feet, to a well that can't produce gas in
8 that zone.

9 Let's go over to Section 14 --

10 A. Okay.

11 Q. -- the eastern margin of your display.
12 There's a well in there that looks like it's got --
13 what, 18 feet?

14 A. Yes, sir.

15 Q. And did they test for gas production in that
16 interval?

17 A. No, sir, that well was also very tight. It
18 turns out there's a neutron density log there and
19 resistivity logs in that well, and it was tight.

20 Q. From examining all the data, Mr. Carlson, do
21 you have an indication for us of the range of thickness
22 you have to get in terms of gross reservoir in the
23 basal "A" in order to have the opportunity to produce
24 gas out of that zone?

25 A. To develop good porosity in this zone, you

1 need at least ten feet of gross sand before you develop
2 any net sand, any porosity that's good for producing
3 gas.

4 And we have -- Much of this, Mr. Examiner, as
5 we go on, we'll develop this for you.

6 Q. All right. Anything else from this display,
7 Exhibit Number 2, Mr. Carlson?

8 A. These are the important points. We've
9 covered them.

10 Q. All right, let's go to Exhibit Number 3 then.

11 Before you describe your conclusions and
12 interpretations from this display, simply orient us as
13 to the wells selected and the orientation, then, of the
14 cross-section.

15 A. Exhibit 3 is a stratigraphic cross-section.
16 It runs north to south. North is on the left and south
17 is on the east [sic].

18 The point of this cross-section is to
19 document the shape for you of the barrier beach bar.

20 So we have started in Section 3 with the
21 North Indian Basin Well Number 3.

22 And we've then come south to right in the
23 middle of the barrier island bar, that being in Section
24 10, the North Indian Basin Unit Number 1 Well.

25 And then we've come directly due south -- so

1 this is -- to Section 3 -- I'm sorry, to Well Number 3
2 in Section 15, which is the Marathon Federal IBA
3 Number 1 Well.

4 The idea here is to draw a cross-section
5 directly across the bar to show you the facies changes.

6 So these wells are actually just one mile
7 east of our pay well, which you see in Section 8, once
8 again marked on the location map with the red gas-well
9 symbol.

10 And I'd like to draw your attention, first,
11 to the well in the middle, which is the North Indian
12 Basin Number 1, and I have several curves of interest
13 for you here.

14 This is actually a stratigraphic section.
15 It's hung on the top of the Morrow "A," which is that
16 lowermost or lower Morrow that is productive.

17 Out here we see that there is a shale right
18 above this. This shale is very famous for dividing the
19 Middle and Lower Morrow or, if you will, the Morrow "B"
20 and Morrow "A."

21 And so we've chosen this shale as a good
22 stratigraphic time line on which to hang our data.

23 And we've come down from there, through that
24 well we see in -- once again, the Section 10 well
25 that -- at the basal "A" pay we have, first of all, a

1 very clean gamma-ray signature which, as you can see,
2 actually gets cleaner as you go shallower.

3 This is indicative of a beach rather than a
4 river. Okay?

5 We also see a sonic log in here which gives
6 us good porosity once again. We can calculate these
7 porosities at well over six percent porosity.

8 We can look at the resistivity log shown, and
9 this particular well is wet. But we also see that the
10 shallow and deep curves are well separated, and indeed
11 we have permeability in this well.

12 So we have a nice, fat beach sand here. This
13 time it's wet in this well.

14 As we look to the left, to the Section 3
15 well, we see that once again our datum is quite clear,
16 the shale.

17 We also see down -- a correlation line I've
18 run across, and below that first correlation, down from
19 the datum, we see what would look like three fingers,
20 if you will, of gamma-ray excursion. All right?

21 Now, we can take those three fingers of
22 gamma-ray excursion, and I've got a line drawn for
23 correlation purposes right below that. We can bring
24 that, and we can look in the Section 10 well and see
25 those three fingers of gamma-ray excursion again.

1 So we think we've got a good correlation
2 there.

3 And if we look below those three fingers of
4 gamma-ray excursion, we see what actually goes over on
5 the backup scale for the gamma ray. We see we're in
6 the Barnett shale, right below those three fingers.
7 All right?

8 So as you pull over and look at the Barnett
9 shale, it looks very clearly that this beach sand
10 pinches out as you go north.

11 All right. Similarly, as we look to the
12 south now, we're going to show you that although the
13 sand doesn't actually pinch out, the facies changes to
14 lime. And the way we're going to show you that is with
15 a -- with a SP resistivity log from Section 15.

16 We see that as we look at the SP log we see
17 some excursion for sands, but there's almost no
18 excursion at all in the lime.

19 I also have a gamma ray that I couldn't show
20 you because it wasn't clean enough for display
21 purposes. It shows us that we're in a -- The gamma ray
22 shows us a low excursion indicative of lime.

23 However, the neat thing here is on the
24 resistivity curves, as you'll see, we're very, very
25 much more resistive than a Morrow sand here. We're

1 over the limit. We're over a thousand ohms here.

2 So clearly no SP excursion and high
3 resistivity here, we're in the lime.

4 So once again, as you look from Section 10,
5 which is the middle well, to Section 15, which is the
6 well on the right, we see a change in facies from sand
7 of the barrier bar into a shelf, a shallow-water shelf
8 facies of lime.

9 So once again, the purpose of this is just to
10 show you some of the evidence we have to support the
11 conclusion that this is a barrier beach bar.

12 Q. Let's turn now to Exhibit Number 4. Would
13 you identify and describe Exhibit Number 4?

14 A. Yes. Exhibit Number 4 is a map of the
15 reservoir, if you will. It is a map of effective
16 porosity within, once again, that basal Morrow "A" zone
17 of interest. So it's a very thin interval of the
18 Morrow. It represents that sand bar.

19 And what we see is that -- We've called it an
20 effective porosity map. Other people would call this
21 simply a net sand map. And from studying the 46
22 penetrations of the Morrow in this field, obviously I
23 reached a six-percent porosity cutoff as the lower
24 limit for production from the Morrow out here.

25 Many of the Morrow sands are porosities of 10

1 percent, some as good as 13. But six percent is the
2 lower limit, so that's what I used for my net-pay
3 cutoff.

4 Q. If you had used a higher net-pay cutoff, then
5 the shape of your reservoir would have been smaller?

6 A. Yes, sir. But not very much smaller, because
7 it turns out this is a good, clean beach. Where it
8 does develop porosity, it's 10, 12 percent porosity
9 sometimes, so...

10 Q. When we look at the display, what is shown
11 with the green dot in Section 9?

12 A. Okay, the green dots reveal something of the
13 fun and irony of working in the Morrow with which all
14 of us are familiar. The green dots are orthodox
15 locations.

16 Now, as you can see, I've drawn two orthodox
17 locations, one in Section 9, which would have been an
18 orthodox location that perhaps Marathon could have
19 drilled, and also one in Section 17, which is an
20 orthodox location that Oryx could drill.

21 And of course, both of these show
22 noncommercial zones, if you will, drilled at that
23 location, whereas at Section -- Excuse me, in Section 9
24 again, the actual well where it drilled, the North
25 Indian Basin Unit Number 8, encountered 12 feet of net

1 porosity. It also had gas in it.

2 But -- So it's very much an irony, perhaps,
3 that if you move north to a standard location, you
4 would not have had a commercial well. If you move over
5 in Section 17 to a standard location, you will not have
6 a commercial well. In fact, you probably won't see the
7 reservoir at all, because we have zero porosity in
8 Section 8 and zero good porosity in Section 17 where
9 our control is.

10 So we got a little lucky here.

11 Q. In looking at the display, there is an
12 outline, a dashed outline, that encompasses a number of
13 these sections. To orient you, it runs vertically
14 separating Sections 8 from 9 and then tracks throughout
15 the various sections in the display.

16 A. Yes, sir.

17 Q. What is that outline?

18 A. That is the outline for the land area of the
19 North Indian Basin Unit. So it's the unit boundary for
20 the unit in which all the interests from the working
21 interest and the royalty interests and the override
22 interests are all commingled to be such that if we
23 drill a project within that boundary, everybody
24 participates with the same share and gets the same
25 amount anywhere in that boundary, gets the same return.

1 And we'll have a landman testify to that more
2 clearly later.

3 Q. Marathon Oil Company is the operator, then,
4 of that unit?

5 A. Yes, sir.

6 Q. Let's turn now, sir, to Exhibit Number 5.

7 A. Okay.

8 Q. Identify and describe this exhibit.

9 A. Exhibit Number 5 is a structural cross-
10 section, and it runs west to east, sort of helps define
11 the nature of the trap for this reservoir.

12 So what we see in fact is once again, west is
13 on the left, east is on the right. We have three wells
14 for you.

15 First of all, the Santa Fe Indian Basin
16 Number 1, which is in Section 8, the southeast corner.
17 We've mentioned that previously.

18 Our gas discovery well in Section 9.

19 And then the wet well I showed you earlier in
20 Section 10 that also has good porosity.

21 And what I intend to show you very quickly is
22 just the basis on which we map these net sand lines or,
23 if you will, the limit of effective pay.

24 So first, if we look once again at the
25 discovery well, Section 9, we look down, and I've

1 highlighted for you in red the density neutron
2 crossover. This is indicative of a good gas saturation
3 in this zone.

4 You can see it crosses over four and a half
5 to five chart divisions. It's a good, clean gas zone.
6 It shows up even on this one-inch-to-a-hundred-foot
7 log.

8 And we can also look at the gamma-ray log for
9 this well, and we see that it is one of these fancy
10 spectral gamma rays, but both the potassium and thorium
11 and the uranium logs, they all show this very clean
12 sand.

13 We have indeed found a clean sand. That's
14 what SGR means, it's a gamma-ray there. So a low
15 gamma-ray reading, clean sand.

16 We come and look at the resistivity log on
17 the right hand of this display, and we see at a depth
18 of 9170, for example, a good separation in the pay zone
19 of approximately, oh, I guess that's 30 ohms or so,
20 separation between the deep and shallow curves. This
21 is an indicator of permeability.

22 So indeed, we actually do have a gas sand
23 with permeability that's clean and, as subsequently we
24 found out, it did produce.

25 As we look to the right of that log and we

1 follow the highlighted Morrow basal "A" zone in the
2 cross-hatching, we see that indeed we once again turn
3 to the Section 10 well which, as you can see from the
4 extremely low resistivity, that it is wet. As you can
5 see by the separation between the deep and shallow
6 resistivity curves, it is porosity.

7 Okay, so we have wet downdip, then we have a
8 gas well in our section.

9 Now, as you move even further updip into
10 Section 8 -- And incidentally, that's not very far
11 updip, less than half a mile -- we follow this little
12 cross-hatching up, and we see the basal "A" zone again.

13 And first let's look at the density neutron.
14 We can see that indeed the density neutron curves are
15 nicely reading about two percent porosity here. There
16 just isn't any pay.

17 And if you look at the resistivity logs,
18 you'll see it's very, very high resistive indication of
19 tight. So we find that the gas, if you will, is kind
20 of trapped updip against this effective porosity
21 pinchout.

22 So once again, Section 8 well is tight, our
23 well in Section 9 a good gas well, Section 10 well is
24 wet.

25 Q. Have you also taken this information, then,

1 Mr. Carlson, and constructed what you have identified
2 as a proven and probable gas map showing the extent and
3 limits of the reservoir?

4 A. Yes, sir, I have. Exhibit Number 6 is a map
5 of proven and probable gas reserves. We did this -- Of
6 course, proven and probable is that gas which you can
7 reasonably expect to recover, at the very least. So if
8 anything, we'll find that we will probably recover more
9 than this map.

10 But once again, this is a very standard
11 engineering convention. We map all the gas in the
12 reservoir from the Exhibit 4 where we showed the net --
13 we showed the net sand. And we fill that net sand up,
14 down as far as the lowest known gas in Section 9.
15 Okay?

16 Now, we have some indication that this is a
17 conservative view because when we tested this well we
18 actually didn't make any water, but we think that in
19 fact we have quite a bit of gas east of our well as
20 well. But don't exactly know how far that goes yet.

21 Q. Let's turn to Exhibit Number 7.

22 A. Exhibit Number 7 is our summary diagram which
23 very neatly and concisely summarizes all the concepts
24 we've covered today, and also will run on your fingers
25 if you smear it.

1 But we see first of all, once again, the
2 structure map is shown, with the contours showing east
3 dip.

4 We see the North Indian Basin Unit boundary,
5 showing that the accumulation of gas is --
6 overwhelmingly seems to be in our acreage.

7 We see the limit of effective porosity, once
8 again. And we've colored gas and water within the
9 actual reservoir itself.

10 We see a gross sand. That gross sand is in
11 yellow on this display.

12 And we also see the lowest known gas, once
13 again, from our well, the highest known water found in
14 the Section 10 well.

15 We -- We've shown you once again just how
16 lucky we were, I guess, in a sense, because here's the
17 orthodox locations with those little green dots.

18 If we would have drilled in our orthodox
19 location in Section 9, there's a very good chance we
20 would have missed this pay. It would not have been
21 found, at least not by us at this time.

22 So this is just a nice little summary map.

23 We see the updip Morrow basal "A" pinchout
24 which I showed you on the stratigraphic cross-section,
25 that being Exhibit 3.

1 And we also see the downdip changed to
2 shallow water and lime, which I also showed you with
3 Exhibit 3.

4 It's just a nice summary map, something that
5 we'll put up -- I'll put up on my wall for a while when
6 I get home, kind of --

7 Q. Mr. Carlson, geologically, do you have an
8 opinion as to whether or not Marathon has gained an
9 advantage by its unorthodox gas well location, over the
10 diagonal offsetting operator, Oryx, in Section 17 with
11 this well location?

12 A. Marathon has gained no advantage over Oryx
13 with a well in this location.

14 Q. Describe for us the reasons you've reached
15 that conclusion.

16 A. The best information we have suggests that
17 Oryx cannot drill a commercial well in Section 17 to
18 the Morrow.

19 Just quickly reviewing for you the net-sand
20 exhibit, which is -- or, if you will, the net-pay
21 exhibit, which is Exhibit 6 -- we see that in Section
22 17 there is very little sand, very little Morrow sand
23 in Section 17 from this particular reservoir.

24 Now, we don't think they can drill a well to
25 this reservoir and make a commercial success.

1 Q. Based upon your geologic study, will the
2 unorthodox location, if approved for production out of
3 the Morrow, recover gas that would not otherwise have
4 been recoverable at a standard well location?

5 A. Absolutely. It's very clear that in a
6 standard location we probably would have only had a
7 foot or two of pay, and where we are now, of course, we
8 have twelve feet of pay.

9 And likewise, we may recover some gas from
10 Section 16, but I'd like to establish that we're
11 unitized with Section 16, and they share equally in
12 anything we get out of Section 9.

13 Q. From your perspective having -- examining the
14 available data -- do you see any reason to penalize the
15 production from the Morrow Formation in this well?

16 A. No, and the reason is very clear. In Section
17 17, the well drilled in Section 17 didn't see any
18 Morrow reservoir. It can't produce it.

19 Similarly, in Section 8, that well saw no
20 more reservoir from this -- this zone. They can't
21 produce it.

22 So there's -- there's no -- there's nothing
23 to -- nothing -- no reason to penalize. There's
24 nothing to protect, if you will. There's no -- There's
25 not a shred of evidence to suggest you could drill a

1 commercial well in Section 17, to this particular
2 reservoir.

3 So we feel there's no reason for a penalty.

4 MR. KELLAHIN: That concludes my examination
5 of Mr. Carlson. We would move the introduction of his
6 Exhibits 1 through 7.

7 EXAMINER CATANACH: Exhibits 1 through 7 will
8 be admitted as evidence.

9 CROSS-EXAMINATION

10 BY MR. CARR:

11 Q. Mr. Carlson, if we could go to your Exhibit
12 Number 1 for a minute, please --

13 A. Yes, sir.

14 Q. -- running across the top of that exhibit you
15 have a Morrow basal "A" pinchout.

16 There's sort of a nose in Section 8. What is
17 the control that you utilized to see this nose that
18 dips to the south and west in Section 8?

19 A. Well, I'd like to turn your attention to the
20 gross sand map, which is Exhibit Number 2. And as
21 you'll see, I have an indication that the -- that just
22 northwest of the well in Section 8 we probably have a
23 zero line because we see we go from 22 to nine, and
24 it's probably going to go to zero pretty soon.

25 Similarly, in Section 7, we see that we have

1 five feet of gross sand, and so clearly we have to go
2 from zero to five feet.

3 So what I have hypothesized is that what we
4 are looking at is in Section 17, an area of tidal
5 washover across this sand bar, and in Section 7 we are
6 seeing a tidal delta, if you will, a flood tidal delta
7 coming out.

8 Q. So what you've got, you've got basically your
9 basal -- or your sand body, your beach deposit coming
10 across the primary area of interest. Then we go up
11 into Section 7, and you've got some sort of a
12 structural anomaly, a thick or something up there. And
13 when you put the two together, that's how you come up
14 with that; is that correct?

15 A. I say there's sand in Section 7, but it's
16 gross sand, doesn't clean up. So it's probably a delta
17 splay, just a tidal splay.

18 Q. But when you integrate that in with the zero
19 line on the base of the structural feature that you're
20 showing, that's how you get that?

21 A. Yes, sir.

22 Q. Okay. Now, when we look at Exhibit Number 1,
23 it does show that acreage that Oryx operates in Section
24 17 is in fact updip from the acreage that you operate
25 in the offsetting unit to the east?

1 A. That is correct.

2 Q. On Exhibit Number 2, you have placed a zero
3 line running across the southern portion of Sections
4 14, 15 and 16. If we go ~~to the well~~ in the southeast
5 -- or ~~southwest quarter of Section 14~~, have you
6 reviewed the log on that particular well?

7 It's got, beneath the word "zero," in
8 parentheses, "lime."

9 A. Yes, sir, I have.

10 Q. Are you aware that ~~that well~~ produced 5 BCF
11 in gas?

12 A. Yes. In fact, ~~it~~ produced from the Morrow,
13 one zone above this one.

14 Q. So you're saying that that is a different
15 Morrow zone?

16 A. It's actually a different Morrow zone. From
17 the Morrow "A" still, but actually one sand stringer
18 above this lime.

19 Q. And this was an open-hole completion; is that
20 not right?

21 A. I --

22 Q. 150 feet?

23 A. I couldn't tell you for sure whether it was
24 open-hole. I know we had some -- a gas symbol beside
25 that zone.

1 Q. There were 150 feet open in the zone; do you
2 know that or not?

3 A. I don't know for sure, but I do know in
4 looking at the logs that that was the only zone that
5 showed -- We had both a proper dense- -- sonic or
6 density, some porosity log and also a resistivity log.

7 And in that whole section, that was clearly
8 the zone, that 5.7 BCF zone, that was the only thing
9 that showed any potential for pay.

10 Q. And so was one interval within this section
11 the only possible pay zone?

12 A. Yes, sir. And it was above this basal "A"
13 zone.

14 Q. That would be a sand body; it's not lime?

15 A. Yes, sir. All the payout here, really, has
16 been from sand in the Morrow here.

17 Q. Okay. If we go to your Exhibit Number 4,
18 you've indicated on this exhibit the two unorthodox
19 locations with the green dots; is that correct? One in
20 Section 9 and one in Section 17?

21 A. They would be prospective orthodox locations.

22 Q. And I believe you stated that by moving to
23 the unorthodox location in Section 9 you had gained no
24 advantage, in your opinion, on the acreage in -- on
25 Oryx with its acreage in 17?

1 A. Yes, sir.

2 Q. If you had not moved to the unorthodox
3 location, you wouldn't have been able to produce any of
4 the reserves in this Morrow channel, or very few of
5 them; isn't that right?

6 A. Correct.

7 Q. And with a well at this location it is fair
8 to say that you anticipate that you'll drain not only
9 the Morrow reserves on Section 9, but also those that
10 extend under Section 17?

11 A. We don't know the exact drainage radius for
12 this well, yet. Since it's a new discovery, we haven't
13 produced it much.

14 Q. And you wouldn't anticipate that it would --
15 its drainage radius would extend on the 17, or do you
16 just not know?

17 A. I don't think it will extend materially into
18 Section 17.

19 Q. And why is that? Do you think it will just
20 drain that small an area?

21 A. It's very possible it would drain a small
22 area.

23 Q. Now, if we look at this particular map -- All
24 of these maps are based on well control; isn't that
25 correct?

1 A. That is correct.

2 Q. You haven't integrated seismic -- Seismic
3 wouldn't show anything in this formation, would it?

4 A. I have not used seismic to make this map.

5 Q. Okay. So basically when we draw the zero
6 line through Section 17, we're looking at just the
7 well-control information from the wells shown on this
8 plat?

9 A. That is correct.

10 Q. And this is your interpretation?

11 A. Right. But you must remember, there is some
12 regional Morrow control we can look at here.

13 Once we establish satisfactorily by looking
14 at the well logs that we think we have a beach bar,
15 then it's necessary to trend that beach bar in a
16 direction that is more or less parallel to the coast
17 line for the Morrow.

18 And we find in Eddy County -- All of you are
19 probably familiar -- that the coast line in Morrow "A"
20 time through this area ran, if you will, about north 70
21 east -- or rather south 70 west, plus or minus.

22 Q. Well, when you were -- Were you involved in
23 the decision to take this well down to the Morrow?

24 A. Yes, partly.

25 Q. And at that time, the basic control and

1 information you had was on the well in the southwest of
2 Section 10; isn't that right?

3 A. That is correct.

4 Q. And so what you did is, you projected and you
5 decided to take the risk and drill a well in the
6 southwest of Section 9; isn't that right?

7 A. We based our decision to drill in Section 9
8 based on a statistical analysis of the Morrow success
9 rate in this field.

10 We found that out of 46 attempts to reach the
11 Morrow in this field, ten attempts produced at one-half
12 BCF or more.

13 Therefore we decided that because we were
14 drilling to the Upper Penn anyway, the incremental
15 costs of drilling to the Morrow substantiated drilling
16 it just based on a one-out-of-five chance of getting a
17 commercial accumulation.

18 (Off the record)

19 Q. (By Mr. Carr) All right. When you took your
20 one-in-five chance and took this well down to the
21 Morrow, in fact you were taking a chance that in fact
22 -- hoping that this beach deposit would extend off to
23 the west as, in fact, it apparently does?

24 A. Actually, we were just looking at the entire
25 Morrow sand interval, which of course exceeds -- I

1 guess it's about 200 feet.

2 I can show you on this one log here, or this
3 one structural cross-section, we can see the entire
4 Morrow. And our chance was somewhere, if you look in
5 our well section 2, there's about -- Yeah, just about
6 200-some-odd feet of Morrow. I guess about 170 feet
7 here.

8 We were just taking a chance that one of
9 those stringers would be pay.

10 Q. And if in -- To the same extent, now, if Oryx
11 took the same chance and decided to drill at the
12 proposed location, they might also encounter the Morrow
13 over there; isn't that right?

14 A. They could encounter one or several Morrow
15 pays.

16 Q. And they might even get this one?

17 A. The best interpretation we have shows that
18 this one will not be present.

19 Q. And the interpretation that you have -- I
20 believe if we look at Exhibit Number 6, you indicated
21 that the zero effective porosity -- You have an area
22 with a zero effective porosity line around it. I think
23 you said this was a conservative view; isn't that
24 right?

25 A. I did not express an opinion on that at the

1 time. However, I would say that this interpretation
2 represents the best interpretation I can make based on
3 the data I have.

4 Q. And you said -- You did not say this was a
5 conservative opinion?

6 A. I did not say this was a conservative
7 opinion.

8 Q. This --

9 A. I'm sorry, I said that in regard to the
10 direction this went in Section 17, it was not
11 conservative. I did express that as one went eastward
12 towards Section 10, that the amount of gas fill-up
13 within the porosity as shown is a conservative figure.

14 But the important fact is that I believe that
15 this line here of zero, which goes through the base of
16 16 and around through 17, 8 and 9, that that's the
17 limit of the reservoir.

18 Q. And that limit is based on the information
19 you have on the well in the southeast of Section 8?

20 A. Partly that.

21 Q. And the well in 17, in the southwest of 17?

22 A. Yes, partly that.

23 Q. And partly what else?

24 A. Partly the Section 21 well. Also, the abrupt
25 transition, if you will, less than a mile of -- from

1 good, clean sand to poor sand that we see from Section
2 10 to Section 15, as documented on the cross-section in
3 Exhibit 3, and an even more abrupt transition in
4 Section 14 between the Roaring Springs Federal Number 1
5 in the northwest quarter, and the southwest corner
6 well.

7 We see that there's a very abrupt change, if
8 you will, in facies.

9 Q. This line, however, could be a hundred feet
10 to the west, could it not?

11 A. Once again, the line we've drawn represents
12 our best interpretation.

13 Q. And your interpretation changed after you
14 completed the well in the Morrow in Section 9, did it
15 not?

16 A. Once again, I would like to state that -- I'd
17 like to say that I can take full credit for telling our
18 management to drill right here at this location for
19 this reservoir. I cannot do that. We did not approach
20 this project in that way.

21 Q. Well, the map indicates it was prepared in
22 5-90. That's this month?

23 A. Yes, sir.

24 Q. You did adjust this map based on information
25 from the well in the southwest of Section 9, did you

1 not?

2 A. I constructed this map based on that
3 information.

4 Q. And with that information, you -- Without
5 that information, you wouldn't have extended that zero
6 line into Section 17 as you have, would you?

7 A. That's correct.

8 Q. And if Marathon -- or, I'm sorry, if Oryx
9 takes a chance and goes out there and should drill a
10 well, it might extend that line even farther to the
11 west; isn't that right?

12 A. It is entirely possible that Oryx could have
13 a commercial gas well in Section 17 from one or more
14 Morrow stringers, but it is not likely to be this one.

15 As you know, if you look at the field as a
16 whole, there is not a single Morrow gas reservoir out
17 of all those 46 wells we see, there isn't a single
18 Morrow gas accumulation that extends more than a mile.

19 The attempts to offset Morrow wells a mile
20 away have met with no success.

21 Q. If no other wells are drilled in this Morrow
22 and completed in this Morrow stringer, all the
23 production to be obtained from the Morrow in this zone
24 will be produced by your well; isn't that right?

25 A. I suppose it's possible other wells could be

1 drilled in Section 16 later, or perhaps -- But at least
2 if no other wells are drilled, this will be a one-well
3 field which Marathon took the risk to discover, and
4 certainly we don't see any possibility for a commercial
5 well in this reservoir in Section 17.

6 Q. There are reserves, however, under 17 --
7 under Section 17, isn't that right, based on this -- on
8 Exhibit Number 6?

9 A. Our reservoir engineer has planimetered the
10 reserves that we could assume are there under Section
11 17; they are subeconomic.

12 Q. When did you make the decision to go on down
13 to the Morrow? Was that made during drilling?

14 A. No, sir. It was made in March of 1990.

15 At the end of February, 1990, I was asked to
16 present a candid assessment of the Morrow to our upper
17 management. I also was assisted in that effort by Mr.
18 Kent.

19 We once again performed a statistical
20 analysis, I talked to you earlier. And our management,
21 our VP, just said let's do it. And so we did it.

22 There was a change in development philosophy,
23 if you will, of our management to go ahead and take the
24 one-out-of-five likelihood of success and just drill
25 one out of five likelihoods all over the field and then

1 eventually pay out the program.

2 So that was -- The end of February, I made
3 the presentation. By the first part of March we were
4 doing paperwork to put that decision into effect.

5 Q. And when was the well actually drilled?

6 A. Spring of 1989.

7 Q. After the decision -- When the well was
8 spudded, did you know you were going to the Morrow?

9 A. Excuse me just a moment. I have to consult
10 with my reservoir engineer on that.

11 MR. KELLAHIN: Well, if you don't know the
12 answer --

13 Q. (By Mr. Carr) Right, can you answer --

14 A. Okay, I've forgotten the exact detail. We
15 had a -- We had a feeling that it would be, but I'm not
16 sure we had all the permits. I think we did.

17 MR. CARR: That's all I have.

18 EXAMINER CATANACH: Do you have anything
19 else?

20 MR. KELLAHIN: No.

21 EXAMINER CATANACH: I don't think I have
22 anything at this time, Mr. Kellahin.

23 MR. KELLAHIN: Okay, I'd like to call Mr.
24 Craig Kent at this time, Mr. Examiner.

25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

CRAIG T. KENT,

the witness herein, after having been first duly sworn upon his oath, was examined and testified as follows:

DIRECT EXAMINATION

BY MR. KELLAHIN:

Q. Mr. Kent, would you please state your name and occupation?

A. My name is Craig Kent, and I'm a petroleum engineer.

Q. Mr. Kent, on prior occasions have you testified as a petroleum engineer before the Division?

A. Yes, I have.

Q. And have you made a study of the engineering details involved with regards to this case?

A. Yes, I have.

MR. KELLAHIN: We tender Mr. Kent as an expert petroleum engineer.

EXAMINER CATANACH: He is so qualified.

Q. (By Mr. Kellahin) Mr. Kent, in looking at the Morrow completion of this well, have you made a study of the details with regards to the dually -- or the dual completion of this well with the Upper Penn production and the Morrow production?

A. Yes, I have.

Q. Have you also made an engineering assessment

1 of the available reserves to be produced by this well?

2 A. Yes, I have.

3 Q. And based upon your engineering studies and
4 calculations, do you have for us an estimate of whether
5 or not there are reserves available in Section 17, the
6 Oryx section, to be produced?

7 A. Yes, I do.

8 Q. Let me direct your attention, Mr. Kent, to
9 what is marked as Exhibit Number 8. Describe for us
10 the information that you utilized in order to make this
11 P-over-Z plot.

12 A. Exhibit Number 8 was constructed based on
13 several different factors:

14 First of all, pressure data from the DST we
15 performed on the Morrow zone that we are completed in.

16 Second of all, on porosity and water-
17 saturation estimates from open-hole logs.

18 And third, from Mr. Carlson's interpretation
19 of the geology in the area.

20 Q. What have you concluded to be the total gas
21 in place within this basal "A" Morrow Pool that is
22 penetrated and capable of production from the subject
23 well?

24 A. Based on -- Based on my data, I concluded
25 that there's about 1.5 BCF gas in place in this pool.

1 Q. What, in your opinion, is the volume of
2 recoverable gas available within the reservoir that's
3 penetrated by the subject well?

4 A. Approximately 1.3 BCF of gas.

5 Q. How did you get from 1.5 down to 1.3
6 recoverable gas?

7 A. I made a material balance calculation using
8 an abandonment pressure of approximately 500 pounds to
9 determine the amount of gas that would be produced from
10 the reservoir, from initial pressure down 500 pounds.

11 Q. I think it might be helpful if we went back
12 to one of Mr. Carlson's displays to help us understand
13 what you did, Mr. Kent, and let me show you if you have
14 available his Exhibit Number 6.

15 When you look at the reservoir and the
16 relationship to the -- of the reservoir to the
17 interests --

18 A. Uh-huh.

19 Q. -- what portion of the reservoir recoverable
20 gas is going to be produced by the interest owners in
21 the Marathon-operated unit?

22 A. Approximately 85 percent, based on this
23 interpretation.

24 Q. I assume, then, the remaining 15 percent
25 would be gas available for production from either

1 Section 8 -- from Sections 8 and 17 on the display?

2 A. That's correct.

3 Q. Approximately what would it cost to drill a
4 well to produce gas out of this Morrow basal "A" sand?

5 A. Based on our experience out there, dryhole
6 cost would be about \$400,000.

7 Q. And give us an estimate of the probable range
8 of gas price.

9 A. Right now it's running about a dollar-fifty
10 per MCF.

11 Q. Can you apportion for us the volume of
12 recoverable gas that's available for production in
13 Sections 8 and 17?

14 A. Based on the 1.3 BCF recoverable from the
15 entire reservoir and the 15 percent that would not be
16 produced from the Marathon North Indian Basin Unit,
17 that leaves about 200 million cubic feet of gas to be
18 produced.

19 Q. In your opinion, is 200 million cubic feet of
20 gas a sufficient amount of gas to justify the drilling
21 of a well in Section 17?

22 A. No, it's not.

23 Q. It would not even recover the dryhole cost
24 one time, would it?

25 A. That's correct.

1 Q. Let's turn your attention now, Mr. Kent, to
2 how you propose to produce the Upper Penn with the
3 Morrow production.

4 A. Okay.

5 Q. Let me direct your attention to Exhibit
6 Number 9. Is this an exhibit that you prepared or
7 caused to be prepared?

8 A. Yes, it is.

9 Q. Describe for us what you propose to do.

10 A. Basically what you see on the left portion of
11 the diagram is a schematic showing various casing,
12 setting depths, the proposed tubing configuration, the
13 perforation intervals in both the Upper Penn and
14 Morrow. And then on the right part of that description
15 is a detailed description of the tubing configuration.

16 On the right portion of the diagram is some
17 narrative giving more detailed information on cement
18 volumes, centralizer types and depths, tubing sizes and
19 weights, packer type and perforation and shot density.

20 Q. Describe for us the location of the Upper
21 Pennsylvanian perforations that were previously
22 approved at this location by the Commission.

23 A. The Upper Penn is perforated from a depth of
24 7400 feet to 7416 feet KB, with four jet shots per
25 foot.

1 Q. The method by which you'll produce that gas,
2 then, is what?

3 A. We'll produce the gas of the tubing-casing
4 annulus.

5 Q. And why would you do it that way?

6 A. That's the most convenient way, due to the
7 expected volumes of gas that we should see.

8 Our other option was to run with dual 2-1/16
9 strings. However, through the high friction pressure
10 drop we would expect, it didn't seem to be a good
11 option to produce this well effectively.

12 Q. Let's turn now to the Morrow perforations.
13 Where are the Morrow perforations in the well?

14 A. The Morrow is perforated from a depth of 9167
15 to 9185 feet KB, six shots a foot.

16 Q. Then you will produce Morrow up to tubing
17 strength?

18 A. That's correct.

19 Q. Are you satisfied as an engineer that the
20 design by which you will dually complete and produce
21 both zones has sound mechanical integrity and meets the
22 standards of the industry for production of two gas
23 intervals like this?

24 A. Yes, sir.

25 Q. Is there anything specific you'd like to

1 direct our attention to in terms of the configuration
2 or the method of production of the two zones?

3 A. No.

4 Q. Let's turn, now, sir, to Exhibit Number 10.
5 Describe what that is and what it shows.

6 A. Exhibit Number 10 is a log section showing
7 the density neutron log that was run on this well.

8 At the top is a scale indicating various
9 curves.

10 At the bottom you see on the left side of the
11 depth track a rectangle with several circles in it.
12 That indicates the perforated interval in the Morrow.

13 Q. Describe -- Identify and describe for us
14 Exhibit Number 11.

15 A. Exhibit Number 11 is a similar log section of
16 the density neutron log, this time through the Upper
17 Penn Formation.

18 At the top again are the scales for the
19 various curves.

20 You see just above 7290 feet a line with an
21 indication, top of Upper Penn, and just below 7400 feet
22 on the left side of the depth track another rectangle
23 with several circles in it, which indicates the
24 perforated interval in the Upper Penn.

25 Q. Have you received any objection from any of

1 the parties with regards to the dual completion of the
2 well?

3 A. No, I haven't.

4 Q. In your opinion as an engineer, Mr. Kent,
5 should the production from the Morrow zone be penalized
6 because the well is at an unorthodox well location?

7 A. No, it shouldn't.

8 Q. Why not, sir?

9 A. First of all, the reservoir does not extend
10 far enough into Section 17 to provide opportunity to
11 drill a commercial well in Section 17.

12 Q. Is production at the unorthodox location, in
13 your opinion, necessary in order to recover the
14 reserves that are producible that underlie the Section
15 9 and 16 of the unit?

16 A. Yes, it is, because as shown on our geologic
17 interpretation, a well which would be located at a
18 legal location in Section 9 would not have encountered
19 the reservoir.

20 MR. KELLAHIN: That concludes my examination
21 of Mr. Kent.

22 We move the introduction of Exhibits 8
23 through 11.

24 EXAMINER CATANACH: Exhibits 8 through 11
25 will be admitted as evidence.

CROSS-EXAMINATION

BY MR. CARR:

Q. Mr. Kent, let's go to Exhibit Number 8.

A. Okay.

Q. As I understand this P-over-Z plot, you constructed this utilizing the drill-stem test information on the subject well in the Morrow zone; is that correct?

A. Not only that, but geologic interpretation of open-hole logs, et cetera.

Q. So we have -- and if I can -- I'm trying to find the point. The DST is indicated by the point at which the diagonal line intersects the -- What is it?

A. The zero cumulative production.

Q. And it's right below the 4000 mark?

A. Correct.

Q. That's one pressure point. There was no other pressure point, right?

A. That's correct. This plot was strictly built based on material balance. No other pressure data was available to give us a reservoir size.

Q. Is it normal to draw a P-over-Z plot with only one point?

A. In a case where you have an estimate of your reservoir size and other reservoir parameters, this is

1 a good tool to use to give you an idea of at what
2 reservoir pressure how much gas you should expect to
3 produce.

4 Q. So what you also did with this point, then,
5 you also integrated, I guess, some volumetric
6 information; is that right?

7 A. That's correct, based on the geologic
8 interpretation.

9 Q. And so you used the drainage area from the
10 geological interpretation; is that right?

11 A. That's correct.

12 Q. And then using that, you were able to project
13 this line?

14 A. Correct.

15 Q. Now, if -- And again, that is dependent upon
16 the accuracy of the geological interpretation?

17 A. That's right.

18 Q. And if that was in fact incorrect and there
19 was a larger drainage area, then in fact that would
20 increase the reserves; isn't that shown on this?

21 A. That's correct. And conversely, if it -- if
22 the reservoir is smaller it would show less reserve,
23 right.

24 Q. Were you involved in the decision to take
25 this well down to the Morrow?

1 A. Yes, I was.

2 Q. Was that decision made prior to the time you
3 actually began to drill?

4 A. Yes, it was.

5 Q. Would you concur in Mr. Carlson's statement
6 that you felt you had like a one-in-five chance of
7 actually making a well in the Morrow?

8 A. Yes, sir.

9 Q. And you didn't come back to the Oil
10 Commission at that time. Now, why was that?

11 A. Because of that one-in-five chance. We felt
12 that there was a very, very small chance of actually
13 getting production from the Morrow.

14 Q. And so at that time, you weren't really --
15 You thought you might not have to be here today?

16 A. That's correct. In fact, we thought there
17 was an 80-percent chance we wouldn't be here today.

18 Q. If Oryx converse- -- or would now take a
19 chance and drill a well up there, if they have a good
20 chance, why then they wouldn't intersect the Morrow in
21 Section 17; isn't that right?

22 A. That's right.

23 Q. And if they did, then again the whole
24 interpretation on the reservoir would change?

25 A. That's correct.

1 Q. You said that you felt no penalty was
2 appropriate because you weren't draining anything from
3 Section 17? Was that the correct --

4 A. No, that's not correct.

5 Q. Okay, what was your reason for no penalty?

6 A. First of all, there's not enough reserves to
7 support a commercial well in Section 17. And without a
8 well in Section 17, a penalty on acreage factor serves
9 no purpose.

10 Q. You couldn't drill a well at the legal
11 location in 17?

12 A. I'm -- Based on our interpretation, there's
13 not enough reserves in this particular reservoir to
14 justify drilling a well at any location in 17.

15 Q. You couldn't even have drilled a legal
16 location in your section and produced these reserves in
17 this Morrow?

18 A. That's correct. But we took advantage of the
19 unit, unitized operations that we have, whereby we're
20 going to share the reserves equally between Section 9
21 and Section 16.

22 Q. You're proposing to dually complete this
23 well?

24 A. Uh-huh.

25 Q. And you -- If I look at the downhole

1 mechanism, you've got a sliding sleeve and an on/off
2 tool. Both of these have rubber seals in them; is that
3 not correct?

4 A. That's correct.

5 Q. Have you had experience with any problems
6 with leakage with these seals in either the sliding
7 sleeve or the on/off tool?

8 A. Personally, no.

9 Q. Is there any way you can monitor this to
10 assure that production coming from the Morrow is
11 actually from the Morrow and not just Upper Penn
12 production getting away from your wellbore?

13 A. It would be very difficult.

14 MR. CARR: That's all I have.

15 THE WITNESS: But again, that's a standard
16 method of producing.

17 EXAMINER CATANACH: No questions.

18 MR. KELLAHIN: Mr. Examiner, at this time I
19 would call Mr. Curtis Smith.

20 CURTIS SMITH,

21 the witness herein, after having been first duly sworn
22 upon his oath, was examined and testified as follows:

23 EXAMINATION

24 BY MR. KELLAHIN:

25 Q. Mr. Smith, will you please state your name

1 and occupation?

2 A. My name is Curtis Smith. I'm a petroleum
3 landman for Marathon Oil Company.

4 Q. Mr. Smith, on prior occasions have you
5 testified as a petroleum landman before the Division?

6 A. Yes, sir.

7 Q. Pursuant to your employment as a petroleum
8 landman, are you familiar with not only the offsetting
9 operators to the Indian Basin Unit operated by
10 Marathon, but with the terms and conditions of the
11 operation?

12 A. Yes, I am.

13 MR. KELLAHIN: We tender Mr. Smith as an
14 expert petroleum landman.

15 EXAMINER CATANACH: He is so qualified.

16 Q. (By Mr. Kellahin) Mr. Smith, let me take
17 both of your displays at the same time, if you will.

18 Exhibit Number 12 and 13 represent what?

19 A. Okay, Exhibit Number 12 are the offset
20 operators and lessees in Sections 5, 8 and Section 17.
21 Of course, Section 16 is operated by Marathon, which is
22 in the Indian Basin -- North Indian Basin Unit -- and
23 the Section 13, the dashed outline is the North Indian
24 Basin Unit boundary.

25 This is a federal- and state-approved

1 exploration unit. The unit agreement is dated March
2 11th, 1963. Marathon is the operator with just over 74
3 percent working interest, and Phillips Petroleum
4 Company and Graham Royalties are working-interest
5 partners.

6 Q. Having studied the ownership arrangement, can
7 you tell us whether or not, sir, the Morrow production
8 that is shown for the Number 8 well in Section 9,
9 whether that will be production earned by and
10 attributable to the interest owners in the unit which
11 includes Sections 9, 16 and other sections?

12 A. Yes, yes. The ownership throughout the unit
13 is uniform. Section 9 is a federal lease. Section 16
14 is a state lease.

15 It's a state- and federal-approved unit, so
16 the owners that -- royalty owners in Sections 9 and 16
17 will share in the production, as well as the working-
18 interest owners.

19 Q. And the definition of the vertical limits of
20 the unit are broad enough to include not only the Upper
21 Penn but the Morrow production?

22 A. Yes, this -- The unit agreement and operating
23 agreement covered all depths, since it was an
24 exploration unit.

25 MR. KELLAHIN: That concludes my examination

1 of Mr. Smith. We move the introduction of his Exhibits
2 12 and 13.

3 EXAMINER CATANACH: We have no questions of
4 Mr. Smith.

5 (Off the record)

6 MR. KELLAHIN: Mr. Examiner, I'd like to move
7 the introduction of a certificate of mailing which
8 we'll mark for the record as Exhibit Number 14. It's
9 our notification to Oryx and the other offsetting
10 interest owners of the dual completion and the location
11 request. I would move its introduction at this time.

12 EXAMINER CATANACH: Exhibit Number -- 13?

13 MR. KELLAHIN: 14.

14 EXAMINER CATANACH: -- 14, will be admitted
15 as evidence.

16 MR. KELLAHIN: That's the original.

17 That concludes our presentation, Mr.
18 Examiner.

19 (Off the record)

20 EXAMINER CATANACH: Let's take a short --
21 just a short 10-minute break between presentations, and
22 then we'll just run right on through.

23 (Thereupon, a recess was taken at 11:50 a.m.)

24 (The following proceedings had at 12:07 p.m.)

25 MR. KELLAHIN: Mr. Examiner, on behalf of

1 Marathon Oil Company, I'd like the record to reflect
2 that Mr. Larry Garcia, attorney for Marathon, is
3 present and assisting in the presentation today.

4 That concludes our direct presentation, Mr.
5 Examiner.

6 EXAMINER CATANACH: Mr. Carr, you can
7 proceed.

8 MR. CARR: At this time we call Mr. Rojas.

9 DAVID R. ROJAS,
10 the witness herein, after having been first duly sworn
11 upon his oath, was examined and testified as follows:

12 DIRECT EXAMINATION

13 BY MR. CARR:

14 Q. Will you state your full name for the record,
15 please?

16 A. My name is David R. Rojas.

17 Q. Mr. Rojas, where do you reside?

18 A. I reside in Midland, Texas.

19 Q. By whom are you employed and in what
20 capacity?

21 A. I am employed by Oryx Energy Company, and I
22 am a staff geologist.

23 Q. Have you previously testified before this
24 Division and had your credentials as a geologist
25 accepted and made a matter of record?

1 A. Yes, I have.

2 Q. Were you qualified as an expert in petroleum
3 geology in the previous hearings?

4 A. I was.

5 Q. Are you familiar with the Application filed
6 in this case by Marathon?

7 A. I am.

8 Q. Are you familiar with the subject area?

9 A. Yes, I am.

10 Q. Have you performed a study of the Morrow in
11 this area?

12 A. Yes, I have.

13 Q. Have you prepared certain exhibits for
14 presentation in this hearing?

15 A. I have.

16 MR. CARR: Are the witness's qualifications
17 acceptable?

18 EXAMINER CATANACH: They are.

19 Q. (By Mr. Carr) What is the purpose of Oryx's
20 presentation in this hearing?

21 A. Oryx seeks to have a penalty assigned to the
22 Marathon North Indian Basin Unit Number 8 Well, the
23 Morrow production in that well.

24 Q. Would you refer to what has been marked for
25 identification as Oryx Energy Company Exhibit Number 1,

1 identify that and review it for the Examiner?

2 A. Exhibit Number 1 is a structure map on top of
3 the second member of the Lower Morrow Formation.

4 The scale on this map is one inch equals 4000
5 feet, and it covers roughly the same area as Marathon's
6 exhibits in the direct testimony that was given by
7 Marathon.

8 The sections are drawn in turquoise lines and
9 represented by a section number in the middle of each
10 section.

11 The wellbore -- Or the well symbols have
12 numbers surrounding them. The number on the top is the
13 completion date, original completion date of the well.
14 The number to the right is the well number. The number
15 below the well symbol is the TD of the well. And the
16 number in red to the left of the well symbol is the
17 subsea top of the second Lower Morrow, or the second
18 member of the Lower Morrow.

19 You will see two brown lines proceeding
20 southwest to northeast, marked A to A prime and B to
21 B prime. These are cross-sections that I will present
22 in Exhibit Number 4.

23 Q. What basically does this exhibit show you?

24 A. The primary reason for this exhibit is to
25 show that a potential legal location in Section 17

1 would be roughly 140 to 150 feet updip to Marathon's
2 North Indian Basin Unit Number 8 Well in Section 9.

3 Q. Does this also indicate that the same
4 interval is potentially present at that location?

5 A. Yes, it does.

6 Q. Let's go now to what has been marked as your
7 Exhibit Number 2. Would you identify that for Mr.
8 Catanach, please?

9 A. Exhibit Number 2 is a gross isopach of that
10 second member of the Lower Morrow, and again the scale
11 is the same as the previous exhibit.

12 The numbers around the wellbore symbols are
13 similar, except for the red number to the left of the
14 red well symbol, which now is the gross thickness of
15 this second member of the Lower Morrow.

16 Again, the cross-sections are shown, and the
17 potential legal location in Section 17 in brown.

18 Q. Using this, can you generally describe your
19 interpretation of this particular Morrow member?

20 A. Yes, I've done regional mapping in the area
21 of the Lower Morrow, and I have found that it is a --
22 generally a channel sand, and that the channels are
23 oriented in a northwest/southeast trend due to the
24 source rock of the Lower Morrow being the pedernal
25 mass, pedernal uplift to the northwest, and that this

1 map shows a congregate of Lower Morrow channels.

2 This is a composite of Lower Morrow channels,
3 and it shows thicks and thins.

4 For example, if you'll look in the lower
5 right-hand corner of the map you'll see in Section 14 I
6 show a thick gross isopach; and again in Section 21, in
7 the northeast quarter of that section, I show a thick
8 of gross isopach.

9 Q. If we look at that well in Section 21, do you
10 have an opinion -- Are we looking at a sand body or a
11 lime?

12 A. Yes, we're looking at a sand in that well.

13 Q. This is not a porosity isopach, is it?

14 A. No, this is a gross isopach of the second
15 member of the Lower Morrow.

16 Q. And does this -- What does this tell you
17 about Section 17?

18 A. What this shows is, as I said -- stated
19 previously -- a northwest/southeast-trending
20 orientation of these channels or of these members of
21 the congregate channel, and that there are thicks which
22 are oriented in a northwest/southeast direction.

23 And according to the data that I have,
24 suggest that there are two main bodies of thicks.

25 The one to the southwest, centering around

1 Section 21 in the northeast corner, would orient itself
2 such that a sand would be present in Section 17.

3 Q. This exhibit also contains the traces for the
4 subsequent cross-section?

5 A. Yes, it does.

6 Q. Let's go now to Exhibit Number 3. Would you
7 identify that for the Examiner?

8 A. Exhibit Number 3 covers the same area as the
9 previous two exhibits, and similarly the wells -- the
10 well symbol and the data around it are the same, except
11 for now to the left of the well symbol is in green a
12 number representing the clean gamma-ray thickness, or
13 an isopach of the clean gamma ray within the second
14 member of the Lower Morrow.

15 I have chosen a cutoff of 60 API units on the
16 gamma ray as a cutoff for clean gamma ray.

17 Again, this shows similar developments of
18 thicks, indicating once again this northwest-southeast
19 trend, and again, as I've stated, the trend to the
20 south, proceeding up across Section 17 and the
21 potential location in that section.

22 Q. And what does this tell you about the
23 potential location in Section 17?

24 A. It tells me that, number one, that there is
25 clean gamma-ray interval present in Section 17, and as

1 you look, connecting the brown cross-section line from
2 the potential location in Section 17 to the North
3 Indian Basin Unit Number 8 Well in Section 9, that
4 there is a continuous clean gamma-ray member that can
5 be correlated.

6 Q. Mr. Rojas, when did you receive detailed
7 information on the Number 8 Well in the Morrow
8 interval, the Marathon well in Section 9?

9 A. I was not made privy to that information
10 until Marathon gave us that information last Thursday.

11 Q. And what impact on Oryx's plans has this
12 information had?

13 A. Subsequent mapping that I've done since
14 receiving this information indicates to me that we have
15 a potential location in Section 17.

16 Further investigation of this information,
17 along with the production that will be recovered from
18 the well in Section 9, will be used to analyze the
19 potential for a proposed location in Section 17.

20 Q. Do you think you'd have a one-in-five chance,
21 maybe, of intercepting a Morrow pay?

22 A. I believe that's a -- Correct.

23 Q. Let's go now to Exhibit Number 4, the cross-
24 section, and I'd ask you to explain what this shows and
25 then review the information for the Examiner.

1 A. Okay. It would be easiest to look at Exhibit
2 Number 4 and one of the other three exhibits at the
3 same time, to orient yourself as to the direction in
4 which the cross-section travels and the beginning and
5 ending points of this cross-section.

6 You'll see on Exhibit Number 4 two cross-
7 sections, A to A prime and B to B prime, located one
8 above the other. This is to represent the
9 perpendicular angle at which these cross-sections cross
10 the channel members on the -- that I have mapped on the
11 Exhibits Number 2 and Exhibit Number 3.

12 The brown curve which -- Excuse me, the brown
13 line which proceeds across each cross-section, labeled
14 the datum on each cross-section, is the top of the
15 second member of the Lower Morrow.

16 The blue, cyan curve, or the blue -- the cyan
17 line which you see -- proceeds across each one of the
18 cross-sections -- marks the base of the second member
19 of the Lower Morrow.

20 Between the datum line and this base of
21 second member of Lower Morrow, you'll see places I have
22 shaded in orange. These represent the interval in
23 Exhibit Number 3, being the clean gamma ray, or that
24 portion of the gamma ray which exceeds -- or which is
25 less than 60 API units.

1 You'll notice that the -- In cross-section A
2 to A prime, the left-hand -- beginning of the cross-
3 section is in the southwest corner of Section 17.

4 Q. That's not a well --

5 A. That's --

6 Q. -- that's just the corner of that section?

7 A. That is correct. Again, as we move to the
8 right along cross-section A to A prime, we go to Oryx's
9 potential location, legal potential location, in
10 Section 17, and we can see I have presented the data
11 that I showed in the Exhibits 2 and 3 as the gross and
12 the net clean gamma-ray interval.

13 And then as we go to the third well over, we
14 see the green curve coming down the red line, which
15 represents the gamma-ray curve. The red line
16 represents the gamma-ray cutoff which I used of 60 API
17 units.

18 Q. What does the stippled area indicate?

19 A. The stippled area in each curve on both of
20 the cross-sections represents that portion of the
21 second member of the Lower Morrow which has a clean
22 gamma ray.

23 Q. What conclusions can you reach from this
24 exhibit?

25 A. There are two conclusions -- main conclusions

1 that I'd like to point out, and that is, as I stated
2 before, the two cross-sections cross perpendicularly
3 across the main chan- -- main bodies of channels, and
4 that if you look in cross-section A to A prime and
5 compare it with cross-section B to B prime, the Oryx
6 Energy Bright Federal Number 1, the second well from
7 the left in cross-section B to B prime, is in a main
8 portion of a development of the second member of the
9 Lower Morrow.

10 This I correlate to be the same thickening
11 member present under Section 17.

12 Similarly, as we move to the right on both of
13 the cross-sections, you'll see another thickening
14 interval.

15 In cross-section A to A prime this takes
16 place between the Marathon North Indian Basin Unit
17 Number 8 and the Marathon North Indian Basin Unit
18 Number 1.

19 And in B to B prime this takes place at the
20 Marathon Oil Indian Basin "B" Number 1, the second well
21 from the right in cross-section B to B prime.

22 Q. So basically if we look at B to B prime and
23 take the second and third wells from the left, this
24 shows a thick. And it is this thick that, when you
25 apply it to the structures you're mapping, it extends

1 into Section 17 and would tell you that there is a
2 Morrow potential there?

3 Q. That is correct. It shows that, that there's
4 Morrow potential at these northwest-southeast trends,
5 and that -- The second point which I wanted to make was
6 that it indicates that there is a continuous sand
7 member or a continuous clean gamma-ray member which
8 would proceed from the North Indian Basin Unit Number 8
9 Well to the potential Oryx location.

10 Q. And Mr. Rojas, this is a stratigraphic cross-
11 section?

12 A. That is correct.

13 Q. What would -- How would this change if it was
14 a structural cross-section?

15 A. If it was structural, you would see the 140
16 to 150 feet of structural gain that we would have in
17 the Oryx potential location.

18 Q. What conclusions can you reach from your
19 study of the Morrow in this area?

20 A. The conclusions I can reach are that the
21 location of Marathon's North Indian Basin Unit Number 8
22 well is in a portion of the second member of the Lower
23 Morrow, which has high potential to be present under
24 Section 17 and will actually drain reserves which can
25 be recovered from Section 17.

1 Q. Were Exhibits 1 through 4 prepared by you?

2 A. Yes, they were.

3 MR. CARR: At this time we would move the
4 admission of Oryx Exhibits 1 through 4.

5 MR. CATANACH: Exhibits 1 through 4 will be
6 admitted as evidence.

7 MR. CARR: That concludes my direct
8 examination of Mr. Rojas.

9 CROSS-EXAMINATION

10 BY MR. KELLAHIN:

11 Q. Perhaps we should start with Exhibit Number
12 4, Mr. Rojas.

13 A. Okay.

14 Q. I don't know if you have Mr. Carlson's
15 Exhibit Number 3, but we might take a moment and find
16 you a copy of Exhibit Number 3.

17 When we compare your stratigraphic cross-
18 section, Exhibit 4, Mr. Rojas, to Mr. Carlson's Exhibit
19 Number 3, are both of you gentlemen mapping what Mr.
20 Carlson has referred to as the Morrow basal "A" sand?

21 A. In Mr. Carlson's cross-section, the central
22 well that he used, the Marathon Indian Basin -- Excuse
23 me, just a moment. I need to reorient myself. I
24 thought that was the one.

25 I don't believe that Mr. Carlson has made a

1 correct correlation.

2 Q. Well, that wasn't my question yet.

3 A. Oh, I'm sorry.

4 Q. When you --

5 A. Can you rephrase the question?

6 Q. I'll repeat it for you.

7 When we look at Mr. Carlson's cross-section,
8 Exhibit Number 3 --

9 A. Yes.

10 Q. -- see the Number 3 well, he's got the
11 Marathon Federal IBA Number 1 in Section 13?

12 A. Yes, sir.

13 Q. Find that?

14 A. Yes, sir.

15 Q. If you look at your lower display on your
16 cross-section, the center well is in fact the same
17 well, isn't it?

18 A. It is the same well, yes.

19 Q. All right. When we're looking at the
20 interval that you have mapped, are you mapping the
21 Morrow basal "A", or are you mapping something else in
22 the Morrow?

23 A. I'm mapping as Morrow basal "A" and as
24 Marathon Number 1 well, but he doesn't maintain a
25 stratigraphic correlation, similar stratigraphic

1 correlation to what I have.

2 The interval -- I see what you're getting at.

3 Q. No, you're getting ahead of me. I want to
4 make sure we're dealing with apples and apples, okay?

5 A. We're not.

6 Q. Are you gentlemen both looking at the
7 interval that was perforated in the Marathon Number 8
8 well?

9 A. Yes, we are.

10 Q. Do you see any potential in the Marathon 8
11 well for perforations in other portions of the Morrow
12 than was perforated by the Marathon well?

13 A. I have not reviewed the entire log to state
14 -- make such a statement, but I -- I don't know of any
15 other interval that I would choose to perforate.

16 Q. Okay. When we look at the Lower Morrow basal
17 "A" in the area that you've examined, do you find any
18 other well in the area shown on your Exhibit Number 3
19 that is productive of this Morrow basal "A" sand?

20 A. Again, we're not looking at apples and
21 apples.

22 We're looking at two different
23 interpretations of stratigraphic correlations, and I do
24 see another well on my cross-section, B to B prime,
25 that being the Marathon Indian Basin B Number 1, that

1 has produced out of the equivalent interval that is --
2 stratigraphic interval that is perforated in the
3 Marathon North Indian Basin Number 8 Well.

4 Q. Okay. When we look at Section 14 then,
5 you've got 54 feet on your isopach exhibit, Number 3?
6 Did I read that correctly?

7 A. Clean gamma ray, yes, sir.

8 Q. Yes, sir, you've got 54 --

9 A. Yes, sir.

10 Q. -- as the value?

11 Mr. Carlson's interpretation shows that that
12 sand productive in that well in Section 14 is not
13 correlative to the sand that he produces in the Section
14 9 well, and you disagree?

15 A. Yes, sir.

16 Q. Okay. In looking at the stratigraphic cross-
17 sections, though, both of you are focused in on what he
18 has called the Morrow basal "A"?

19 A. By virtue of the North Indian Basin Unit
20 Number 8 Well.

21 Q. That's right. Okay.

22 In making your cross-section, you have chosen
23 not to tie in the two cross-sections together so that
24 we can see if they fit?

25 A. My purpose was to -- in drawing the cross-

1 sections -- to draw them perpendicularly to the
2 channel, main channel, thick members of the channel, in
3 order to indicate the correlative trends that are
4 present in the area.

5 There was no purpose or lack of purpose in
6 not connecting the two cross-sections.

7 Q. Mr. Carlson has shown in his interpretation
8 that the basal Morrow "A" sand is a beach deposition
9 that would be separate and distinct from the area
10 you've shown in the south and east on your display; did
11 I understand that correctly?

12 A. That is correct.

13 Q. Okay. What tells you, in your analysis, that
14 this is a channel deposition in this Morrow basal "A"
15 and not a beach environment?

16 A. Well, I've based this interpretation on a
17 regional -- on looking at the regional area and the
18 presence of Morrow production in the region.

19 We have Morrow production to the north,
20 Morrow production to the east and Morrow production to
21 the south, which are -- This production from the Lower
22 Morrow is in channel trends from the northwest to the
23 southeast.

24 And it wasn't based solely on information
25 which would indicate by three wells that we have a

1 beach sand in an environment not conducive to that.

2 Q. Other than the well in 9, Section 9, and the
3 well in 14, do we find any other of the wells on your
4 Exhibit Number 3 that are productive from this
5 interval?

6 A. Productive, no, sir.

7 Q. Productive of gas?

8 A. No, sir. Productive of gas --

9 Q. -- from the -- this Morrow basal "A" sand?

10 A. No, sir.

11 Q. When we look at your -- Oryx's potential
12 location -- and I think we can see that on Exhibit
13 Number 4 --

14 A. Yes.

15 Q. -- interpret that for me on the cross-section
16 in terms of the thickness that you would estimate you
17 would encounter for the well?

18 A. The thicknesses that I have shown in the
19 gross isopach of the second member of the Lower Morrow,
20 that being from the brown datum line to the cyan blue
21 line, is correlative with the information that I show
22 in Exhibit Number 2, that being the gross isopach, and
23 shows --

24 Q. What -- At that location, then, what would be
25 the gross thickness for your well?

1 A. Nineteen feet.

2 Q. You've got 19 feet of gross thickness in this
3 basal "A" Morrow sand?

4 A. That is correct.

5 Q. All right. What do you get on your net
6 isopach on the gamma-ray value, Exhibit Number 3?

7 A. Twelve to 14 feet.

8 Q. What, in your opinion as a geologist, is the
9 necessary minimum footage on the gross map in order to
10 have a commercial location?

11 A. We have used numbers in the realm of three
12 and four feet of porosity.

13 However, the footage that Marathon has
14 entered in their presentation of ten feet might be a
15 good number to use in addition to the numbers that I
16 have seen used.

17 It depends on other factors besides just the
18 thickness.

19 Q. I didn't understand your answer. When we
20 look at the net map --

21 A. Yes, sir.

22 Q. -- the gamma-ray map, you give me a value of
23 12 to 14 feet?

24 A. Yes, sir.

25 Q. Now, does that, in your opinion, satisfy your

1 criteria for picking a location that has a certain
2 minimal thickness value on that map to be commercial?

3 A. Yes. In fact, I would use the zero line as
4 an indication of where there are reserves under Oryx's
5 lease, which should be considered in the drainage
6 aspect of our lease.

7 Q. My question to you, sir, was to pick the
8 optimum location in Section 17, and I wanted to
9 understand whether it was important to you as a
10 geologist to have a higher number on either the gross
11 map or the net map.

12 A. The higher number that you can reach, the
13 more production that you would anticipate being able to
14 recover from that well.

15 Q. Okay.

16 A. However, that isn't -- That would be in a
17 situation where you were structurally flat.

18 As I have indicated, and so has Mr. Carlson
19 in his testimony, that Oryx's lease on this second
20 member of the Lower Morrow, or the basal "A" member, as
21 he wishes to call it, would be 150 feet updip on our
22 lease in a legal, standard location.

23 Q. When we compare the two structure maps, is
24 there a material difference between the two of you on
25 the way you've mapped and interpreted the structure?

1 A. No.

2 Q. Have you generated a map for the engineer to
3 utilize in determining the volume of gas in place that
4 underlies Section 17 in the basal "A" sand?

5 A. The maps that I have generated, being the
6 gross and the net isopachs, are the only maps that I
7 have generated for that use.

8 Q. What was your interpretation prior to getting
9 the data from the Marathon well in Section 9?

10 A. One more time, if you could, sir?

11 Q. Yes, sir. What was your geologic
12 interpretation of the basal Morrow "A" sand before you
13 got the Marathon last week on the well in Section 9?

14 A. As far as its depositional environment,
15 because the channel member is present in the well in
16 Section 10 which we did have, we still maintained an
17 interpretation of a channel of the Lower Morrow.

18 But because there was -- wasn't any producing
19 Lower Morrow offsetting our acreage, we had no maps at
20 that time which depicted this second member of the
21 Lower Morrow.

22 Q. So these maps were constructed after
23 receiving the Marathon information for Section 9?

24 A. Yes, sir.

25 Q. And that prior to that you did not have an

1 interpretation of the basal "A" Morrow sand?

2 A. I did not have a mapped interpretation, no,
3 sir.

4 Q. That would have encompassed Section 17, if
5 you will?

6 A. No, sir.

7 Q. Identify for us what would have to change, in
8 your opinion, for you to agree with Mr. Carlson's
9 interpretation of the geology.

10 A. What would have to change in respect to Mr.
11 Carlson's exhibits?

12 Q. What would have to change, in your opinion,
13 for you to agree with Mr. Carlson?

14 I'm trying to focus in on those -- You
15 gentlemen have utilized the same data and come to
16 different conclusions. I want to understand why.

17 So describe for me what things would change
18 for you to agree with Mr. Carlson.

19 A. I think Mr. Carlson and I both agree that
20 there is porous -- either second member of the Lower
21 Morrow or his basal "A" member, there is a porous
22 interval of that same sand that's being produced in
23 Marathon's Number 8 well present under our lease.

24 The environmental -- the deposition --
25 environment of deposition, which these channels or bars

1 were deposited under, are a method of interpretation.

2 And in order to interpret my maps in the form
3 that Mr. Carlson has with a basal -- with a channel --
4 with a bar, barrier bar, he would have to change my
5 whole view on the regional depositional environment of
6 the Morrow, the Lower Morrow, which I don't see
7 happening, sir.

8 Q. Is that the critical issue upon which the
9 differences exist? The fact that you geologically have
10 concluded that this is a channel sand and Mr. Carlson
11 has concluded it was a beach-environment deposition?

12 A. I believe so.

13 Q. When I look at the second member, Lower
14 Morrow that you have put on your display, am I clear in
15 understanding that corresponds to what Mr. Carlson has
16 mapped as the Morrow basal "A" sand?

17 A. Only in their -- in Marathon's Number 8 well.
18 Our stratigraphic correlations do not proceed in the
19 area similarly.

20 Q. Are you picking up more Morrow sands in the
21 other wells that you correlated?

22 A. Other than --

23 Q. Yeah. You've identified the Morrow basal "A"
24 sand in the Number 8 well in Section 9?

25 A. That's correct.

1 Q. All right.

2 A. And stratigraphically, each of the exhibits,
3 including Exhibit Number 4, is only exhibiting the
4 second member of the Lower Morrow.

5 I have not incorporated any other members of
6 the Lower Morrow in my mapping.

7 The second member of the Lower Morrow does
8 not maintain equal thickness throughout the mapped
9 area, as I believe both geologic interpretations show.

10 MR. KELLAHIN: Okay, I have no further
11 questions. Thank you.

12 EXAMINATION

13 BY EXAMINER CATANACH:

14 Q. Mr. Rojas, you can't have two -- the beach-
15 type depositional environment and the channel
16 depositional environment in the same general area; is
17 that correct?

18 A. Not in the same stratigraphic deposit, no,
19 sir.

20 Q. So regionally, if these are channel-sand
21 developments, this is likely to be a channel-sand
22 development as well?

23 A. Yes, sir.

24 EXAMINER CATANACH: I have no further
25 questions.

EXAMINATION

BY MR. STOVALL:

Q. I have a couple questions, just to understand it.

Would I be correct if I were to say, as a non-geologist looking at your varied interpretations here, that the Morrow interval which you are mapping is -- includes the basal "A" Mr. Carlson used, plus some? Is that a correct statement?

A. I'm using the well which Mr. Kellahin used in his cross-examination.

Q. Which one is that? Let me make sure.

A. The north -- or the Marathon Federal IBA Number 1 Well --

Q. Okay.

A. -- in their Exhibit Number 3 --

Q. Uh-huh.

A. -- being the right-hand well.

And similarly, I have used the same well in my cross-section, B to B prime.

Q. Got you. I see the well in both cross-sections.

A. And you can see we have used completely different intervals to correlate --

Q. No, I can't see that because I'm not a

1 geologist --

2 A. I'm sorry.

3 Q. -- and you don't have a scale or a depth on
4 yours, so I'm not --

5 A. I'm sorry --

6 Q. -- can't tell if that correlates there.

7 A. -- I did not put depth on there.

8 However, if we look at the subsea of the well
9 in Section 15, we have encountered the Morrow at a
10 minus 5343 on Exhibit Number 1, we can see that.

11 Q. Your Exhibit Number 1?

12 A. My Exhibit Number 1, yes, sir.

13 Q. Let me find your Exhibit Number 1 here.

14 Okay, your Exhibit Number 1, Section 15.

15 Now, the top of the member which you are
16 showing on your cross-section is at minus 5343; is that
17 right?

18 A. Yes, sir. Correct. And if you apply the
19 Kelly Bushing measurement to that in order to back-
20 calculate the depth on the log --

21 Q. Uh-huh.

22 A. -- which we would encounter, you would find
23 that at a 9201.

24 If you'll look on Marathon's Exhibit Number
25 3, in the Federal IBA Number 1 Well, you'll see that

1 that depth is correlative to what Mr. Carlson has
2 marked with an unidentified correlation line, being at
3 92- -- He's got his at 9204.

4 Q. So your datum line on your B-to-B-prime
5 cross-section is approximately equivalent to that
6 unmarked line below the top of the Morrow "A" on Mr.
7 Carlson's cross-section; is that correct?

8 A. In that well, yes, sir.

9 Q. Okay. And approximately where would your --
10 You called it your cyan line, your curved line --

11 A. Yes, sir.

12 Q. -- below the orange section, where would that
13 be on Mr. Carlson's, just to help me relate --

14 A. Okay, that's fine. If we use again Exhibit
15 Number 2 of my exhibits to see that in Section 15
16 there's 25 feet of gross isopach, which is represented
17 by that cyan line on my Exhibit Number 4, the cross-
18 section --

19 Q. Okay.

20 A. -- then we can proceed from the datum which
21 we've now calculated at 9201, down 25 feet, and that is
22 the point at which we would contact that cyan line,
23 being at 9226. We would correlate that to Mr.
24 Carlson's cross-section well, and...

25 Q. So if I look at Mr. Carlson's Marathon -- the

1 IBA well, it's approximately halfway between the line,
2 which we've agreed is the common datum point there, and
3 what he's called the top of the Morrow basal "A"; is
4 that correct?

5 A. That's correct.

6 Q. So your cross-section does not show the basal
7 "A" as being part of that net thickness?

8 A. I don't believe that that line is -- in Mr.
9 Carlson's exhibit in his well, Marathon Federal IBA
10 Number 1 -- is a correlative stratigraphic equivalent
11 to the sandstone that's present in his other wells.

12 Q. What's below, let's say, your orange-shaded
13 area in Exhibit Number 4, below that 90- -- What was
14 it? 9225, roughly?

15 A. Right.

16 Q. What's below that, as far as you can see?

17 A. That is Barnett shale.

18 Q. So you'd move the top of the Barnett, which
19 he's got at approximately -- What? 9280? Am I right?
20 Give or -- Or 9278, something like that?

21 A. Yes, sir.

22 Q. You'd move the top of that Barnett up to
23 about 9225?

24 A. Yes, sir. And I'd put that limestone member
25 in the Barnett shale.

1 Q. And your Barnett would go down 9300 or below;
2 is that correct?

3 So you're just moving the top of the Barnett
4 up, I -- That's the question, I think.

5 A. Yes.

6 Q. And you don't believe that that interval is
7 productive from the top of the Barnett down, as you've
8 identified it?

9 A. No, sir.

10 Q. And when you go over to his -- Let's see, let
11 me get myself oriented here.

12 I think I need to look at the other cross-
13 section, Mr. Carlson's other cross-section.

14 Now, using Mr. Carlson's Exhibit Number 3 and
15 his Exhibit Number 5, trying to get this thing kind of
16 in my mind, the well number 2 on his cross-section,
17 Number 3, the Indian Basin Number 1, shows that there
18 has been a change from lime to sand in what he's
19 calling the basal "A"; is that correct?

20 Do you see where I am? Exhibit 3, Carlson
21 Exhibit Number 3.

22 A. Oh, I'm sorry. Yes, sir.

23 Q. Okay, and he goes and he shows that in the
24 IBA well it's a lime in that interval -- Just look at
25 the basal "A" --

1 A. Yes, sir.

2 Q. -- and then over in the Number 3 it's sand;
3 is that correct?

4 A. That's correct.

5 Q. I assume you would move the top of the
6 Barnett and the Indian Basin Number 1 Well up
7 approximately a correlative depth?

8 A. The Indian Basin Number 1 Well, that being
9 well number 3 in Exhibit Number 5?

10 Q. Oh, this is getting exciting. I was still
11 looking at Exhibit Number 3, and this is well number 2,
12 but -- Yes, it's well number 3 in Exhibit 5 as well.

13 A. I'm sorry.

14 Q. That's okay. I hadn't quite made the
15 transition yet.

16 A. I see what you're saying. Yes, I would move
17 the base -- or the top of the Barnett shale to a depth
18 of -- What is that? 92-...

19 Q. Somewhere above the top of his basal "A."
20 Between his basal "A" and that unidentified line,
21 right?

22 A. I believe he's marked -- Let's see, what has
23 he marked Barnett here? Yes, yes.

24 Q. Okay. Now, he's shown that -- What he's
25 calling the basal "A" is a -- as being a -- I guess, a

1 porous sandstone in the Indian Basin Number 1; is that
2 correct?

3 A. Yes, sir.

4 Q. But it's limited productivity because of
5 water?

6 A. Of the water contact, yes, sir.

7 Q. And in the Indian Basin Number 8, he's
8 showing that as a porous sandstone that's dry and
9 therefore productive of gas; is that correct?

10 A. That is correct, due to its structural
11 positioning.

12 Q. And your interpretation, if you look now at
13 his Indian Basin Number 8 on Exhibit 5, his Exhibit 5,
14 is -- I'm trying to keep myself in the same pieces
15 here. Let me get out your exhibit again.

16 You've got his Indian Basin Number 8 on your
17 A/A prime; is that correct?

18 A. Yes, sir. The third --

19 Q. And I assume the datum and the orange
20 interval on that is the same as it is on the B/B prime,
21 so I don't have to go through that exercise again; is
22 that correct?

23 A. That's correct.

24 Q. So what he's showing is that productive
25 interval that he's marked with the red coloring on

1 Exhibit 5 is below your orange interval on your Exhibit
2 Number 4, A to A prime, in the Indian Basin Number 8
3 Well?

4 A. No, sir. That is the same strat- -- We both
5 are calling that -- We're both indicating that as being
6 the same member.

7 Q. Okay.

8 A. The interval that I show in orange, in the
9 Marathon North Indian Basin Unit Number 8 Well --

10 Q. Uh-huh.

11 A. -- in my Exhibit Number 4, is the same
12 interval which Mr. Carlson has colored red in his
13 Exhibit Number 5 of the same well.

14 Q. Oh, my. Now you've really confused me.

15 When we were in the IBA Well, that equivalent
16 interval was below your orange interval, was it not?
17 If I understood what you said before?

18 A. No, if I understand what you're saying, the
19 correlative stratigraphic interval that I am mapping,
20 being the second member of the Lower Morrow --

21 Q. Uh-huh.

22 A. -- in the Federal IBA Number 1 Well
23 represented on Marathon's Exhibit Number 3 -- Right?
24 Isn't that the one that you're comparing right now?

25 Q. Well, I'm on Exhibit 4, your cross-section.

1 A. Right. The -- You were trying to com- --
2 Well, I'm putting words in your mouth, but --

3 Q. Let's go to the Number 8 and run through the
4 exercise again.

5 A. Okay.

6 Q. That might be the most accurate way to do it.

7 A. Okay.

8 Q. Equate your datum on your Indian Basin Number
9 8, A to A prime, to a point on well number 2 of Mr.
10 Carlson's log number 5.

11 A. Exhibit Number 5?

12 Q. Exhibit Number 5, excuse me, yes.

13 A. It is the same. The interval that I have
14 colored in orange in my Exhibit Number 4, for the North
15 Indian Basin Unit Number 8 well, is the same interval
16 that Mr. Carlson has colored red.

17 Q. So your datum line on the top of that one is
18 this line which he's showing as the top of the Morrow
19 basal A; is that correct? Roughly the same?

20 A. Yes, yes.

21 Q. Oh, good.

22 A. You've got it.

23 Q. Which is -- Okay, I'm not going to ask
24 another question; it's just apt to throw me off.

25 Yes, I am going to ask that question.

1 Your -- The interval mapped on your A/A prime
2 is a different interval than is mapped on your
3 B/B prime, then, if I understood you correctly?

4 A. No, sir. What I was saying was the
5 interval --

6 All right, let's back up to the first well
7 that you had tacked to it here. I think maybe we can
8 clear this.

9 The well --

10 Q. I'm getting a lesson in geology here.

11 A. The first well that you asked a question on,
12 on my B-to-B-prime was the Marathon Federal IBA Number
13 1 Well.

14 Q. Correct.

15 A. We're trying to equate the stratigraphic
16 interval, which I have called the second member of the
17 Lower Morrow and colored in orange on my cross-
18 section --

19 Q. Uh-huh.

20 A. -- with whatever member Mr. Carlson has
21 indicated as being the Morrow basal "A" in his Exhibit
22 Number 3 --

23 Q. Uh-huh.

24 A. -- and I showed that my correlation shows the
25 stratigraphic equivalent of the orange interval is

1 actually present in the IBA Number 1 Well from 9201 to
2 9226.

3 That is above Mr. Carlson's Morrow basal "A"
4 member as he maps it in his -- on his cross-section.
5 Does that --

6 Q. I'm with you.

7 All right, let me ask you a question and see
8 if I'm following you right, then.

9 If I were to plug --

10 I didn't realize I was getting into this when
11 I started this process.

12 (Off the record)

13 Q. (By Mr. Stovall) If I take your line in the
14 IBA well --

15 A. Yes, sir.

16 Q. -- which is equivalent to that unmarked line
17 below the top of the Morrow A in Mr. Carlson's cross of
18 the IBA well --

19 A. Yes, sir.

20 Q. -- and if I were to attempt to correlate
21 that, draw a cross-section, if you will, to the Number
22 8 Well, the Indian Basin Number 8 --

23 A. Yes, sir.

24 Q. -- that line -- Let me see where I am.

25 Okay, I think I see the difference now. He

1 hasn't got that line on his Exhibit Number 5, has he?

2 A. His Exhibit Number 5, in order to go from the
3 point on the Marathon Federal IBA Number 1 Well at
4 9204, the line which we're talking about --

5 Q. Uh-huh.

6 A. -- from that well?

7 If you were to extend that line to the same
8 stratigraphic interval, as I see it, in the North
9 Indian Basin Number 1 Well in Section 10, that's the
10 number 2 well there --

11 Q. Got you.

12 A. -- you would proceed to the top of what he's
13 calling the Morrow Basal "A".

14 Q. Oh, okay. So you're saying that line on his
15 Exhibit Number 3 is not correlative at all?

16 A. That's correct.

17 Q. Got you. Okay, now I'm with you. I feel
18 much better about that.

19 Okay, now I'll get to the questions I was
20 going to ask a long time ago.

21 Are you recommending at this time that Oryx
22 drill a well in Section 17 to this interval as you've
23 identified it?

24 A. Due to the late time in which I -- Or due to
25 the short period of time which I've had to review the

1 information from Marathon's well, I'm not at a point at
2 which I'm recommending a location.

3 I am merely suggesting that, from the mapping
4 that I have done, indicates that there are reserves,
5 there are -- potentially are reserves under Section 17
6 that are in danger of being drained.

7 Q. Are they economically recoverable by Oryx?

8 A. As I've stated, at this point in time I
9 haven't done enough research to indicate whether or not
10 the reserves would be economically recoverable under
11 that section, under that proposed -- the potential
12 location.

13 Q. I'll ask what I think is my last question.

14 If Oryx were to decide not to drill a well to
15 this -- to the Morrow in Section 17, and if the
16 Commission were to impose a penalty as requested by
17 Oryx on the Marathon well, what would be the effect of
18 that ultimately on the drainage of any reserves that
19 might underlie Section 17?

20 A. If Oryx would not drill -- If Oryx does not
21 drill a well?

22 It would depend on the interpretation that
23 I am able to generate as to whether or not economic
24 reserves can definitely be recovered under Section 17.

25 Q. I understand that you have not made that

1 decision.

2 A. Right.

3 Q. But I'm just asking for a conclusion,
4 assuming you make a decision against drilling a well.

5 A. Yes, sir, I'm sorry.

6 Q. And assuming that a penalty is imposed upon
7 the Marathon well in the Morrow, what ultimately would
8 that do as far as protecting the reserves underlying
9 Section 17?

10 A. If it is deemed uneconomic to attempt to
11 recover reserves from Section 17 by further review and
12 a penalty is imposed on the well in Section 9, and the
13 well does not exhibit production which indicates we
14 should offset it, then the reserves would then be
15 deemed uneconomic to recover.

16 Q. Would ultimately the Marathon well get them,
17 later rather than sooner, if there's a penalty imposed?
18 Is that what you're saying?

19 A. Yes.

20 MR. STOVALL: Okay. I think I'm going to
21 leave this alone for a while. I got myself in deep
22 enough.

23 MR. CARR: Just one follow-up question, then,
24 if I might.

25 EXAMINER CATANACH: Uh-huh.

REDIRECT EXAMINATION

BY MR. CARR:

Q. Mr. Rojas, if the location, the Marathon location in the Morrow, is approved and no penalty is imposed and then Oryx does drill a well, what would be the effect in that situation?

A. In that situation, Oryx would suffer damages of reserves that have been recovered by Marathon's well that Oryx will not be able to recover.

MR. CARR: That's all I have.

FURTHER EXAMINATION

BY EXAMINER CATANACH:

Q. Mr. Rojas, how long would it take the company to evaluate the potential of that acreage in Section 17?

A. In order to evaluate that, the potential for that acreage, it will be necessary to review the production abilities of the well in Section 8 -- Excuse me, the well in Section 9, Marathon's recent well, and review whether or not economic production is recoverable from this member.

Q. Well, now, if your company indeed finds that it's uneconomical to drill and recover the reserves in Section 17, would you drop the request for a penalty in that case?

1 A. I believe a decision as to whether or not
2 those reserves are economical would be a decision made
3 on today's economics and that what Oryx is seeking here
4 is protection of their rights of recovering those
5 reserves, whether it be now at the price of gas today
6 or the price of gas tomorrow.

7 It may change and it may then become economic
8 in the future to drill a well, where now it does not
9 appear economic.

10 EXAMINER CATANACH: I have nothing further.

11 FURTHER EXAMINATION

12 BY MR. STOVALL:

13 Q. I assume your engineering witness is going to
14 suggest a method for calculating the penalty; is that
15 correct?

16 A. Excellent assumption, sir.

17 EXAMINER CATANACH: Anything further of this
18 witness?

19 MR. CARR: Nothing.

20 EXAMINER CATANACH: He may be excused.

21 MR. CARR: At this time we call Bonnie Wilson
22 (Off the record)

23

24

25

1 BONNIE WILSON,
2 the witness herein, after having been first duly sworn
3 upon her oath, was examined and testified as follows:

4 EXAMINATION

5 BY MR. CARR:

6 Q. Would you state your full name for the
7 record, please?

8 A. Bonnie Wilson.

9 Q. Miss Wilson, where do you reside?

10 A. Midland, Texas.

11 Q. By whom are you employed and in what
12 capacity?

13 A. By Oryx Energy Company as a reservoir
14 engineer.

15 Q. Have you previously testified before the Oil
16 Conservation Division and had your credentials as a
17 petroleum engineer accepted and made a matter of
18 record?

19 A. Yes, I have.

20 Q. Are you familiar with the Application filed
21 in this case on behalf of Marathon?

22 A. Yes, I am.

23 Q. Are you familiar with the area which is
24 involved in this Application?

25 A. Yes, sir.

1 Q. Have you prepared certain exhibits for
2 presentation in this hearing?

3 A. Yes.

4 MR. CARR: Are the witness's qualifications
5 acceptable?

6 EXAMINER CATANACH: They are.

7 Q. (By Mr. Carr) Miss Wilson, would you refer
8 to what has been marked for identification as Oryx
9 Exhibit Number 5, identify that and review it for the
10 Examiner?

11 A. This shows a four-section area or portions of
12 a four-section area, showing the standard location and
13 the now-drilled unorthodox location for Marathon's
14 North Indian Basin Unit Number 8 in Section 9, and it
15 shows the setbacks.

16 The standard location would have been 1650,
17 and their unorthodox location is 330 from the south
18 line and 1650 from the west line.

19 Scribed around each standard location is the
20 drainage area for 640 acres, and that is a drainage
21 radius of 2978 feet.

22 Q. What does this exhibit show?

23 A. I have shown in the cross-hatched area in
24 Section 17 the additional area in Section 17 that would
25 be drained by moving from the standard location to an

1 unorthodox location and without assessing any penalty
2 on that well.

3 Q. Are you ready now to go to Exhibit Number 6?

4 A. Yes.

5 Q. Let's go to the next exhibit, and I would
6 like you to identify this and then explain how this
7 differs from Exhibit Number 5.

8 A. Well, previously it was stated that Section
9 -- that this area, the cross-hatched area in Section 17
10 on Exhibit Number 5, represented only five percent of
11 Section 17, so only a five-percent penalty should be
12 assessed.

13 Whenever this five-percent penalty applied to
14 the rate of the well over its life is converted to a
15 drainage area, that drainage radius is 2902 feet.

16 And I have scribed that circle on the Exhibit
17 Number 6 so that you can now see the penalized area and
18 then the area of drainage for a non-penalized well and
19 the area of drainage for a penalized well.

20 Q. And what does this show you?

21 A. There's basically no difference between the
22 two.

23 Q. All right, let's go now to Exhibit Number 7
24 and again explain the difference as depicted on Exhibit
25 Number 7.

1 A. In the de novo hearing on the Cisco Penn on
2 this well, a 14-percent penalty was assessed against
3 the well at the unorthodox location.

4 That 14-percent penalty applied to this
5 drainage radius -- applied to a drainage area, would
6 give you a drainage radius of 2762 feet.

7 And again, you can see the area in Section 17
8 that is still being drained by a well in the unorthodox
9 location, that is not being protected by that penalty.

10 Q. In your opinion, would a 14-percent penalty
11 protect your correlative rights in this situation?

12 A. No, it does not.

13 Q. Let's go now to Exhibit Number 8, and I'd ask
14 you to explain how this differs from the preceding
15 exhibits.

16 A. What I did in Exhibit Number 8 was, I left
17 the circle, the 640-acre drainage area scribed around
18 the standard location.

19 And then I scribed a circle around the
20 unorthodox location, and I reduced the drainage radius
21 of that circle until that circle drained an area in
22 section 17 that was equivalent to the area that would
23 have been drained by a well at a standard location.

24 So in other words, the smaller circle
25 represents a penalized drainage radius that would

1 equally drain Section 17 as a well without a penalty in
2 a standard location.

3 That results in a 45-percent penalty.

4 Q. Okay, let's go now to Exhibit Number 9.

5 A. This is how you calculate the 45-percent
6 penalty.

7 I've used two simple formulas, and I'll
8 review them.

9 The first one is simply the area of your
10 drainage circle. Area equals πr^2 . I've divided that
11 by 43,560 to convert feet, your radius squared, to
12 acres. But that's just a conversion factor.

13 And then the other equation is the ultimate
14 recovery equation.

15 In a prorated gas field your rate times your
16 life is your ultimate recovery.

17 And then also in a gas reservoir, 43,560
18 times your porosity, times one minus your water
19 saturation, times the difference between your initial
20 gas volume factor, and then the gas volume factor at
21 abandonment pressure, multiplied by your thickness, by
22 your drainage area, will be equal to your ultimate
23 recovery.

24 It's a standard ultimate-recovery equation.

25 If you write that equation for both drainage

1 areas, Q_1 representing the standard location and Q_2
2 representing the unorthodox location with the smaller
3 drainage area, you can divide those two equations into
4 each other.

5 And assuming all the other reservoir
6 properties are similar, the wells' lives are similar,
7 the porosities are similar, water saturations are
8 similar, net thickness is similar, then that equation
9 reduces to the ratio between the rates is equal to the
10 ratio between the areas.

11 And that further reduces to the ratio between
12 the radius squared of the drainage areas.

13 Putting the ratios of the drainage areas into
14 this equation shows that a well that is drilled at the
15 unorthodox location should have a rate that is 55
16 percent of the rate of a well at a standard location to
17 make drainage of Section 17 equivalent to what it would
18 have been from a well at a standard location.

19 Q. In essence what you've done is used
20 volumetric calculations to reduce the producing rate so
21 that the well at the unorthodox location would be
22 limited to a rate that would not gain additional
23 drainage advantage from the offsetting tract; is that
24 correct?

25 A. That's correct.

1 Q. Now, let's go to Exhibit Number 10, and would
2 you identify that?

3 A. Exhibit Number 10 is simply the recommended
4 penalty. The basis is equal drainage of the offsetting
5 lease.

6 The formula is 1 minus 2200 squared, divided
7 by 2978 squared, and that's .45. That's the penalty,
8 45 percent.

9 Q. Now, Miss Wilson, if a 45-percent penalty is
10 imposed, in your opinion would this reduced producing
11 rate offset the advantage gained by Marathon in the
12 Morrow by virtue of the unorthodox location?

13 A. Yes.

14 Q. Let's go now to Exhibit Number 11, and I
15 would ask you to review that for Mr. Catanach.

16 A. This is simply a summary of all of the
17 proposed penalties that have been proposed in this
18 case, and I would just like to review the different
19 methods that have been used to calculate penalties.

20 The first method is the variance-from-
21 standard-setback method that Oryx proposed in the
22 initial first hearing, and that resulted in a 40-
23 percent penalty.

24 It was straightforward, universally
25 applicable, and it was consistent with what had been

1 used in this area on the Santa Fe well.

2 Another method that had been proposed by
3 Marathon was the well-to-well distance. That resulted
4 in 17.5 percent penalty, which they requested.

5 However, a problem with this is that it
6 results in invalid boundary conditions.

7 A well drilled at the intersection of those
8 leases would suffer only a 50-percent penalty, and a
9 well actually drilled on Oryx's Section 17 would suffer
10 a 49-percent penalty.

11 So that method had invalid boundary
12 conditions.

13 And the Commission recognized this and they
14 altered the method to be a lease-to-well distance,
15 which resulted in a 27.9-percent penalty.

16 But this penalty is already -- addresses a
17 diagonal offset. It does not need to be adjusted any
18 further.

19 Q. And the final --

20 A. The final penalty is the one that I've
21 recommended today. It's equal drainage of offsetting
22 lease, and it's the most accurate and it results in the
23 45-percent penalty.

24 Q. In your opinion, will approval of the
25 Application of Marathon and the imposition of a 45-

1 percent penalty protect the correlative rights of Oryx
2 Energy Company?

3 A. Yes.

4 Q. Against what should this penalty be applied?

5 A. Against the well's acreage factor.

6 Q. And what would be the impact on Oryx of any
7 penalty lower than the 45 percent recommended?

8 A. We will suffer drainage by Marathon's well.

9 Q. In your opinion, will approval of the
10 Application with this penalty be in the best interest
11 of conservation, the prevention of waste, and the
12 protection of correlative rights?

13 A. Yes.

14 Q. Were Exhibits 5 through 11 prepared by you?

15 A. Yes.

16 MR. CARR: At this time we would move the
17 admission of Oryx Exhibits 5 through 11.

18 EXAMINER CATANACH: Exhibits 5 through 11
19 will be admitted as evidence.

20 MR. CARR: That concludes my direct
21 examination of Miss Wilson.

22 CROSS-EXAMINATION

23 BY MR. KELLAHIN:

24 Q. Miss Wilson, let me direct your attention to
25 Exhibit Number 11.

1 I believe -- and correct me if I'm wrong -- I
2 believe you described this Exhibit 11 as representing
3 the various proposed penalties for the well?

4 A. These are penalty methods that have been
5 discussed.

6 Q. You've omitted the penalty that the
7 Commission finally adopted for the well, did you not?

8 A. No, sir. That's the lease-to-well distance,
9 and I stated that that penalty calculation does not --
10 already addresses a diagonal offset.

11 The Commission chose to cut that penalty in
12 half because they thought that they had not addressed
13 the fact that we were a diagonal offset.

14 However, we -- That has already been
15 addressed.

16 Q. All right. So if we would put another entry
17 in here to reflect the Commission decision about the
18 Upper Penn, it would be a 14-percent penalty?

19 A. But you would be able to enter no calculation
20 formula or a basis for a penalty method.

21 Q. So none of these penalties are what the
22 Commission finally adopted for the Upper Penn?

23 A. That is correct.

24 Q. Now, when we look at these circles, am I
25 correct in understanding that these are hypothetical

1 drainage circles --

2 A. These --

3 Q. -- that are constructed independent of any
4 reservoir engineering or geology?

5 A. These are radius-of-drainage areas, not
6 independent of geology but assuming constant thickness.

7 Q. Well, let's take any of them. How about
8 number 8?

9 And if you'll take Mr. Rojas's Exhibit 1
10 through 3 -- Do you have a copy of his net isopach?

11 The hypothetical drainage circles shown on
12 Exhibit 8 are specifically contrary to and inconsistent
13 with his mapping of the geology, aren't they?

14 A. They are based on constant thickness. If I
15 adjust these circles to account for Mr. Rojas's
16 geology, the drainage area onto Section 17 would
17 actually be even larger, and the Marathon well would be
18 draining Section 17 even further.

19 Q. Well, have you done that and have you
20 presented that in terms of a display?

21 A. No, sir, I have not.

22 Q. When we look at your hypothetical drainage
23 radiuses for either the standard or the unorthodox
24 location on any of these displays, you have a
25 hypothesized drainage radius that extends through a dry

1 hole in Section 8, don't you?

2 A. That is correct.

3 Q. Have you taken any of these maps to determine
4 volumetrically the amount of gas that underlies Section
5 17 in this Morrow basal "A" sand?

6 A. The amount of gas that underlies Section 17,
7 in a rough calculation based on the geology that David
8 presented in Exhibit 3, is a little bit less than 3
9 BCF, by my estimate of the geological interpretation
10 we have at this time.

11 Q. Which map did you do in order to arrive at
12 that calculation?

13 A. Exhibit Number 3.

14 Q. Okay, and what are the factors you used to
15 make the calculation?

16 A. I used a porosity of about seven percent, a
17 water saturation of 20 percent, drainage area 320
18 acres, initial pressure of 3700 pounds.

19 Q. What did you use for a recovery factor?

20 A. And abandonment pressure of about 1000
21 pounds, so that determines recovery factor.

22 Q. Okay. Mr. Kent's calculation, I believe, if
23 you went through the analysis, would be about an 87-
24 percent recovery factor for gas?

25 A. That's close.

1 Q. Is that within the range of reason here?

2 A. Yes.

3 Q. Okay. Why did you use a 3700-pound pressure
4 to make your volumetric calculation?

5 A. Because that was the pressure measured in the
6 North Indian Basin Unit Number 8.

7 Q. When we look at the well in Section 14, I
8 believe Mr. Rojas told us that well had cum'd some 5.7,
9 approximately, BCF of gas?

10 A. Yes, sir.

11 Q. Is that correct?

12 A. Yes, sir.

13 Q. And that well has finally been abandoned, has
14 it not?

15 A. That's correct.

16 Q. If Mr. Rojas's geology is correct, would you
17 not have expected the pressure in the Number 8 Well in
18 Section 9 to be less than the pressure reported on the
19 DST of something less than 3700 pounds?

20 A. There may be permeability variations across
21 the field that would cause differences in pressure.

22 Q. It would appear that Section 9 and Section 14
23 are not in pressure communication, are they?

24 A. They may be in pressure communication. It
25 may be that due to the permeability between the two,

1 there can be a large pressure differential across there
2 while the wells are still in communication.

3 Q. Without the production from the well in
4 Section 14, would you have expected the initial
5 reported bottom-hole pressure for the well in Section 9
6 to have been higher than the 3656 reported?

7 A. Roughly, reservoir pressures for the Morrow
8 in this area are 4000 pounds. That seems very close to
9 reasonable with me.

10 Q. So the 3656 represents very close to virgin
11 reservoir pressure in the Morrow, doesn't it?

12 A. Slightly below what you would expect for
13 virgin.

14 Q. When I look through the various calculations
15 you have made on penalties --

16 A. Yes, sir.

17 Q. -- what is your final recommendation on which
18 one of these you're selecting? Exhibit Number 8?

19 A. The penalty is on Exhibit Number 10, and
20 Exhibit Number 8 shows the drainage areas for those.

21 Q. 10 is the calculation of penalty, and Exhibit
22 8 is the predicate or the foundation upon which you get
23 the 45 percent?

24 A. Yes.

25 Q. And so that I understand your conclusion, the

1 45 percent is derived how?

2 A. It's based on a geometric calculation of the
3 areas so that the two areas geometrically are equal.

4 Q. Excuse me, which areas?

5 A. The area that -- in Section 17 that would be
6 drained by a well at a standard location.

7 Q. All right. I see that. There is an area
8 that has two different kinds of shading. There is --
9 out of the corner?

10 A. Yes.

11 Q. -- that is going to be drained,
12 hypothetically, by this radial drainage at a standard
13 location, okay? I see that area of the first circle.

14 A. Yes.

15 Q. When we look at the area of the second
16 circle --

17 A. Yes.

18 Q. -- you still have the same cross-hatched
19 area, plus there is a -- now a shift in the area of
20 excess of the second circle.

21 A. You can either -- the area -- The two areas
22 are equal, and you can either include the area that is
23 diamond-shaded in the two areas, or you can exclude it
24 so that the area that's only shown by cross-hatched
25 lines leaning in the left direction is equal to the

1 area shown by cross-hatched lines leaning in the left
2 direction [sic].

3 Q. Let me put some labels on this so that I can
4 talk with you on the record.

5 A. Okay.

6 Q. I'm going to label number 1 that diamond-
7 shaded area --

8 A. Okay.

9 Q. -- that's within both circles.

10 A. Okay.

11 Q. And if you'll look at the area to the west of
12 that --

13 A. Yes.

14 Q. -- there is a crescent-shaped area. If you'd
15 put that number 2?

16 A. Yes.

17 Q. And then the last area to the southwest, if
18 you'll make that number 3?

19 A. Okay.

20 Q. If we added 1 and 2 together --

21 A. Yes.

22 Q. -- and compared that by adding 1 and 3
23 together, what's the difference?

24 A. They would be equal. That's the basis of the
25 penalty.

1 Q. So I can be at a standard location, as
2 compared to the unorthodox location, and still have the
3 same impact on Section 17?

4 A. Yes, that's the whole purpose of the penalty,
5 is to have a well at a standard location drain the same
6 amount of Section 17 as a well at an unorthodox
7 location with a 45-percent penalty applied to that well
8 by draining the same amount of Section 17.

9 Q. So the basis for the fact that the radius of
10 the second circle is smaller is the fact that you've
11 assumed the restricted producing rate is going to
12 reduce the drainage circle?

13 A. That's correct.

14 Q. Is there any engineering basis for believing
15 that the pressure at the boundary at the circle --

16 Well, let me phrase this over.

17 If we have a well at a standard location, and
18 regardless of the rate of withdrawal, there's going to
19 be pressure depletion at the boundary of that circle,
20 is there not?

21 A. Yes.

22 Q. And if you reduce the producing rate, it's
23 not going to correspondingly reduce the pressure
24 boundary for production of that well, is it?

25 A. If you reduce the rate, it will reduce the

1 drainage area, which will reduce the pressure.

2 Q. If your drainage radius is assumed in your
3 calculation at 640, then pressure depletion is going to
4 occur at the boundary of that 640 circle regardless of
5 the rate of withdrawals, is it not?

6 A. It is a factor of the life of the production
7 as well as the rate.

8 Q. If we've got a single well in a gas pool and
9 it's withdrawing gas from that container, regardless of
10 the rate, over time that pressure is going to be felt
11 throughout the entire shape of the reservoir, isn't it?

12 A. In time it will be, if the reservoir is in
13 connection.

14 Q. And by simply reducing the rate of
15 withdrawals, you can't tell that well at a certain
16 distance from the wellbore it's going to stop talking
17 to the rest of the gas in the same reservoir, can you?

18 A. If that isn't one well field, then it's not
19 prorated.

20 Q. By prorationing, then, you're going to tell
21 the molecules of gas that are outside of this second
22 circle, don't worry about production of the wellbore,
23 because we're not coming out?

24 A. In a prorated field, the production from two
25 wells are equal, and therefore their producing lives

1 are equal, and the pressure between them would be
2 equal.

3 Q. Well, isn't that the missing component for
4 the analysis, the fact that we don't have the second
5 well over in Section 17?

6 A. That is correct. We do not have the
7 section -- a well in Section 17.

8 Q. Until Oryx exercises their opportunity to
9 drill at a location in 17 to get the gas, then
10 regardless of the penalty Marathon's going to get it;
11 they're going to get gas, right?

12 A. If we do not drill in Section 17, regardless
13 of the penalty, Marathon will recover the gas, that is
14 correct.

15 MR. KELLAHIN: No further questions.

16 REDIRECT EXAMINATION

17 BY MR. CARR.

18 Q. I believe you testified that if you had
19 integrated your penalty diagrams with the geology, that
20 it in fact would have increased the penalty that would
21 have been applied to the Marathon well; is that right?

22 A. Yes, it would.

23 Q. These diagrams also don't consider the fact
24 that the acreage in Section 17 is structurally higher;
25 isn't that right?

1 A. That is correct.

2 Q. If you considered that, that would have also
3 changed the penalty against Marathon; isn't that
4 correct?

5 A. Yes, sir.

6 Q. And if you do drill a well in Section 17 and
7 no penalty is imposed, will Marathon have an advantage
8 on Oryx?

9 A. Yes.

10 MR. CARR: That's all I have.

11 EXAMINER CATANACH: No further questions.

12 MR. STOVALL: I do have a couple, just to --
13 You're lucky, Miss Wilson. I don't
14 understand enough engineering to even get myself in
15 trouble.

16 EXAMINATION

17 BY MR. STOVALL:

18 Q. Mine is very simple. Have you participated
19 in any discussions yet as to whether a recommendation
20 will be made to management whether to drill the well or
21 not?

22 A. No, we have not recommended it. We found out
23 about this well two weeks ago. David got his maps done
24 a week ago.

25 We would want to sit and watch production

1 from this well for a few months to see what it made,
2 what its history was, before we would want to go out
3 and spend \$1.3 million to drill a well. Excuse me, not
4 1.3, I'm confusing it --

5 Q. A bunch of money.

6 A. About -- Yeah, \$700,000.

7 MR. STOVALL: I'm not going to ask you to
8 explain the formulas and everything else. I think
9 that's all I'm going to ask.

10 EXAMINER CATANACH: Witness may be excused.

11 Would you gentlemen like to give closing
12 statements, or did you have anything else?

13 MR. CARR: Very brief, very brief.

14 EXAMINER CATANACH: Go ahead, Mr. Carr.

15 MR. CARR: Mr. Catanach, this case clearly is
16 primarily a correlative-rights case.

17 Oryx is confronted with a situation where
18 Marathon has drilled and completed a well that is too
19 close to its acreage in Section 17.

20 We submit they're gaining an advantage, and
21 we're here asking you to impose a penalty to offset the
22 advantage.

23 This is also a geological case. And if you
24 think lawyers differ, look at this case in terms of
25 what geologists have come up with. We've got one

1 geologist contending it's a beach environment, another
2 saying it's a channel sand.

3 And the problem with the case is that it's
4 all based on geology. Even the engineering is tied
5 into the geology.

6 There is limited control in Section 17.
7 Marathon, as it indicated, took a one-in-five chance,
8 stepped out and drilled a well and were able to make a
9 well in the Morrow, and now they've mapped to include
10 the data that they obtained from that well.

11 But if you really look at those maps, there's
12 not control that would limit where that zero line goes
13 across Section 17, and if we're able to take that jump
14 and find the Morrow in Section 17 then we're confronted
15 with a situation where in this case a penalty must be
16 imposed.

17 As I noted, the engineering is the key to the
18 geology.

19 We had a P-over-Z curve. And I'm not casting
20 stones at the engineer; he has one point. But he has
21 to go from that and integrate geological information.
22 And if that's -- other things occur in the reservoir,
23 we discover the reservoir is larger, then in fact the
24 engineering interpretation changes.

25 And so what we're really looking at is the

1 geology.

2 I submit that the data is clear. There are
3 reserves under Section 17. The channel extends on to
4 our tract. The volume, the exact volume, is not known.
5 The question is whether or not there is adequate
6 thickness. Marathon says you need ten feet. We
7 believe we've got 12 to 14 feet in clean sand. And so
8 both elements are present, and now the matter is under
9 review.

10 But unfortunately, the question of penalty is
11 before you today. The question is, will reserves be
12 drained? We believe they will. Clearly they will be.
13 The volume may not be known but the fact of drainage
14 is.

15 We need a meaningful penalty. We have
16 recommended a 45-percent penalty, which offsets the
17 advantage gained by moving toward a diagonal offset,
18 and we submit to you, unlike what this Commission
19 thought, a diagonal offset doesn't have less in the way
20 of correlative rights to be protected just because
21 they're a diagonal offset.

22 We believe with this penalty and approval of
23 the Application, waste will be prevented because they
24 can produce their reserves. We believe if this
25 Application is approved, with this penalty, correlative

1 rights will be protected because they can produce their
2 reserves. Their reserves, not ours.

3 EXAMINER CATANACH: Mr. Kellahin?

4 MR. KELLAHIN: Mr. Catanach, I think you can
5 see the unique opportunity Marathon had for developing
6 unique gas reserves in the Morrow that no one believed
7 existed in this entire area.

8 You can see from the mapping of the geology
9 that some 85 percent of this basal Morrow sand lies
10 within the unit. And because of the unique flexibility
11 of the unit operation, those owners that would be most
12 greatly affected by such an unorthodox location are
13 sharing in the production.

14 The calculation of all these proposed,
15 hypothetical, theoretical penalties, I think, is
16 meaningless conversation. What Oryx needs to do is, if
17 they really believe that they have gas reserves in
18 Section 17 in the Morrow, which we believe they don't,
19 then they need to go out and drill their location.

20 It's at that point, then, we would have
21 sufficient data upon which to construct a meaningful
22 and appropriate producing allowable for the well so
23 that the relative merits and correlative rights are
24 balanced.

25 I think to adopt any of these penalties is

1 arbitrary and capricious and simply invites us to
2 continue our discussions elsewhere. There's nothing
3 unique or novel about any of these geometric
4 suggestions of a penalty. We've had them all before.

5 What's unique about this case is it
6 represents one of the few examples where a diagonal
7 offset has complained.

8 We are standard to the western boundary, but
9 I guess hypothetically we are some distance closer to
10 Section 17. The Commission has determined that in that
11 instance they will apply a geometric solution. It was
12 a 14-percent penalty.

13 If you were to impose a penalty at all, I
14 think it ought to be consistent with the resolution of
15 that issue when we dealt with the Upper Penn. To adopt
16 any other solution in here, I think, is simply
17 arbitrary.

18 If you balance the evidence on whole, we
19 believe that substantial evidence supports no penalty
20 at all. Oryx has the opportunity to protect their
21 correlative rights, if they think they exist, by
22 drilling their own well.

23 I think Mr. Rojas's analysis of the geology
24 is predicated on some assumptions with which our
25 geologist disagrees. You can see from the way he's

1 mapped it, he assumes a channel deposition, and he's
2 got to tie in Section 14 to 8.

3 We think there is substantial production that
4 would have demonstrated significantly less pressure in
5 the well in Section 9 than otherwise occurred, and for
6 Mr. Rojas to be correct you'd have to ignore the hard
7 data of the pressure information.

8 In conclusion, Mr. Examiner, we think that
9 this case is one that justifies no penalty, and we
10 would ask that you impose none.

11 Thank you.

12 EXAMINER CATANACH: Is there anything further
13 in this case?

14 If not, Case 9954 will be taken under
15 advisement.

16 (Thereupon, these proceedings were concluded
17 at 1:30 p.m.)

18
19
20
21
22
23
24
25


CERTIFICATE OF REPORTER

STATE OF NEW MEXICO)
) ss.
COUNTY OF SANTA FE)

I, Steven T. Brenner, Certified Shorthand Reporter and Notary Public, HEREBY CERTIFY that the foregoing transcript of proceedings before the Oil Conservation Division was reported by me; that I transcribed my notes; and that the foregoing is a true and accurate record of the proceedings.

I FURTHER CERTIFY that I am not a relative or employee of any of the parties or attorneys involved in this matter and that I have no personal interest in the final disposition of this matter.

WITNESS MY HAND AND SEAL June 14, 1990.


STEVEN T. BRENNER
CSR No. 106

My commission expires: October 14, 1990

I do hereby certify that the foregoing is a complete record of the proceedings in the Examiner hearing of Case No. 9874, heard by me on May 30 1990.


David R. Catamb, Examiner
Oil Conservation Division