

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

STATE OF NEW MEXICO  
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT  
OIL CONSERVATION DIVISION

EXAMINER HEARING

IN THE MATTER OF:

Application of Sunco Trucking Case 9955  
Water Disposal for a permit  
to construct and operate a  
commercial wastewater evaporation  
pond, San Juan County, New Mexico

TRANSCRIPT OF PROCEEDINGS

BEFORE: MICHAEL E. STOGNER, EXAMINER

STATE LAND OFFICE BUILDING  
SANTA FE, NEW MEXICO  
June 15, 1990

## A P P E A R A N C E S

1

2

3

FOR THE DIVISION:           ROBERT G. STOVALL  
                                  Attorney at Law  
                                  Legal Counsel to the Divison  
                                  State Land Office Building  
                                  Santa Fe, New Mexico

5

6

FOR THE APPLICANT:         JOHN A. DEAN, JR.  
                                  Attorney at Law  
                                  P.O. Drawer 1259  
                                  Farmington, New Mexico 87499

7

8

FOR THE PROTESTANT:        GARY L. HORNER  
                                  Attorney at Law  
                                  P.O. Box 2497  
                                  Farmington, New Mexico 87499

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

## I N D E X

	Page Number
1	
2	
3	2
4	
5	
6	
7	
8	
9	
10	
11	
12	
13	
14	
15	
16	
17	
18	
19	
20	
21	
22	
23	
24	
25	

1           EXAMINER STOGNER: This hearing will come  
2 to order. This is a continuation of case number  
3 99-55. Before we get started this morning, I'll have  
4 our general counsel, Mr. Stovall, make a statement.

5           MR. STOVALL: Gentlemen, in reviewing this  
6 thing over the past 36 hours, I have come to the  
7 conclusion that it will be helpful to the examiner if  
8 I place one of the environmental bureau staff people  
9 on the stand at the conclusion of the parties'  
10 testimony. The purpose of that will be to enter his  
11 comments and testimony -- get it into the record  
12 regarding some of the proposals that have been made  
13 here. That does not modify my statement the other day  
14 that the decision will be placed upon the record made  
15 in this case, and anything that was generated in  
16 previous discussions with the environmental bureau and  
17 the applicant will need to be put in the record by a  
18 party today. We will have one of the environmental  
19 bureau technical staff on the stand to clear up any  
20 ambiguities and complete the record and put some of  
21 their technical recommendations into the record so  
22 that information will be available for the examiner.

23           EXAMINER STOGNER: With that, I believe we  
24 had Mr. Frank on the stand. Let the record show that  
25 Mr. Frank was previously sworn in.

1           Mr. Horner, you may continue with your  
2 cross-examination.

3                   CROSS-EXAMINATION (Continued)

4 BY MR. HORNER:

5           Q.       I'd like to start by referring to the April  
6 19th, 1990, letter -- I guess that's Exhibit Number 4  
7 -- from Mr. Frank to the OCD where you were talking  
8 about using bleach to mitigate the hydrogen sulfide  
9 problem.

10           MR. DEAN: Is that the April 17th letter  
11 that you're referring to?

12           MR. HORNER: I wrote April 19th. Maybe it  
13 is April 17th. Yes, April 17th.

14           Q.       (By Mr. Horner) I understand that you  
15 intend to have a 1,000 gallon tank on-site for bleach;  
16 is that correct?

17           A.       That's correct.

18           Q.       Is that indicated on the drawings?

19           A.       No, it's not.

20           Q.       So we need to amend the drawings to show  
21 that tank?

22           A.       We'll submit an as-built when the facility  
23 is completed, and it will indicate the location of the  
24 bleach tank.

25           EXAMINER STOGNER: Mr. Frank, do you have

1 that today?

2 WITNESS: No.

3 Q. (By Mr. Horner) Now, what are the  
4 requirements going to be for the use of bleach to  
5 mitigate this hydrogen sulfide problem on this site?

6 A. As we indicated in the document here, we  
7 anticipate that we'll be treating a pond with a  
8 thousand gallons of bleach monthly, just as a matter  
9 of prudence. Once again, the requirement for any  
10 quantities greater than that would be indicated in our  
11 treatment plan.

12 Q. Now, you also state in here that you may be  
13 using up to 5,000 gallons per day; isn't that correct?

14 A. That is the deliverability rate of CDI.

15 Q. But you anticipate that you may be using  
16 that much?

17 A. No, only in the presence of elevated  
18 concentrations of H<sub>2</sub>S.

19 Q. With conditions of elevated concentrations  
20 of H<sub>2</sub>S, you may be using 5,000 gallons per day?

21 A. Pursuant to our treatment plan, yes.

22 Q. 150,000 gallons of bleach a month?

23 A. If that's required, but I don't believe  
24 that that will ever be necessary.

25 Q. So you were concerned that you may have a

1 significant hydrogen sulfide problem at this site; is  
2 that correct?

3 A. No, it's a contingency plan. And if, in  
4 fact, there would be elevated H2S levels, we would be  
5 able to bring that amount of chlorine to the facility  
6 at those given timeframes.

7 Q. What is the maximum capacity in gallons of  
8 this one pond?

9 A. The capacity curve indicates -- I'm looking  
10 at Exhibit 2-B -- appears to be 19.7 acre feet of  
11 water. And I have to get a conversion to tell you  
12 what that would be in gallons.

13 Q. If, in fact, you run into a hydrogen  
14 sulfide problem, you're going to have a significant  
15 portion of that pond built up with just bleach, aren't  
16 you?

17 MR. STOVALL: I want to take just a moment  
18 here, Mr. Examiner. I'd like to talk to a couple of  
19 staff people.

20 EXAMINER STOGNER: Are you requesting a  
21 recess?

22 MR. STOVALL: I'm requesting about a  
23 one-minute recess.

24 EXAMINER STOGNER: So be it.

25 ((Recess, 8:28 a.m. to 8:30 a.m.))

1 EXAMINER STOGNER: This hearing will come  
2 to order. Mr. Stovall.

3 MR. STOVALL: We're ready to proceed, Mr.  
4 Examiner.

5 EXAMINER STOGNER: Mr. Horner.

6 Q. (By Mr. Horner) So it looks like with all  
7 this bleach you may be adding in it, you're going to  
8 have quite a brew there. I mean, you're going to have  
9 -- if I understand it, you're going to have  
10 hydrochloric acid, sulphuric acid, sludges, salves,  
11 chlorine, hydrogen sulfide, all in this pond; is that  
12 correct?

13 A. At one point in time, yes, that would be  
14 correct.

15 Q. Now, at what concentration of the hydrogen  
16 sulfide do you intend to notify the OCD?

17 A. Once again, pursuant to the document I  
18 submitted and is of record here, their concentrations  
19 of H<sub>2</sub>S reaches one PPM at the fence line for two  
20 consecutive monitor readings; or if dissolved sulfides  
21 in the pit water reach 15 PPM, the OCD will be  
22 notified immediately.

23 Q. Now, that is air concentration with regard  
24 to the one part per million; isn't that correct?

25 A. Yes.



1 Q. That's at the fence line?

2 A. That's at the fence line.

3 Q. At what concentration level do you intend  
4 to actually take some action?

5 A. The way I read this, at one part per  
6 million.

7 Q. And that action is simply to notify the  
8 OCD?

9 A. And to implement the treatment plan.

10 Q. At what concentration level do you consider  
11 you are creating a danger to surrounding residences  
12 and property owners?

13 A. With the distance involved of property  
14 owners and the residences, one PPM at the fence line  
15 is noticeable. The -- you can't quantify the  
16 concentration at a distance because you just don't  
17 know the wind directions and velocities, but at one  
18 PPM we will start the implementation of the treatment  
19 plan.

20 Q. You talked about distances. Are you  
21 assuming that any residences are a certain distance  
22 away from this facility?

23 A. There are no residences within any close  
24 proximity to the facility at this time.

25 Q. Currently?

1 A. Currently.

2 Q. Now, you stated, I believe, in here that  
3 when the concentration levels reach ten part per  
4 million you intend to evacuate all residents within a  
5 quarter mile; is that correct?

6 A. That's correct.

7 Q. In fact, there are no residents within a  
8 quarter mile; is that correct?

9 A. That's correct.

10 Q. So, actually, you haven't really committed  
11 to doing anything; isn't that correct?

12 A. That's not correct. We committed to  
13 evacuating the residents within a quarter mile.

14 Q. Are you aware of any EIB hydrogen sulfide  
15 standards?

16 A. I'm not aware of those at this time.

17 Q. Would you be surprised to know that they  
18 limit the air concentrations to .01 part per million?

19 MR. DEAN: I'm going to object for the  
20 record that that's outside the jurisdiction of this  
21 hearing.

22 MR. STOVALL: The answer is correct; we do  
23 not have jurisdiction over air quality, as such.

24 MR. HORNER: Maybe this is a good time to  
25 go into that. I do have a significant concern with

1 regard to that, and several exhibits that I would like  
2 to introduce -- I had not planned on introducing them  
3 at this point, but I would like to discuss in detail  
4 this problem with the jurisdiction and the EIB air  
5 quality standards that seem to be not being regarded  
6 here and need to be regarded here. If I could reserve  
7 this whole discussion for a little bit later, I'd  
8 appreciate it; otherwise, we'll go into right now.

9 MR. STOVALL: You can reserve it, yes. I  
10 guess you can reserve it for later, if you want to.  
11 I'm just stating as a jurisdictional matter, OCD does  
12 not regulate air quality. If there is evidence which  
13 you wish to put in, you're certainly welcome to do so  
14 if it's competent, relevant evidence.

15 MR. HORNER: I'll do that in a little bit  
16 then.

17 Q. (By Mr. Horner) Now, do you know how many  
18 residents there are within a radius of, say, a  
19 mile-and-a-half?

20 A. No, I do not.

21 Q. Could there be a significant number?

22 A. Would you define "significant"?

23 Q. Two thousand.

24 A. I doubt there's 2,000 homes within a  
25 mile-and-a-half of the facility.

1 Q. How about 2,000 residents?

2 A. I would -- I don't know.

3 Q. But it's possible.

4 MR. DEAN: I'm going to object. He's  
5 answered the question; he doesn't know.

6 MR. STOVALL: I'll sustain the objection --  
7 I recommend sustaining the objection, excuse me, on  
8 the grounds that he has answered that he doesn't  
9 know. And there are other grounds for sustaining it.

10 EXAMINER STOGNER: Thank you, Mr. Stovall.  
11 The motion is sustained. Please continue, Mr. Horner.

12 Q. ((By Mr. Horner) If I could go back over one  
13 thing we touched on yesterday for the benefit of Mr.  
14 Anderson who's here today and was not here the other  
15 day. If you encounter a leak in your first pond, what  
16 is the maximum time that you could envision for  
17 draining that pond?

18 A. Once again, as I stated previously, it  
19 would be close to four months. That would give us  
20 time to construct the second pond and to drain the  
21 first pond into the second pond completely. In the  
22 meantime, evaporation during that process would  
23 continue, so four months.

24 Q. But we went through on Wednesday that, in  
25 fact, the lining of your second pond was not part of

1 your contingency plan; isn't that correct?

2 A. That's correct.

3 Q. And, therefore, it actually may be as long  
4 as nine months?

5 A. That's the number you threw out. I didn't  
6 believe it would be that long.

7 Q. I thought you said it would take nine  
8 months to evaporate the pond.

9 A. It could be evaporated in nine months.

10 Q. Therefore, the maximum length of time that  
11 it would take would be nine months to drain the pond.

12 A. Okay, the maximum length it could be would  
13 be nine months.

14 Q. Now, I believe you stated in your documents  
15 here someplace that you intend to measure the sulfides  
16 in the pond once a month; is that correct?

17 A. That's correct.

18 Q. Now, is that adequate, in your opinion, if  
19 you start generating hydrogen sulfide?

20 A. Yes.

21 Q. Even though if you have a hydrogen sulfide  
22 problem, you may need to add 150,000 gallons of bleach  
23 a month?

24 A. Once again, if you'll read in our treatment  
25 plan, you'll determine the chlorine demand for

1 sulfides H<sub>2</sub>S in organics.

2 Q. Now then, you also stated that you intend  
3 to measure your hydrogen sulfide levels in the air in  
4 tenths of a part per million; is that correct?

5 A. That is correct.

6 Q. Basically, you would not be monitoring  
7 anything less than one-tenth of a part per million.

8 A. That is correct.

9 Q. And where would you be monitoring this?

10 A. As it states in the document here, the  
11 sampling points will be located on the northeast side  
12 of the ponds and tanks.

13 Q. Would this be at the fence line, basically?

14 A. No, we are going to measure it on the dikes  
15 of the ponds.

16 Q. On the dikes of the pond itself?

17 A. This would be the sampling points.

18 Q. Are you going to have additional monitors  
19 on the fence line, or is that your whole detection  
20 system is the monitors on the dikes?

21 A. We will -- as a daily record, we will  
22 monitor the H<sub>2</sub>S on the dikes. Our requirement to be  
23 met is at the fence line. So what I'm saying is that  
24 if we have one PPM at the pond, it should be something  
25 less than that at the fence line.

1 Q. Where does your requirement that you talk  
2 about come from that you should be monitoring at the  
3 fence line?

4 A. Through correspondence with the OCD.

5 Q. And where is that?

6 A. This is the OCD letter dated November 3rd,  
7 1989, on page three.

8 EXAMINER STOGNER: What exhibit is that?

9 MR. DEAN: 7.

10 EXAMINER STOGNER: Thank you.

11 MR. DEAN: I made a list of the order that  
12 they went in; it's a little easier to deal with.

13 EXAMINER STOGNER: I'm sorry, what pages of  
14 that exhibit are you referring to, Mr. Frank?

15 WITNESS: Three.

16 MR. HORNER: Where are we on page three?

17 WITNESS: The second 7-A, about halfway  
18 down.

19 Q. (By Mr. Horner) So you have agreed to  
20 comply with this then; is that correct?

21 A. That is correct.

22 Q. Now, I believe you testified that in the  
23 facility, the southwest facility that you own, that it  
24 is constructed using compacted clay rather than lime;  
25 is that correct?

1 A. That's correct.

2 Q. Now, in fact, the facility being considered  
3 here for STWD does not use clay; is that correct?

4 A. There is clay in the subgrade, yes.

5 Q. It's not designed like yours where you have  
6 sufficient amounts of clay, or theoretically  
7 sufficient amounts of clay, to make the soil  
8 impermeable and therefore retain all the substances in  
9 the pond?

10 A. The liner of this pond is two plastic  
11 liners, two synthetic liners.

12 Q. That's what you're relying on rather than a  
13 clay-type design here.

14 A. That's correct.

15 MR. HORNER: At this time, Mr. Examiner, I  
16 would like to offer to this forum for consideration a  
17 document entitled Court's Amended Findings of the Fact  
18 in the case of Payne versus Basin Disposal. I'd like  
19 to ask this forum to take judicial notice of this  
20 document. It's a case involving the Basin Disposal  
21 site where they had evaporation pits for the  
22 evaporation of produced waters, and the surrounding  
23 residents sued them for personal injuries due to the  
24 hydrogen sulfide created and won a million-dollar  
25 judgment against Basin Disposal for the injuries that



1 these people had sustained.

2 I don't know what you would like to number  
3 that. I had started out numbering some of these as I  
4 had some stickers that said Plaintiff's Exhibit on  
5 them, and I've numbered several of mine with  
6 Plaintiff's Exhibit stickers. I don't know how you'd  
7 like to number these.

8 MR. STOVALL: Mr. Examiner, I do recommend  
9 that we take this into the record, which -- I don't  
10 know how.

11 EXAMINER STOGNER: I can take  
12 administrative notice of -- is this judgment number  
13 CV-875691102, Mr. Horner?

14 MR. HORNER: That is correct, Mr. Examiner.

15 MR. STOVALL: Do you know what the status  
16 of this judgment is in the judicial process at this  
17 time?

18 MR. HORNER: Yes, I do. I do have a final  
19 judgment that I do intend to submit next. And as I  
20 understand it, there is an appeal ongoing. Also, as I  
21 understand it, Mr. Dean is representing the defendants  
22 in this case.

23 MR. DEAN: That's incorrect, Your Honor.  
24 That's not true.

25 MR. HORNER: You did represent the

1 defendants in this particular case, did you not?

2 MR. DEAN: Uh-huh, for about a week.

3 MR. STOVALL: You're not intimately  
4 familiar with it, Mr. Dean?

5 MR. DEAN: No, I am intimately familiar  
6 with it. I also, for the record, object to it being  
7 admitted as irrelevant. There's no foundation to show  
8 that the Basin pond is anything similar to what's  
9 proposed here, other than that they hold produced  
10 water, which really hasn't even been introduced as  
11 proper evidence.

12 Realizing the rules of evidence are not  
13 strictly adhered to, we're trying to go for fair play,  
14 that should also apply to the applicant who has  
15 nothing in common in terms of ownership, location,  
16 design, operation, maintenance, negligence or anything  
17 else that's found in that lawsuit. There's really  
18 damning findings of fact in there as to the operation,  
19 none of which are proven in this record today, none of  
20 which are even hinted at in this record today, except  
21 by Mr. Horner's questions, and he has no evidence to  
22 show that that's going to be done. They're totally  
23 irrelevant. There's been no foundation to show that  
24 they have any symbolence of relevance that would be  
25 helpful to this hearing examiner. They're also

1 extremely prejudicial; it's already been prejudiced by  
2 Mr. Horner's statement about them because it goes into  
3 lengthy damages about plaintiffs we have no evidence  
4 about here, who don't live around this pond and who  
5 have nothing to do with this pond. So I think it's  
6 extremely outside even the lax rules of administrative  
7 hearings about evidence and, therefore, for the  
8 record, I, at least, strongly object to them being  
9 admitted.

10 MR. STOVALL: There's no need for further  
11 argument on that, Mr. Horner. I think, again, the  
12 examiner is taking administrative notice of this. The  
13 weight and significance and importance of it in terms  
14 of the facts of this case will be evident from the  
15 document itself, I believe, provided sufficient  
16 evidence is made in this record.

17 And, Mr. Dean, you certainly have the  
18 opportunity to respond to anything in specific in this  
19 case, in the basic case, if you feel it's necessary to  
20 help clarify this record.

21 One thing I am concerned with, Mr.  
22 Examiner, and I'm going to take this opportunity to do  
23 so -- I think Mr. Dean has touched on that -- is that  
24 the cross-examination, at this point I am concerned  
25 that perhaps it is going to not help us establish the

1 standards that we need to establish if this pit  
2 facility is going to be approved.

3           And, Mr. Horner, I would really appreciate  
4 it if you would concentrate your -- do you have any  
5 witnesses that you're prepared to present to establish  
6 standards and present scientific, technical evidence  
7 either in support of denial of the application or in  
8 establishing adequate standards for the pit?

9           MR. HORNER: If you will allow me to  
10 continue, I do intend to do that. I intend to not  
11 with witnesses but with these documents. These issues  
12 were litigated in this particular case. They have  
13 come up with recommendations regarding the operations  
14 of these types of pits, and I do intend to address  
15 those and show how they are similar in the Basin case  
16 to this particular case. And, further, I do intend to  
17 address standards that are on the books by the EIB  
18 with regard to hydrogen sulfide levels that need to be  
19 considered here that were considered in the Basin  
20 case. And the court found in that Basin case that  
21 they should be complied with by the Basin Disposal  
22 operators. And in that regard, they should be  
23 complied with here. And so I do intend to try to get  
24 to levels and standards that need to be adhered to in  
25 this particular proceeding with respect to this

1 specific permit.

2 MR. STOVALL: What types of documents are  
3 you offering?

4 MR. HORNER: I have the court's amended  
5 findings of fact, the final judgment. I have --

6 MR. DEAN: Were those not the findings of  
7 fact that you just put in?

8 MR. HORNER: Yes, yes.

9 MR. DEAN: If they're admitted once --

10 MR. STOVALL: This is titled Amended  
11 Findings of Fact.

12 MR. HORNER: And then I also have several  
13 of the EIB air quality standards that I would like to  
14 submit. And they directly address hydrogen sulfide  
15 levels and air quality hydrogen sulfide levels.

16 MR. STOVALL: Is this witness necessary to  
17 admit EID documents?

18 MR. HORNER: What I would like to do is  
19 admit these documents and then use this witness to  
20 compare what he intends to do with what was actually  
21 found in the Basin case, and the problems, and to  
22 demonstrate that, in fact, the operation and design of  
23 this facility proposed by these people is entirely  
24 inadequate.

25 MR. STOVALL: Mr. Horner, Mr. Dean, let's

1 address a couple of things here at this point. We've  
2 already admitted the amended findings of fact in the  
3 Basin case, with the proviso that we'll review that  
4 document and determine the relevancy and significance  
5 of that with respect to this situation.

6           You have, you say, the final judgment in  
7 the Basin case?

8           MR. HORNER: Yes, I do.

9           MR. STOVALL: And, again, that's a document  
10 of record in the district court of San Juan County; is  
11 that correct.

12          MR. HORNER: That's correct.

13          MR. STOVALL: Mr. Dean, based upon what  
14 we've already said as far as admitting that, taking  
15 notice of it, a judicial decision --

16          MR. DEAN: You have everything that's in  
17 the judgment in the conclusions and findings, and the  
18 judgment has no -- I think it just sets out the amount  
19 of money and whether or not they can continue the  
20 pond, as I recall. I'd have the same objection, but I  
21 see your point.

22          MR. HORNER: In addition, the restrictions  
23 on the operation of the facility are again spelled out  
24 in the final judgment.

25          MR. STOVALL: Again, I think we can take it

1 into the record, Mr. Examiner, with the understanding  
2 that -- recognize that it's not necessarily binding on  
3 this division, and it is a matter of information which  
4 will be used to make a final decision here.

5 Now, the other items you have are EID  
6 standards; is that correct?

7 MR. HORNER: That's correct.

8 MR. STOVALL: Have you shown those to Mr.  
9 Dean yet?

10 MR. HORNER: Yes, I have.

11 MR. STOVALL: Have you had a chance to  
12 review them, Mr. Dean?

13 MR. DEAN: Yes.

14 MR. STOVALL: May I see them, please?

15 MR. HORNER: This is the final judgment I  
16 was talking about. I noticed last night I  
17 inadvertently somehow missed page two. I didn't  
18 stable it together. Although in reviewing the most  
19 original I have, there was nothing relevant in page  
20 two to what I wanted to discuss here. But I do have a  
21 copy of page two if you'd like to refer to it.

22 In addition, I'm handing you -- may the  
23 record reflect that I'm handing you a document that I  
24 had labeled Plaintiff's Exhibit Number 3, which is the  
25 EIB Air Quality Control Regulation Number 201; and

1 Plaintiff's Exhibit Number 4, which is EIB Air Quality  
2 Control Regulation Number 627 and Number 628; and  
3 Plaintiff's Exhibit Number 5, which is Air Quality  
4 Control Regulation Number 702; and Plaintiff's Exhibit  
5 Number 6, which is Air Quality Control Regulation  
6 Number 705; and Plaintiff's Exhibit Number 7, which is  
7 Air Quality Control Regulation Number 707.

8 MR. STOVALL: These are regulations adopted  
9 by the Environmental Improvement Board of the state of  
10 New Mexico; is that correct.

11 MR. HORNER: That's correct.

12 MR. STOVALL: Let me look at those  
13 documents.

14 MR. HORNER: Here's a whole set. Actually,  
15 if I could have that amended findings of fact back,  
16 I'll give you one that is marked Plaintiff's Exhibit  
17 Number 1 and a final judgment that is marked  
18 Plaintiff's Exhibit Number 2 that does have page two,  
19 and at least they will be marked and indicated for the  
20 record.

21 MR. STOVALL: I don't think there's any  
22 doubt that this division can take administrative  
23 notice of an act of regulations of other state  
24 agencies. Do you understand that these regulations  
25 are not -- first, they're not binding on the OCD;



1 second, that the OCD would have no authority to  
2 enforce those regulations? And I note again that we  
3 do not have jurisdiction to enforce air quality  
4 standards, nor do we have the capability.

5 MR. HORNER: In that regard, there are  
6 several concerns I'd like to address at this point,  
7 and that is the regulations that I have just given you  
8 indicate that this type of facility does need a permit  
9 from the EIB and, therefore, the EIB would be charged  
10 with enforcing these regulations, as I understand it,  
11 would regulate this facility through the permit  
12 process in requiring the applicant to demonstrate that  
13 they would comply with these EIB regulations in the  
14 permit process.

15 As I understand, the problem that arises is  
16 for some reason there is some sort of understanding  
17 between the OCD and the EIB that the OCD will be the  
18 entity that regulates and permits this facility, to  
19 the exclusion of the EIB; and, therefore, the EIB will  
20 not be required to permit this facility because the  
21 OCD is apparently going to take that role. And,  
22 therefore, the way it stands, the EIB, not issuing  
23 their own permit, will not be in a position then to  
24 seek compliance with their own regulations.  
25 Therefore, it's going to be incumbent upon the OCD,

1 since they are assuming the permit process, to insure  
2 that this particular applicant complies with the EIB  
3 regulations.

4           Either that, or this proceeding would be  
5 bifurcated at least to the extent that this applicant  
6 should be required to go before the EIB and obtain a  
7 permit there. What we have here is a significant  
8 potential for air polluting contamination in this  
9 particular area from this facility that, as I  
10 understand Mr. Stovall's comments, said is not within  
11 the jurisdiction of OCD, although by the OCD assuming  
12 jurisdiction, they are eliminating the EIB from  
13 insuring that the air quality will be protected in the  
14 facility.

15           So we've got a problem that needs to be  
16 addressed. And it looks like to me like the  
17 appropriate way to do it is for the OCD, in this  
18 particular case, or in the case of these evaporation  
19 pits, is to assume responsibility for the air quality  
20 control regulations.

21           MR. STOVALL: Mr. Horner, apparently your  
22 understanding of the law and ours is somewhat  
23 different. I understand actually these facilities are  
24 not required to be permitted by EIB. And EIB -- I  
25 assume the regulations will speak for themselves, I'll

1 have to review them and determine that. And, again,  
2 it would -- they would only be advisory in nature as  
3 far as this agency is concerned. But my understanding  
4 is that those standards are recommendations and not  
5 mandatory standards, nor do they require any sort of  
6 permitting or formal approval by EIB or by OCD acting  
7 on behalf of EIB.

8 MR. HORNER: If I may direct your attention  
9 to the document marked as Plaintiff's Exhibit Number  
10 5, which is --

11 MR. DEAN: Is there a copy of these that I  
12 could have?

13 MR. HORNER: Yes. As a matter of fact,  
14 here's a whole stack.

15 MR. HORNER: Again directing your attention  
16 to Plaintiff's Exhibit Number 5, which is Air Quality  
17 Control Regulation Number 702-A, if I may read to you,  
18 the title of 702 is Air Quality Control Regulations  
19 702 Permits. "A" states, "Any person constructing or  
20 modifying any new source of an air contaminant, which  
21 source, if it were uncontrolled, would result in an  
22 emission of a contaminant greater than ten pounds per  
23 hour or 25 tons per year, or would result in the  
24 emission of a hazardous air pollutant, must obtain a  
25 permit from the department prior to the construction

1 or modification." So this is requiring in the case of  
2 hydrogen sulfide emissions that a permit be obtained.

3 MR. STOVALL: Do you happen to have the  
4 regulation relating to the definition of contaminant?

5 MR. HORNER: Well, I have as Plaintiff's  
6 Exhibit Number 3, I believe, Air Quality Control  
7 Regulation Number 201, which would be C-2 on page 2,  
8 "A: For the state, except the Pecos Permian Basin  
9 Intrastate Air Quality Control Region, one hour  
10 average, not to be exceeded more than once per year,  
11 .01 parts per million." That's for hydrogen sulfide.

12 MR. STOVALL: I think, Mr. Horner, what I'm  
13 going to recommend at this time with respect to the  
14 air quality issues and the applicability of the air  
15 quality regulations of the Environmental Improvement  
16 Board and the relationship between OCD and EIB, I'm  
17 going to ask you subsequent to this hearing to provide  
18 us with a legal briefing on this issue. Otherwise, we  
19 could spend a lot of time here and take a shotgun  
20 approach and would not edify us adequately on this  
21 issue. If these regulations are going to be  
22 implicated in our decision, I want to know under what  
23 legal authority we're going to do so. And so at this  
24 time, that's my recommendation to the examiner, is  
25 that we will ask you to brief that subsequent to this

1 hearing. We'll discuss briefing and submission  
2 schedules at that time.

3 MR. HORNER: If I may just quickly address  
4 a couple of the pertinent points in this information  
5 -- I totally understand that you would like to have  
6 the whole thing briefed, and I will do that. But  
7 Plaintiff's Exhibit Number 6, Air Quality Control  
8 Regulation Number 705-A requires that "no person shall  
9 operate a stationary or immobile source of an air  
10 contaminant to which applies an air quality control  
11 regulation and imposes an emission limitation or other  
12 requirement upon the source on a specific date which  
13 occurs after January 1, 1974, and more than one year  
14 from the effective date of the regulation unless the  
15 source is operating under a schedule of compliance  
16 adopted by the board pursuant to this section or  
17 unless the person operating the stationary or immobile  
18 source has certified to the board that the source is  
19 complying with the requirements of the regulation."

20 So, basically, again, that is saying that  
21 anyone who is operating some sort of a source with  
22 respect to which there is an air quality control  
23 regulation must certify to the EIB that they are  
24 complying with the specific air quality control  
25 regulation, which, in this case, is Air Quality

1 Control Regulation 201, which requires .01 parts per  
2 million.

3 MR. STOVALL: We do not enforce EIB  
4 regulations, unless you can educate us -- and it's  
5 quite possible to demonstrate -- under what authority  
6 we are responsible for enforcement of these EIB  
7 regulations. If, in fact, your interpretation is  
8 correct, we may have an EIB issue that you have to  
9 deal with.

10 MR. HORNER: That's correct. I would also  
11 like to quickly address your attention to that  
12 document marked as Plaintiff's Exhibit Number 2, the  
13 final judgment in the Basin case, on page three, under  
14 the order portion of that, item number eight. And it  
15 is under the order part it says, "It is further  
16 ordered, adjudged and agreed and the defendants may  
17 operate their produced water disposal facility only  
18 under the following conditions;" of which number eight  
19 states, "Continue monitoring emissions of hydrogen  
20 sulfide and limit such emissions to .01 parts per  
21 million in compliance with the ambient air quality  
22 standards as promulgated by the Environmental  
23 Improvement Board of the State of New Mexico under its  
24 Air Quality Control Regulation 201 dated June 15th,  
25 1981."

1 MR. STOVALL: Again, I don't know that that  
2 imposes a standard on the OCD for approval of this  
3 permit. Again, I think that's something you can  
4 include within your brief.

5 MR. HORNER: It definitely did impose a  
6 standard on the Basin operators.

7 MR. STOVALL: No doubt about that.

8 MR. HORNER: And so the court, after  
9 listening to all the testimony, decided that was the  
10 appropriate standard to be using with regard to these  
11 produced water facilities.

12 MR. STOVALL: What I'm trying to do is I'm  
13 trying to make sure that we get the focus of this  
14 hearing back on what we have jurisdiction over. I'm  
15 concerned about spending substantial time addressing  
16 something that we can't do anything about anyway.  
17 District court, of course, is a general jurisdiction  
18 court. They don't have limitations on their  
19 authority. They had jurisdiction over Basin, there's  
20 no question about that. Basin was a defendant in the  
21 case. And this order was issued, I assume, based upon  
22 evidence presented in the Basin case.

23 MR. HORNER: That's correct.

24 MR. STOVALL: If there is to be any  
25 imposition of the standards imposed by the court in

1 the Basin case by this division in this proceeding, I  
2 need to know two things; one is what jurisdiction do  
3 we have to impose those standards -- and that's the  
4 issue that we've already discussed your briefing; and  
5 the second is then what evidence do we have to support  
6 the imposition of those standards upon this  
7 application. Which leaves us with a bit of a  
8 procedural difficulty. We're at the evidentiary  
9 hearing today, and if -- but if we don't have  
10 jurisdiction, why should we spend our time taking  
11 evidence?

12 The second part that I'm a little bit  
13 concerned with, because I think it could be a very  
14 protracted process and complicate rather than aid the  
15 examiner in making a decision, is the use of Mr. Frank  
16 to introduce that evidence.

17 MR. HORNER: Well, I'm not asking,  
18 obviously, Mr. Frank to introduce this evidence. I  
19 have introduced this evidence standing on its own,  
20 seeking administrative notice. From there, what I  
21 would like to do for a few minutes is I'd like to go  
22 through the findings of fact in this Basin case to  
23 demonstrate what they actually found there and the  
24 problems that were created -- and you're going to see  
25 the similarities between the Basin operation and what



1 they're proposing here today -- and from that  
2 perspective, then ask Mr. Frank simply to address how  
3 the present facility is going to be operated with  
4 respect to how the Basin facility was operated. I'm  
5 not asking Mr. Frank to be an expert on this Basin  
6 facility or on what happened in this Basin case.

7 MR. STOVALL: Correct me if I'm wrong, was  
8 there some discussion Wednesday with Mr. Frank  
9 regarding his knowledge of Basin and their  
10 operations?

11 MR. HORNER: There was; and I believe that  
12 he said he had some knowledge of what was going on,  
13 but he was not involved in the design of that  
14 facility; is that correct?

15 MR. FRANK: That's correct.

16 MR. HORNER: And probably not involved in  
17 the operation of the facility; is that correct?

18 MR. FRANK: None whatsoever.

19 MR. HORNER: And not involved in the  
20 ownership of that facility; is that correct?

21 MR. FRANK: No.

22 MR. STOVALL: I think, Mr. Horner, what I  
23 would prefer to see you do is, if there's some way you  
24 can do it, get us more directly to assist in the  
25 development -- I don't want to go through this

1 decision which is now in the record, and we can read  
2 it.

3           MR. HORNER: What I would like to do before  
4 we go directly to the standards is go more  
5 specifically to the problems these facilities create  
6 which are addressed in the Basin findings; and then  
7 what we can do is, if you'd like, let Mr. Frank and  
8 Mr. Dean try to demonstrate how that doesn't apply  
9 here, and I will demonstrate how it does apply here.  
10 But it has been fully litigated in this case after a  
11 few years of operation, and it does demonstrate the  
12 problems that these facilities create, and therefore  
13 it can give this forum a very good perspective of what  
14 you're actually dealing with here. Rather than  
15 dealing blind with what may happen in a few years,  
16 this demonstrates what actually occurs with these  
17 facilities.

18           MR. DEAN: May I speak for a minute?

19           MR. STOVALL: Please, Mr. Dean.

20           MR. DEAN: I'm sitting here thinking I'm in  
21 a district courtroom somewhere with a judge who has a  
22 standard to decide things; and we're not. This is a  
23 hearing to determine facts on this application to see  
24 whether or not and under what conditions it should be  
25 granted.

1           Mr. Horner is treating it as though it's a  
2 suit. He doesn't want the pond there, his clients  
3 don't want the pond there. I appreciate that. There  
4 hasn't been one fact that he's elicited that has  
5 anything to do with whether or not this pond is  
6 technically designed right. He's simply  
7 cross-examining my witnesses, asking them the same  
8 questions that are in evidence over and over and  
9 listening to the same response, wasting this body's  
10 time, our time and our money while we sit here while  
11 he does it.

12           It would be a simpler matter to ask Mr.  
13 Anderson of staff if he took the Basin case into  
14 consideration when he wrote these letters back and  
15 forth. And I think I can safely say that he certainly  
16 did.

17           There's been no foundation that this pond  
18 has anything to do with the Basin pond. In fact, if  
19 the Basin case hadn't happened, we wouldn't have to do  
20 any of these things that are all set out on these  
21 diagrams and stuff. If Mr. Horner had spent the time  
22 to prepare his case, he'd know that; and he would have  
23 some witnesses to say maybe what the design should or  
24 shouldn't be. As I understand it, he doesn't anything  
25 like that. He's simply trying, in my opinion, to

1 delay this whole proceeding and waste our time while  
2 he asks the questions that are in evidence, the  
3 answers are in evidence of this witness, and I assume  
4 the other two witnesses I intend to call over and over  
5 and over. Quite frankly, that's not fair. If he has  
6 some evidence and he has some design things he wants  
7 to present, fine, I'm willing to listen to him. Quite  
8 frankly, my client is willing to comply with them if  
9 they're shown that they'll do better. I don't have a  
10 problem with that.

11 I am intimately familiar with the Basin  
12 case, and I know that the things that I read in that  
13 judgment which has nothing to do with this case except  
14 perhaps in a very small condition that what they found  
15 that caused the problem might have some relevance  
16 here, that they didn't monitor the loads, that they  
17 took any load -- they didn't test any loads until they  
18 had a problem -- they didn't even have a tester out  
19 there until they had a problem, sure, I think that's  
20 what's taken into consideration in our application and  
21 Mr. Anderson's and this commission's recommendations.  
22 We should get to that.

23 And if we continue to diverge off and waste  
24 hour after hour, I'm going to be up and down  
25 objecting. Quite frankly, we're wasting time. And

1 it's not fair to the applicant to sit here 200 miles  
2 from their business, paying expert witnesses to sit  
3 here while Mr. Horner prepares his case and tries to  
4 find some point which he can hang his hat on. If he  
5 has an EIB problem, I suggest he go to EIB. The  
6 initials here are OCD. And, quite frankly, I don't  
7 think he can brief that issue that OCD has anything to  
8 do with that. If he thinks we're supposed to get a  
9 permit, then there are certainly civil remedies  
10 available to him to make me do that. That's something  
11 he should do. I don't have a problem with that. This  
12 isn't the place to do it. We're just sitting here on  
13 dead center. We're not really getting anywhere.

14 MR. STOVALL: Mr. Horner.

15 MR. HORNER: If I may respond. Mr. Dean  
16 just picked specific items from this court's finding  
17 and tried to indicate how they didn't apply. If you  
18 would allow me, I will go into this particular finding  
19 and demonstrate how the majority of it does apply and  
20 how these facilities are dangerous to surrounding  
21 residents, and not within a quarter mile radius that  
22 these people talked about, or a half mile radius, but  
23 within a one-and-a-half mile radius, which does  
24 encompass Flora Vista and all these other people  
25 around, and that these facilities make people sick,

1 that hydrogen sulfide kills people.

2 MR. STOVALL: Mr. Horner, let me cut you  
3 off right here. I can assure you that the division is  
4 well aware that hydrogen sulfide is a dangerous  
5 substance. I will say -- and we will have Mr.  
6 Anderson as a witness on the stand to discuss the  
7 awareness by this division and the environmental  
8 bureau in the Basin case. I will say on the record  
9 now that we knew that Basin Disposal got sued and that  
10 they lost in the district court.

11 My understanding that our bureau had not,  
12 prior to this time, been able to obtain a copy of the  
13 court's judgment. In the course of this proceeding  
14 I'm going to ask some of our bureau staff to look at  
15 the judgment and the findings of fact and review  
16 that. And I think, to a certain extent, I agree with  
17 Mr. Dean that perhaps through the use of the division  
18 technical staff we can address those concerns better  
19 than with Mr. Frank.

20 The real concern with -- let me back up and  
21 retract that. I would very much like your assistance  
22 in helping us to define and establish scientifically  
23 sound standards. And the question is -- one of the  
24 issues that has to be looked at, I think, is that we  
25 do have some concern about the H<sub>2</sub>S, other procedures

1 which can prevent dangerous concentrations of H2S.  
2 And I'd like to go into that with technical people.  
3 We want some help developing standards on that issue.  
4 I don't think we're getting it through this  
5 cross-examination at this point.

6 MR. HORNER: Well, I need to get through  
7 the cross-examination to demonstrate the problems and  
8 to demonstrate what we're looking at in this  
9 particular case, and then I do intend to address those  
10 things; but I need to build a foundation to get  
11 there. For instance, one of the things I would like  
12 to bring to your attention here is on the findings,  
13 page three, item number ten says location, design,  
14 construction, operation of the facility were approved  
15 by the OCD, were in compliance with all applicable  
16 permits, rules, regulations and criteria of the OCD,  
17 and it still injured the surrounding people because  
18 they weren't looking at the air quality, they weren't  
19 requiring any kind of restriction on H2S emissions or  
20 compliance with any regulations, and they injured a  
21 lot of people. And so, as I understand it here, and  
22 what's going on here, we can have compliance with the  
23 OCD regulations on the design of waste disposal pits  
24 and still injure a lot of people.

25 MR. STOVALL: I don't believe that -- if

1 the factors causing the injury are outside the  
2 jurisdiction of the OCD that may be an issue, and I  
3 think we've addressed the question of whether EIB may  
4 be properly involved in this or not. And I'm asking  
5 -- that's a legal issue which we need to be addressing  
6 subsequent to this hearing.

7 MR. HORNER: This is what you want briefed,  
8 as I understand.

9 MR. STOVALL: That's correct.

10 MR. HORNER: But in the meantime, we do  
11 have a considerable amount of evidence here that we  
12 can look at with regard to how these facilities are  
13 operated and the dangers they pose to surrounding  
14 residents. And in this particular case, it was all  
15 litigated, they came up with their limitations on the  
16 operation of this facility in order to try to make it  
17 safer. I have problems with the fact that they cannot  
18 do that.

19 MR. STOVALL: Let me stop you right there  
20 for just a moment. I think you've hit a very  
21 significant point, is that it was litigated. That  
22 means there was factual evidence presented before the  
23 district court. Again, for the sake of preserving  
24 this record and making it somewhat useful to the  
25 examiner, I'm wondering if, to the extent that we can



1 make any analysis and comparison, that the proper way  
2 to do so is with the use of the OCD technical staff  
3 reviewing their establishment of standards, based upon  
4 the knowledge that they might have of the Basin case.  
5 And I'm concerned -- to the extent that we don't have  
6 the factual information which the district court had  
7 before it, it's going to be very difficult for us to  
8 evaluate information which isn't there.

9 MR. HORNER: What I've tried to do is  
10 provide you with a finding which is the bottom line of  
11 the sifting of all the information that they obtained  
12 and what the court found was the case. And I do agree  
13 that you need the OCD staff involved. This is what I  
14 was complaining about on Wednesday. I'm glad to see  
15 them here today because I do want their input.

16 But one of the things that you're talking  
17 about here is the OCD staff is also handcuffed to only  
18 looking -- only able to look at this particular permit  
19 within the guidelines of the OCD regulations, which as  
20 is demonstrated in this particular Basin case that the  
21 OCD regulations were not sufficient to protect the  
22 public. And these types of issues I would like to get  
23 to and just show you what's in here. And I think it's  
24 going to be very enlightening for you. You may still  
25 have your problem with your jurisdiction and the

1 relationships or inter-relationships between the OCD  
2 and the EIB, that's entirely possible, and needs to be  
3 worked out. But I would like to demonstrate that  
4 these facilities do cause problems in the area,  
5 significant problems.

6 MR. DEAN: I object. The Basin facility  
7 caused problems in the area.

8 MR. HORNER: And I will demonstrate how  
9 what they're planning on doing here looks like what  
10 the Basin facility was doing when it was causing the  
11 problems. And I would like to demonstrate that, if  
12 you'll let me go into it.

13 MR. DEAN: The Basin judgment is on appeal,  
14 it's not final. It's bonded, it hasn't been  
15 collected, and it's basically just sitting there as a  
16 stay. No one's done anything else to enforce it. And  
17 there are letters of credit, substantial letters of  
18 credit, to prevent the enforcement of that judgment,  
19 the monetary part of it. It's on appeal in the court  
20 of appeals in the state of New Mexico and has been  
21 briefed. I'm not sure you can even use it as a  
22 guideline, not that I really care. I think if you ask  
23 Roger Anderson, "Did you know the problems at Basin  
24 and did you take those into account when you wrote  
25 these letters," I think his answer is yes.

1           MR. HORNER: I think he should be put on  
2 the stand, and we should ask him those questions.

3           MR. DEAN: I think that's pretty clear in  
4 the record already. These findings now, even over my  
5 objection, it's all there, it's in the record. If  
6 we're in civil court, the rules of evidence do apply  
7 here, it's already there. I've heard judges for 15  
8 years tell me, "The evidence speaks for itself, Mr.  
9 Dean, sit down and shut up." That's the deal. I can  
10 read this, I'm going to read it. That's what you guys  
11 are here for. Here's the evidence, take it into  
12 consideration.

13           MR. STOVALL: It's exactly my point. The  
14 one issue that from the standpoint of conduct of this  
15 hearing for the rest of this day -- and I would hope  
16 that that's all we're talking about is the rest of  
17 this day -- is I would like to focus on the standards  
18 and the concerns which you have, Mr. Horner, because I  
19 think there's no doubt in my mind that they're valid  
20 and that we need to address them. I am concerned that  
21 by using Mr. Frank as the vehicle to do so, we could  
22 go very circuitously through some cross-examination  
23 which might not get us to where we want to be. He's  
24 not on your side, quite frankly.

25           MR. HORNER: Oh, yeah?

1           MR. STOVALL: And I'm wondering -- I'm  
2 going to recommend to the examiner after my little  
3 speech here that we take a ten-minute recess and that  
4 you do some thinking, and perhaps -- unless you have  
5 some very specific questions with respect to his  
6 direct testimony and some of the credibility issues,  
7 that perhaps some of the concerns that you have might  
8 better be addressed when Mr. Anderson is available.

9           MR. HORNER: If you would allow me, for  
10 instance, 15 or 20 minutes just to demonstrate the  
11 analogy between the Basin case and what Mr. Frank is  
12 proposing in this facility -- and I will just -- I  
13 mean, we need to look at it. We've kicked this around  
14 for I don't know how long now just talking about why  
15 we shouldn't do that.

16           MR. STOVALL: I'm not saying that we  
17 shouldn't do it. I'm saying that perhaps Mr. Anderson  
18 is the one to do it. We don't even have in the record  
19 that Mr. Frank is familiar with the Basin case.

20           MR. HORNER: I'm not asking Mr. Frank to be  
21 familiar with the Basin case at all. I'm not asking  
22 him to be familiar with the facility, only with  
23 respect to what they have found here, what does the  
24 design and operation of his facility look like. For  
25 instance --

1           MR. STOVALL: Mr. Examiner, I'm going to  
2 recommend we take a ten-minute break and have some  
3 discussion on this.

4           And, Mr. Horner, if we do decide to limit  
5 this discussion, I will do so -- I will recommend that  
6 we do so, with the understanding that Mr. Frank will  
7 still be in town and available to be recalled to the  
8 stand, if it's necessary. I just want to get to what  
9 you're concerned with more directly.

10           MR. HORNER: That's what I'm trying to get  
11 to.

12           MR. STOVALL: I also want to give our staff  
13 a chance to look at this because they're familiar with  
14 the case, but they've never seen these findings. I'm  
15 going to recommend a ten-minute recess at this time,  
16 Mr. Examiner.

17           MR. HORNER: This is the meat of what I  
18 wanted to present. What I've done so far is basically  
19 try to set out what the Sunco operation is going to  
20 look like, and now I would like to compare it with  
21 what they did at Basin and to demonstrate the flaws.  
22 And so this is the meat of what I came to talk about,  
23 and I very much want to talk about it. And with  
24 that --

25           MR. STOVALL: I don't deny you the right to

1 talk about it. Let's figure out how best to do it.

2 EXAMINER STOGNER: Let's take a 15-minute  
3 recess at this time.

4 ((Recess, 9:30 a.m. to 10:53 a.m.))

5 EXAMINER STOGNER: This hearing will come  
6 to order.

7 Mr. Stovall.

8 MR. STOVALL: Mr. Examiner, I've expressed  
9 some concern that we've not helping to focus on the  
10 standards which must be met before this facility can  
11 be approved. The discussion is currently centered on  
12 the Basin Disposal case, which the OCD is familiar  
13 with; I believe all the parties are familiar with it.  
14 It's certainly something of interest today. But I'm  
15 going to recommend that we not use Mr. Frank -- not  
16 allow further cross-examination of Mr. Frank with  
17 respect to the Basin case and the impact of the Basin  
18 case. We want to address and are prepared to address  
19 with Mr. Anderson of OCD what has been learned and  
20 developed in terms of standards from the Basin case,  
21 and we want to allow Mr. Anderson to address that  
22 issue when he is on the stand.

23 There's some other issues which Mr. Horner  
24 is bringing up in terms of a number of issues which,  
25 if, in fact, they were likely to occur, they would be

1 very serious and very significant. However, based  
2 upon the correspondence which is already admitted in  
3 the record -- and then I suspect there will be  
4 additional evidence on the issues, for example,  
5 dealing with the volumes of water implicated in any  
6 leaks and what will happen, concentrations of chlorine  
7 or volumes of chlorine used to treat the sulfides are  
8 issues, the H2S standards, specific standards.  
9 There's a limit which I believe Mr. Anderson can  
10 properly address as to what OCD staff feels are  
11 totally unacceptable and what is acceptable. And I  
12 believe perhaps Mr. Anderson -- the use of Mr.  
13 Anderson to provide some technical evidence on some  
14 minimum standards which must be satisfied is perhaps  
15 more efficient than the more indirect approach of  
16 cross-examination of Mr. Frank. I'm going to  
17 recommend at this time that unless there are some very  
18 specific questions with respect to Mr. Frank's  
19 testimony that this cross-examination terminate at  
20 this time, that we proceed -- that the applicant  
21 proceed with their additional technical witnesses,  
22 that Mr. Anderson will then be called to discuss some  
23 of the technical criteria which the OCD environmental  
24 bureau would require for these types of facilities  
25 and, hopefully, these will address many of the

1 concerns which Mr. Horner has. And then at that time,  
2 if he is not satisfied that acceptable criteria can be  
3 met, then we'll proceed to recall whatever witnesses  
4 are necessary to establish that, in fact, either those  
5 criteria are unacceptable or that they can't be met by  
6 the proposed facility. But from my part, I need to  
7 see, and I believe it would be most helpful for you to  
8 see, what are the criteria which must be satisfied and  
9 can this facility satisfy that criteria. And I think  
10 we can approach that more directly than we have been  
11 so far.

12 EXAMINER STOGNER: Thank you, Mr. Stovall.  
13 And I concur.

14 Are there any other questions of Mr. Frank  
15 not related to the Basin Disposal system?

16 MR. HORNER: Yes, right. As I understand  
17 what we're talking about then, we will be --

18 EXAMINER STOGNER: Mr. Horner, do you have  
19 any questions for Mr. Frank?

20 MR. STOVALL: Get the focus clear.

21 MR. HORNER: Let me understand where we  
22 are. I understand that then some of my concerns with  
23 the Basin case and the limitations and standards it  
24 puts out, we can talk to Mr. Anderson about it?

25 EXAMINER STOGNER: That is correct.



1           MR. STOVALL: Mr. Horner, I guess to make  
2 it very clear, what I've suggested -- and what I think  
3 the examiner concurred in -- is what we want you to  
4 focus on with any questions you ask from this point  
5 forward of Mr. Frank is the acceptable standards, not  
6 the disasterous worst case, but what acceptable  
7 standards should be imposed as conditions of a permit  
8 that's issued and can this facility meet those  
9 standards.

10           MR. HORNER: I'll tell you what I'll do is  
11 address those questions to Mr. Anderson. And at this  
12 time then, what I'd like to do is -- there's a few  
13 more aspects of this particular design that I would  
14 like to inquire of Mr. Frank, and then that will  
15 essentially lay the foundation for how this facility  
16 is designed. And then we can discuss the adequacy of  
17 the design, or the standards, or whatever, with Mr.  
18 Anderson. That would be fine with me.

19           EXAMINER STOGNER: Thank you. You may  
20 proceed.

21           Q.     (By Mr. Horner) I'd like to talk to you a  
22 little bit then, first off, about the spray system  
23 you've got designed. Now, you were talking about  
24 having a design where you had some sort of a spray  
25 system around the perimeter of the pond. Is this all

1 four sides or just two sides?

2 A. Perimeter being all four sides.

3 Q. Now, this is something that was not  
4 addressed in the correspondence between yourself and  
5 OCD; isn't that correct?

6 A. That is correct.

7 Q. So this is a later development; is that  
8 correct?

9 A. That is correct.

10 Q. And so we have no design submitted for that  
11 system at this point?

12 A. No, we do not.

13 Q. Now, as I understand in the correspondence  
14 between yourself and the OCD, you had stated that this  
15 spray system would not be operated in conditions of  
16 excessive wind; is that correct?

17 A. It -- the portions of it that would permit  
18 mist to go outside of the pond would not be operated  
19 during excessive winds. If the winds were to the  
20 point in which all spray were going outside the pond  
21 or none of the legs of the facility could be worked,  
22 the whole spray system would be shut down for that  
23 period of time in which the winds were in excess of  
24 allowable.

25 Q. So, basically, now you're talking about the

1 redesign system that hasn't been submitted, correct?

2 A. That's correct.

3 Q. So the system that you were talking about  
4 previously that you had submitted to -- I don't know  
5 that you ever submitted any drawings -- but that you  
6 had talked about with the OCD just had some sort of  
7 spray nozzles in the center of the pond, right?

8 A. It had two sprayer islands in the center of  
9 the pond.

10 Q. Floating islands?

11 A. Float islands.

12 Q. And so the concept there is when the wind  
13 was too high, you'd shut down the spray system.

14 A. The concept there is we would slow the pump  
15 down. In this case, we'd have a bypass on the pump,  
16 relieving the pressure on the nozzles, therefore  
17 creating less spray; and at such point in time that  
18 the spray was going outside the pond, we would just  
19 recirculate the pond.

20 Q. Your concern was that the mist carry over  
21 on to surrounding property; is that correct?

22 A. That's correct.

23 Q. Now, in fact, isn't hydrogen sulfide  
24 stripped out of the water as it's blown into the air  
25 so that the hydrogen sulfide will carry over to

1 surrounding property, even if the mist falls back in  
2 the pond?

3 A. If there was hydrogen sulfide in the water,  
4 it would be liberated at that point in time, yes, and  
5 it would carry, if there is hydrogen sulfide in the  
6 water.

7 Q. Now, in fact, you have redesigned this  
8 system because Mr. Cheney has found that the spray  
9 system is a critical part of aerating this pond; isn't  
10 that correct?

11 A. No, we put the spray system in to enhance  
12 evaporation. This is a backup. It's a redundant  
13 system; it serves two purposes.

14 MR. STOVALL: Mr. Horner, I'm going to ask  
15 that if there are questions which are within Mr.  
16 Cheney's area of expertise with regard to his  
17 recommendations, he will be a witness.

18 MR. HORNER: Right. That's reasonable.

19 Q. (By Mr. Horner) But at this point you are  
20 anticipating using the stray system just about at all  
21 times, correct?

22 A. At such point in time that the pond is full  
23 enough to justify its use, yes.

24 Q. If the spray system were operated in  
25 conditions where the mist did blow outside the pond,

1 you would have salts landing on the surrounding  
2 property, would you not?

3 A. If we operated it. But as I've stated  
4 quite clearly several times now, we will shut the  
5 system down if it starts going outside the pond.

6 Q. If it were operated in high wind  
7 conditions, this is what would happen?

8 A. Yes.

9 Q. Do you intend to have an operator on duty  
10 at all times when the spray system is operating?

11 A. As I've stated several times, yes, an  
12 operator and attendant will be on duty at all times  
13 when we're operating the facility. "Operating the  
14 facility" would mean operating the spray system.

15 Q. With the instructions to shut down the  
16 spray system in conditions of high wind?

17 A. Correct.

18 Q. Now, when the spray blows up in the air and  
19 the water evaporates, the salts will precipitate out  
20 and hopefully fall back into the pond, correct?

21 A. They will fall back into the pond.

22 Q. The way you are suggesting that the system  
23 will be operated?

24 A. Correct.

25 Q. Do you know what the makeup of those salts

1 will be?

2 A. The principal constituents would be that of  
3 sodium chloride, sodium bicarbonate, calcium carbonate  
4 and some other salts; but the principal constituents  
5 are those as outlined above.

6 Q. Now, do you know what other produced water  
7 disposal pits are in the area?

8 A. Yes.

9 Q. Available for people that are looking for  
10 such facilities?

11 A. Yes, I know who they are.

12 Q. Would you describe them, please?

13 A. There would be Basin Disposal and Southwest  
14 Water Disposal and T&T.

15 Q. Do you have any idea what their capacities  
16 are; how much they can take per day, for instance?

17 A. At this point in time, I believe Basin  
18 Disposal's capacity is in the neighborhood of -- I  
19 believe with their new pump -- close to 60, 70 loads a  
20 day. Southwest Water Disposal, we're in the process of  
21 finishing our sprayer system; right now we're at the  
22 capacity of 25 loads a day. I expect to get up to 50  
23 loads a day. T&T, I would expect those to be similar  
24 to ours. I don't know what their design is, but they  
25 would the capacity, if they were to retrofit their

1 pond similar to ours, of 50 loads a day.

2           There's one other commercial disposal  
3 facility, but you didn't ask me to address that. It's  
4 a disposal well at Hicks Disposal, and their capacity  
5 at this time, I believe, is 1300 barrels a day; so  
6 that would be -- divided by eight -- roughly 15, 16  
7 loads a day, 20. I don't know, you know.

8           Q.     And how much is a load?

9           A.     Eighty barrels.

10          Q.     And gallons, how much is that?

11          A.     Eighty times 42 would be 3320.

12          Q.     Now, the water that's brought in here, you  
13 say, sometimes may contain hydrogen sulfide?

14          A.     Yes.

15          Q.     Now, is this generated from a well that  
16 they call -- or that is dealing with sour gas?

17          A.     In most instances, yes.

18          Q.     Now, are there significant numbers of these  
19 wells in the area?

20          A.     No.

21          Q.     Are there any wells in the area?

22          A.     In the San Juan Basin there are a few on  
23 the periphery of the basin.

24          Q.     And where are those located?

25          A.     Over northwest -- north of La Plata, in

1 that general area, and up into Breen, Colorado, that  
2 general area.

3 Q. Called the Barker Dome area?

4 A. In the Barker Dome; this is in addition to  
5 Barker Dome. It's close to Barker Dome.

6 Q. And you would anticipate possibly taking  
7 loads from those areas?

8 A. Yes.

9 Q. So it's entirely possible that you could  
10 get loads with hydrogen sulfide in them?

11 A. That's correct.

12 EXAMINER STOGNER: At this point, Mr.  
13 Horner, could you hang on just a second?

14 (Sub rosa conference between the examiner  
15 and Mr. Stovall.)

16 EXAMINER STOGNER: Mr. Horner, you may  
17 continue. Thank you.

18 Q. (By Mr. Horner) Now then, in the  
19 correspondence that I've looked through here, I have  
20 not seen a plan to the removal of the sludge from the  
21 pond; is that correct?

22 A. If you read this, we do not intend to  
23 remove the sludge as it will be permitted, if we get  
24 what we like, to be buried on site. Those  
25 objectionable things will be removed, if, at that



1 point in time, they are objectionable.

2 Q. So the operation scheme for this facility  
3 though is not to remove the sludge from the bottom of  
4 the pond as it accumulates?

5 A. That is correct.

6 Q. Now, also in looking through the  
7 correspondence, I haven't found where you have  
8 actually acknowledged that there will be sludge. Now,  
9 in fact, will there be sludge accumulations?

10 A. Yes, there will be sludge accumulations  
11 mixed with salt. I don't know what you determine  
12 sludge to be, but for sake of continuing our  
13 discussions with the OCD, I just assumed it to be a  
14 combination of wind-blown dirt and salts that  
15 precipitate in the pond.

16 Q. There may be something in there other than  
17 the salts that are precipitating?

18 A. Yes. As I told you earlier, wind-blown  
19 dirt is the other thing that I believe would be there.

20 Q. And you have no intention of putting any  
21 type of cover or net over this pond; is that correct?

22 A. We do not over the main ponds, no.

23 Q. Now, in your correspondence you've referred  
24 to artificial evaporation. Just to make it clear to  
25 me and these people, what is artificial evaporation?

1           A.       Rather than -- I put that in there as a  
2 differentiation between passive evaporation which  
3 would just be the pond sitting there evaporating.  
4 What I meant by artificial evaporation actually should  
5 have been termed enhanced evaporation by spraying.

6           Q.       Now, are you aware of whether the owners of  
7 this facility ever intend to install injection wells  
8 on the site?

9           A.       At this point in time, I am not aware as to  
10 their intentions of an injection well.

11          Q.       Can you state that they intend to --

12                   MR. DEAN: I object. Injection well  
13 requires a separate permit, obviously not covered by  
14 this permit.

15                   MR. HORNER: Still, they may have an  
16 intention of installing one at some future date. I'm  
17 trying to find out if that is part of the plan.

18                   MR. DEAN: I object; I think it's totally  
19 irrelevant.

20                   MR. STOVALL: I think the question has been  
21 answered. Mr. Frank has stated he doesn't know what  
22 the plan is.

23                   MR. DEAN: Do you know?

24                   WITNESS: I do not know whether they intend  
25 to drill an injection well.

1 Q. (By Mr. Horner) But it is possible that  
2 they may come back and --

3 MR. DEAN: I object again.

4 EXAMINER STOGNER: Sustained.

5 Mr. Horner.

6 Q. (By Mr. Horner) In your application it's  
7 stated that the groundwater most likely to be affected  
8 by any accidental discharges is at a depth in excess  
9 of 80 feet; is that correct?

10 A. I don't know if I stated that or if it was  
11 part of the notice of hearing that the OCD prepared.  
12 But that would, in fact, be the case.

13 MR. HORNER: You may be correct. It looks  
14 like it was in a notice of publication. Maybe I  
15 should address Mr. Anderson with that question.

16 I have no further questions of this witness  
17 at this time.

18 MR. STOVALL: Thank you, Mr. Horner.

19 EXAMINER STOGNER: Redirect?

20 MR. DEAN: Very briefly.

21 REDIRECT EXAMINATION

22 BY MR. DEAN:

23 Q. Mr. Frank, let me hand you what you've  
24 already identified and is now marked as Applicant's  
25 Exhibit 9, and ask you if you signed that affidavit.

1           A.       Yes, I did.

2                   MR. DEAN: I'd like to move for the  
3 admission of Applicant's Exhibit 9, which is simply  
4 proof of notice. And I have copies for everyone.

5           Q.       ((By Mr. Dean) If you detect a leak in the  
6 sump, can you pump liquid from the sump back into the  
7 pond?

8           A.       Yes.

9           Q.       How would you do that?

10          A.       It would be either by centrifugal pump, or  
11 we could vacuum it up with a water truck and transfer  
12 it from point to point.

13          Q.       In your opinion, would that alleviate some  
14 of the risks to the soils outside if, for some reason,  
15 the secondary liner also failed?

16          A.       Yes, it would. The water is going to take  
17 the most direct, most permeable route to the path of  
18 least resistance, which in this case would be our  
19 geotech style and/or the leak detection system.

20          Q.       In the event that the primary liner  
21 completely failed and the secondary liner failed, is  
22 there anything inherent in the construction and the  
23 compaction of the soil that would help prevent risk to  
24 the groundwater?

25          A.       Yes. The geologic nature of this soil,

1 there is a clay content, which I analyzed or described  
2 in my first letter, varying degrees of clay; and it  
3 will be compacted to certain a percentage of proctor,  
4 which in this case is going to be 95 percent.

5 Q. And that helps its permeability or  
6 resistance to the fluid going through it?

7 A. It helps its impermeability.

8 Q. Do the questions about how long it would  
9 take to empty the pond in the offhand chance there's a  
10 leak depend on how full the pond is?

11 A. Yes.

12 Q. Does it depend on where the leak is?

13 A. Yes.

14 Q. And do your reservations and concerns about  
15 how quickly you can empty that pond have anything to  
16 do with where you would take the water to, if you were  
17 required to truck it? Where would you take it to?

18 A. We would take it to one of three different  
19 disposal facilities, which would be --

20 Q. Is your pond full?

21 A. It is currently at this time.

22 Q. Is Basin full, to the best of your  
23 knowledge?

24 A. It's pretty close.

25 Q. Are you getting loads from Basin?

1 A. We were.

2 Q. What about T&T?

3 A. I don't know.

4 Q. Are there any other ponds?

5 A. No other ponds.

6 Q. What about the injection well you  
7 mentioned? What do you know of their capacity?

8 A. Their capacity over what they're getting  
9 right now would be, as quoted to me by their manager,  
10 would be roughly six to 700 barrels of water a day,  
11 currently.

12 Q. Assuming you had to empty the pond and  
13 truck it off, first of all, would be the number of  
14 trucks you'd have to have if it was full and you were  
15 going to have to empty it, and where you would take  
16 it.

17 A. Correct.

18 Q. Does that kind of water have to be put in a  
19 certified facility?

20 A. Yes, it does.

21 Q. Whose regulation is that?

22 A. OCD's.

23 Q. If it's required to have a 32-horsepower or  
24 greater motor on the aeration system that you  
25 described that had a half horse or a third horse

1 motor, are you willing to modify the plan to that  
2 extent?

3 A. Yes, it could be.

4 Q. Is it possible after construction to add to  
5 the sprayer systems in the pond?

6 A. Yes.

7 Q. Is that something that would also help if  
8 there was an offhand chance that there was a problem  
9 with H<sub>2</sub>S?

10 A. Very much.

11 Q. What does spraying actually do that helps  
12 the operation of this pond?

13 A. Quite frankly, all it does is increase your  
14 surface, which increases your evaporation area.

15 Q. You think there's enough demand from the  
16 industry that exceeds the capacities of the ponds that  
17 you know about?

18 A. Without a question.

19 Q. If sludge builds up in the perforation  
20 holes in the aeration system on the bottom of the  
21 pond, can you treat that problem?

22 A. Very simply what we would do with the  
23 number one system would be to introduce an acid at the  
24 recommendation of the manufacturer -- and I'm not  
25 quite sure, I believe it's a mild muriatic acid that

1 would clean the rock diffusers. The second system  
2 would be cleaned by, quite simply, a roto-rooter type  
3 of operation. The laterals will extend out to the  
4 sides of the pond to where they can entered and  
5 cleaned.

6 Q. And, once again, for purposes of clarifying  
7 the record, these spray systems and areation systems,  
8 they're completely separate, aren't they?

9 A. They are.

10 Q. Separate motors?

11 A. Separate motors.

12 Q. Separate intake and out-take?

13 A. Separate plumbing.

14 MR. DEAN: I don't have any other  
15 questions.

16 MR. HORNER: I have one other one.

17 RECROSS-EXAMINATION

18 BY MR. HORNER:

19 Q. You mentioned yesterday if you got oil on  
20 the top of the pond you would take it off by what you  
21 called a scooper truck?

22 A. Vacuum.

23 Q. Who in the area operates that type of  
24 truck?

25 A. There's a host of companies that operate



1 vacuum trucks.

2 Q. In the area?

3 A. Yes.

4 Q. And can you name a few?

5 A. Sunco Trucking, Ladd Tankers, Chief  
6 Transport, Three Rivers, Dawn Trucking; there's a  
7 couple more, I can't think of their names right now.

8 Q. So how long does it take to get one of them  
9 to your facility if you need one?

10 A. Well, the water is transported to the  
11 facility in one of those types of trucks, so very,  
12 very short.

13 MR. HORNER: I have no further questions of  
14 this witness.

15 EXAMINER STOGNER: Thank you.

16 ((Sub rosa conference between the examiner  
17 Storer and Mr. Stovall.))

18 EXAMINER STOGNER: Mr. Stovall, I believe  
19 you have some questions.

20 EXAMINATION

21 BY MR. STOVALL:

22 Q. Mr. Frank, it is your intention, as I  
23 understand, to limit the matter to be disposed of as  
24 produced water from oil and gas production; is that  
25 correct?

1           A.       That's correct.

2           Q.       So do you have any intention of taking any  
3 other types of disposal material?

4           A.       No. The produced water, that is the only  
5 thing that we will take. If there is a request of us  
6 through various other agencies to accept something, we  
7 would run it through the OCD first to get prior  
8 approval.

9           Q.       You were referred to -- these questions are  
10 going to be a little scattered, I'm afraid, because I  
11 made notes as we went along on Wednesday, but in  
12 discussing the water issue, the groundwater issue, you  
13 identified the bank -- there's a record -- I believe a  
14 state engineer's record showed that there was a water  
15 well somewhere in the vicinity. Is that on your site?

16          A.       No, it is off our site.

17          Q.       And you never actually found the well that  
18 was --

19          A.       I did not find it.

20          Q.       And on the water table issue, you made a  
21 comment as to the -- basically the highest fresh water  
22 being at the high water level of the Animas?

23          A.       That would be an assumption. It's not been  
24 quantified.

25          Q.       How high is this facility above the high

1 water level of the Animas?

2 A. I don't have the exact measurement, but I'd  
3 say a minimum of 150 feet, otherwise we'd be in the  
4 vulnerable area.

5 Q. How far is it to fresh water down in the  
6 ground, in the water table? What would be your  
7 estimate is the highest --

8 A. I believe the reason that the 80 feet came  
9 about is there's about 60 feet of elevation change  
10 between the facility and the reported water depth of  
11 this unknown well, so...

12 Q. That water depth in that well, the reported  
13 depth was 25 feet?

14 A. Correct.

15 Q. So by the time you get down to the well and  
16 then 25 feet down, it's about 80 feet?

17 A. Eighty feet.

18 Q. Nearest reported fresh water?

19 A. That's correct, to the lowest elevation of  
20 our facility.

21 Q. Again, with respect to your closure plan,  
22 had you reached any final -- I'll say agreement for  
23 lack of a better word -- with OCD staff with respect  
24 to that plan?

25 A. Yes. What we committed to do was at that

1 point in time when we abandoned the facility, a sample  
2 would be taken and analyzed for objectionable  
3 constituents, whatever those may be at that time. At  
4 that time, if they are present, we will extract them  
5 by some means to be determined at that time and haul  
6 them to an improved facility which -- for lack of a  
7 better word, let's call it a hazardous waste facility.

8 Q. When you're talking about objectionable  
9 constituents, you mean constituents which have been  
10 identified by EIB or EPA or other such government  
11 agency as being a hazardous waste?

12 A. Correct.

13 Q. Have you developed any procedures to insure  
14 that no hazardous wastes as defined by any of those  
15 agencies are disposed of in this facility?

16 A. They're inherent in the fact that all we're  
17 going to take is produced water. And by the  
18 exclusions of the current EPA policies and guidelines,  
19 there are no hazardous wastes at this time that are  
20 not excluded currently, any wastes that are not  
21 excluded.

22 Q. In other words, under EPA standards,  
23 produced water from oil and gas operations does not  
24 contain hazardous waste by definition.

25 A. Correct.

1 Q. And, therefore, by only taking produced  
2 water, you will prevent the introduction of hazardous  
3 wastes into the facility.

4 A. Correct.

5 Q. Do you have any proposed sampling methods  
6 to periodically sample or retain samples of the  
7 material which is disposed of in your facility?

8 A. What we intend to do is to monitor each  
9 sample for H<sub>2</sub>S, pH, resistivity and temperature; and  
10 those are the only records that we intend to keep.

11 Q. Do you intend to keep any load samples?

12 A. Correct.

13 Q. Do you intend to rely on the hauler's  
14 certification that that is produced water?

15 A. That's correct.

16 Q. In your -- I've forgotten which exhibit  
17 we're referring to -- with regard to H<sub>2</sub>S, you set out  
18 notification procedures when H<sub>2</sub>S exceeds -- I believe  
19 it's ten parts per million; is that correct?

20 A. I believe that's correct.

21 Q. And have you included the Environmental  
22 Improvement Division Air Quality Bureau within that  
23 notification? Let me put it this way: I didn't see  
24 it in the letter.

25 A. No, then we did not intend to notify them.

1 Q. Was that an intentional omission, or was  
2 that an oversight, would you say?

3 A. It was an oversight.

4 Q. You would have no objection to a  
5 requirement that EIB Air Quality Bureau be notified?

6 A. I would not have that objection.

7 MR. DEAN: Are you saying if we notify  
8 pursuant to that plan, we should notify?

9 MR. STOVALL: Correct.

10 Q. ((By Mr. Stovall) Do I understand you  
11 correctly to say that -- I assume that as a  
12 businessman you're building this facility because  
13 there is a need for such a facility, there is more  
14 water being produced in the San Juan Basin than  
15 current facilities are able to deal with?

16 A. That is most definitely the case.

17 Q. Mr. Horner spend quite a bit of time and  
18 had some apparent concerns about what to do with the  
19 water, particularly in the first phase of your  
20 operation when you only had one lined pond to begin  
21 with. One of your answers was that sometime when  
22 market conditions dictated, you would proceed to line  
23 the second pond and place it into operation to take on  
24 the additional water; is that correct?

25 A. That's correct.

1           Q.       What are the sort of conditions that would  
2 lead you to make that decision to proceed with the  
3 lining of the second pond and then similarly to the  
4 construction and lining of the third pond?

5           A.       Once again, as demand exceeds availability  
6 of services, one would expand their facility as a  
7 matter of prudence. And that would be something that  
8 can be determined only after we've started  
9 operations. Right now, there's definitely demand,  
10 most definitely, for that first pond; and I wouldn't  
11 hazard a guess that there's a demand for the second  
12 pond.

13          Q.       Are you going to wait until the first pond  
14 is full before you line the second pond?

15          A.       That would be Mr. Coleman's decision, but I  
16 would assume that he would proceed with the second  
17 pond based upon his market research and also how  
18 rapidly his first pond fills.

19          Q.       So you'd look at rate of intake, rate of  
20 filling of the first pond as one of the factors that  
21 would determine --

22          A.       Number of wells drilled, number of wells  
23 completed and not hooked up, number of wells not  
24 hooked up to a water disposal system and completed and  
25 producing, those types of things.

1 Q. I believe you also testified that one of  
2 your concerns about having the time limit imposed  
3 about emptying a pond in the event of a leak being  
4 detected was what do you do with what you're taking  
5 out; is that correct? Where do you take it when you  
6 take it out of the pond?

7 A. You mean the transportation to other  
8 facilities? Yeah, that is a concern.

9 Q. And an alternative method of alleviating  
10 that concern as part of a contingency plan, what would  
11 be your response if it were suggested that the second  
12 pond be prepared to accept fluids at let's say, for  
13 example, when the first pond reached a certain level  
14 of fluids in the pond, or some such thing, as to make  
15 that pond, in effect, available for contingency  
16 planning?

17 MR. DEAN: I'd just state it might be  
18 better to address that to Mr. Badsgard, who might make  
19 that decision. Mr. Badsgard is the one who writes the  
20 checks.

21 MR. STOVALL: Let me -- I understand that,  
22 Mr. Dean -- rephrase the question.

23 Q. ((By Mr. Stovall) Are you an advisor to Mr.  
24 Badsgard and the owners of the pond?

25 A. Yes.



1 Q. What would your recommendation be to them  
2 if such a standard were imposed or if you were asked  
3 what standard should be imposed to create a condition  
4 that you'd be required to line the second pond as part  
5 of, if you will, a contingency disposal plan?

6 A. My opinion would be based on experience, is  
7 once the pond is approximately four to five foot deep,  
8 go ahead and start the spraying operations. And it  
9 can be a phase type of spraying operations. In other  
10 words, we could put the two items out there to start  
11 with, and then the perimeter of the pond, and then  
12 determine an actual rate of evaporation. And then  
13 you'll know, based on market research, when you should  
14 reach your pond maximum height. At that point in  
15 time, once you've determined the rate, you know, I  
16 would assume that if the pond got to be roughly  
17 three-quarters full, one would implement construction  
18 and lining of the second -- well, implement lining of  
19 the second pond. There's fluctual variations as well,  
20 due to seasonal matters. This time of year, one can  
21 evaporate much more water than one can evaporate  
22 during the winter.

23 Q. Even I, as a lawyer, understand that  
24 concept. Well, I guess my concern here -- and I think  
25 Mr. Horner has raised it in a worst case scenario

1 setting -- is that you basically have got a full pond  
2 with a leak somewhere near the bottom, and what do you  
3 do to get the fluid out of there to prevent water from  
4 flowing to the water table and contaminating fresh  
5 water? And I'm asking you now that let's assume that  
6 worst case scenario; that you have a full pond or  
7 nearly full pond and you discover a leak. You've  
8 already stated, I believe, that if it's in the  
9 secondary liner, you're not going to know about it,  
10 but you are going to know there's not going to be any  
11 water going through that unless there's water going  
12 through the primary liner, and you're going to be able  
13 to identify that because there will be water in the  
14 sump. What are we going to do when -- what are you  
15 going to do when that pond, first pond, is nearly  
16 full, the second pond -- I won't even put that on --  
17 and there's a leak in the primary liner and a possible  
18 leak in the second liner?

19 MR. DEAN: We don't have a second pond  
20 usable; is that right?

21 MR. STOVALL: I'm not saying that.

22 Q. (By Mr. Stovall) What are you going to do  
23 about that situation? What is your recommendation to  
24 Mr. Badsgard as far as writing the checks to get to  
25 the problem and minimize -- and by "minimize" I mean

1 virtually eliminate the probability of contamination  
2 of fresh water supplies?

3       A.       To eliminate the contamination of fresh  
4 water supplies, I would recommend that we cease  
5 accepting fluids immediately, circulate the sump into  
6 the main pond, and at the same time continue with our  
7 evaporation process and start hauling water off to the  
8 other available commercial disposal facilities. We  
9 would lower the pond until such time as the sump dries  
10 up; and that would be to determine the level at which  
11 the leak is, repair the leak, put the pond back into  
12 operations by commencing to take fluids again.

13       Q.       Let me see if I understand the process  
14 that's going to happen here correctly, because I think  
15 probably this is one of the major concerns we've got  
16 to address, is you're going to have water, disposed  
17 water, in this pit, this pond. If there's a leak in  
18 the primary liner, water is going to flow down -- I  
19 think I got to this on Wednesday -- to the bottom to  
20 that PVC perforated pipe, which will then take it to  
21 the sump. What volume of water will move through  
22 there -- let's assume a leak towards the bottom of a  
23 full pond -- how much water will actually go to this  
24 sump? And what's the flow rate per day or per hour?

25       A.       That would all depend on the variable

1 pressures involved and the size of the hole which the  
2 water is going through the liner.

3 Q. What's the maximum the sump could handle,  
4 the system to get the water into the sump?

5 A. I don't have the exact calculations here,  
6 but you'd be looking at the capacity of a two-inch PVC  
7 line, which I would imagine is pretty close to four or  
8 500 gallons a minute.

9 Q. Do you know if Mr. Cheney has made that  
10 kind of calculation?

11 A. I don't know if he has.

12 Q. Four or 500 gallons per minute -- let's  
13 assume that's correct for the moment -- can flow into  
14 the sump. How much volume can the sump itself hold?

15 A. The sump would be limited only by the pump  
16 that would be placed into it, which pumps can very  
17 easily be put into that to handle more than four or  
18 500 gallons.

19 Q. In other words, the water is not going to  
20 stay in the sump tank, it's going to be pumped out  
21 immediately. Where is it going to go?

22 A. Back to the pond to be recycled.

23 Q. In other words, the sump does not become a  
24 useful vehicle to help drain the pond?

25 A. Yes, it does. At those rates, we will put

1 it back into the pond. We would also be putting it  
2 into the trucks to haul off because we've determined  
3 that we have a leak, and that's part of our  
4 contingency plan. But at those rates, four or 500  
5 hundred gallons a minute -- and that might be on the  
6 high side -- we would have to put it into the pond  
7 just to recycle it.

8           As I think back on it, four or 500 gallons  
9 a minute for an unpressurized two-inch line is quite  
10 high. I would put it more at about 100 gallons a  
11 minute, at the most.

12           Q.     A hundred gallons a minute then could be  
13 more easily hauled away?

14           A.     Yes.

15           Q.     You're a geologist by training, but you're  
16 not a hydrologist; is that correct?

17           A.     Correct.

18           Q.     Are you able to testify at all as to the  
19 effect of time and impact of the flow of water --  
20 let's assume it does get through the secondary liner  
21 to the ground -- what volume of water it would  
22 actually take and how long to get to the water table  
23 and contaminant fresh water supplies?

24           A.     Other than a rather simple answer based  
25 upon the geology of it, I can't quantify it. But it

1 would take a very long time to get to the water, and  
2 that would be under constant head pressure, at which  
3 point in time that we fix the pond, the head pressure  
4 would be released, therefore, there would be no  
5 driving force. And the water that had already  
6 saturated the subgrade below would be bound by  
7 capillary action. So I can't give you a flow rate  
8 because that would have to be measured. And I don't  
9 know that a hydrologist could do it unless he measured  
10 it either. I can just tell you that based on the  
11 subsoils and the geology of the area that it would  
12 take a very long time for it to get even 80 feet down  
13 if it went straight down.

14 Q. Did you testify as to the nature of the  
15 subsoils?

16 A. It's in the driller's record on the first  
17 application, I believe.

18 Q. Are there any permeable-type areas that you  
19 know of that would keep water above the water table,  
20 or semi-permeable that would retard the flow even?

21 A. Yes. The formation that we are occupying,  
22 granted, on the surface is an erosional surface. I've  
23 testified to that. Even just below the surface to a  
24 depth of 19 feet there's an erosional surface. It's  
25 part of an erosional surface. But underneath that is

1 what one would construe as bedrock. And it is at that  
2 point in time either the Nacimiento formation or the  
3 San Jose formation. They are both very similar in  
4 geologic nature. There are sandstone members  
5 interbedded with clay members with shale members, and  
6 those clay and shale members are very impermeable. So  
7 to answer your question, yes, there are impermeable  
8 members -- there should be impermeable members in  
9 between the pond bottom and the water table.

10 Q. And I assume if water were flowing through  
11 and there actually was sufficient head on the water to  
12 get to those layers, that would then cause a  
13 horizontal displacement of the fluids.

14 A. Correct.

15 Q. I understand that you're unable to  
16 determine the time or volumes of concentrations, if  
17 you will, of water that could get to the water table  
18 from a full pond. But I believe in your testimony in  
19 your response to Mr. Horner's questions about the  
20 worst case scenario he discussed was that it could  
21 take as long as nine months to empty a pond in the  
22 worst case scenario, using evaporation; is that  
23 correct?

24 A. That's correct. That is the worst case  
25 scenario.

1 Q. I understand that you're not claiming any  
2 expertise in this area; but, in your opinion, as a  
3 geologist, you believe that the volumes of water that  
4 would enter the soil through this worst case leak at  
5 the bottom of the primary and secondary liners, given  
6 all other factors, and assuming that there's no water  
7 hauled, would be a sufficient volume to breach and  
8 contaminant groundwater supplies?

9 A. No.

10 Q. You discussed also, I think, in the context  
11 of Mr. Horner's cross-examination, I think there was  
12 some issue about surface area and depth and the  
13 relationship and how that affects evaporation of the  
14 water. To the best of your knowledge, is there any  
15 sort of maximum efficient size? Do you have to have a  
16 certain depth to have any place for the precipitates  
17 to come out or to get efficient evaporation? What  
18 would be the optimal design of a pond of, say, the  
19 capacity of Pond 1 in terms of surface area and depth?

20 A. Am I allowed to take into account  
21 economics?

22 Q. Let's talk strictly science to start with.

23 A. Strictly science, once again, you want to  
24 maximize surface area. You will need a certain amount  
25 of volume to hold precipitated salts. In my opinion,



1 based upon the amount of water to justify running your  
2 sprayer systems and having the required freeboard, the  
3 pond would need to be a minimum holding capacity,  
4 minimum freeboard of ten feet.

5 Q. Vertical?

6 A. Vertical.

7 Q. Whatever size pond it took in a service  
8 area to take in as volume. So, in other words, this  
9 pond is something less than that optimum ten feet,  
10 because it's 13 feet.

11 A. And that's where the economics comes in.

12 Q. How much more would it cost to build the  
13 pond of the same volume that was only ten feet deep?

14 A. See, by building the pond deeper, you're  
15 not -- you're increasing its holding capacity. You're  
16 not squaring its area. So your costs come into play  
17 as to the cost of the liners. Each foot that you move  
18 that pond, you square that footage. You know, I can  
19 build a pond to hold -- just as -- for example, if I  
20 were to build a pond ten foot deep, to add another  
21 10,000 barrels capacity, I could either make the pond  
22 -- the pond would be 300 by 300 -- to add another  
23 10,000 barrels capacity, I could either go ahead and  
24 make the pond 325 by 325, or I could lower it three  
25 inches. It's cheaper to lower it three inches to get

1 the holding capacity. That maximizes your return on  
2 your initial investment.

3 Q. In your opinion, what compromise do you  
4 make in terms of the efficiency of the evaporation  
5 process of the pond by doing that?

6 A. More than anything, your efficiency is  
7 enhanced by the spray system. So your passive  
8 evaporation rate for this pond is 175 barrels a day.  
9 If you put the sprayers on there, you're up to a  
10 minimum of ten-fifty. And we're still, at my  
11 facility, determining what exactly is the maximum  
12 amount of sprayers. The more surface area you can  
13 cover with the sprayers, the maximum amount. So, in  
14 theory, you could have a pond 50 by 50 by 50 foot deep  
15 on one sprayer, and it might evaporate as much as a  
16 pond that's 100 by 100 by two foot. This is just for  
17 sake of argument.

18 Q. Am I correct then that what you're saying  
19 is that you can overcome any drawbacks to reducing the  
20 surface area of the pond by installing the enhanced  
21 evaporation system?

22 A. Correct. You said that much better than I  
23 did.

24 Q. I work with words. I don't always know  
25 what they mean.

1 MR. DEAN: Is that on the record? Never  
2 heard a lawyer admit that before.

3 Q. (By Mr. Stovall) When you said the current  
4 facility; you're talking about the Southwest facility  
5 is at 1,050 barrels evaporation?

6 A. No. We're still in the learning period  
7 there with the systems that we have on hand. We're  
8 covering roughly a quarter of the surface area of our  
9 pond. We're at 21, 2200 barrels of water a day being  
10 evaporated right now, based on incoming versus pond  
11 depth. As we move to cover the rest of our pond with  
12 sprayers, I anticipate that our evaporation rate could  
13 get up to the five- to six- to 8,000-barrel-a-day  
14 range. However, our passive evaporation rate for that  
15 pond, extrapolated over a year, is only 300 barrels of  
16 water a day. So there's a substantial increase in  
17 evaporation rate due to spraying.

18 Q. What's the input volume into the pond?

19 A. We've limiting our facility right now,  
20 because we are at freeboard capacity, to that which we  
21 can evaporate to safely lower the pond. So right now  
22 we're at a standstill. We're limited by the fact that  
23 we don't have all of our sprayers operating yet.

24 Q. So you're not taking in any more water than  
25 you can evaporate?

1           A.       Correct. We're taking in something less  
2 than we can evaporate.

3           Q.       How long would it take you to line the  
4 second pond to get it into the operation? If somebody  
5 said start right now, get this pond lined and going.

6           A.       Weather permitting, and availability of a  
7 contractor and his schedule, I would guess that the  
8 whole pond could be lined within 35 days.

9           Q.       Thirty-five days?

10          A.       Uh-huh.

11          Q.       In other words, if you had a situation  
12 where you had to empty the first pond, or an uphill  
13 pond, I'll call it, you could have the second pond,  
14 provided the construction was completed, lined and  
15 available to take the water within 35 days?

16          A.       Weather permitting.

17          Q.       With respect to the issue of taking water  
18 which is, in fact, contaminated with H<sub>2</sub>S, if I  
19 understand what you've said, is that you will put a  
20 volume of chlorine in the receiving tank and then you  
21 will dispose -- start unloading the truck into the  
22 receiving tank and adding additional chlorine as  
23 necessary to eliminate the H<sub>2</sub>S, the bacteria that  
24 causes the H<sub>2</sub>S?

25          A.       That is what I testified, yes. There are

1 other options.

2 Q. What are those options?

3 A. The other option would be to have a closed  
4 tank in close proximity to the unloading tank, unload  
5 it into the closed tank -- put the chlorine into the  
6 closed tank first, unload the load into the closed  
7 tank, have that truck that is unloading mix the tank,  
8 pick it back up, treat it -- well, treat it, pick it  
9 back up and put it into the skimmer pond and into the  
10 big pond.

11 Q. Would that alternative substantially reduce  
12 the risk of the escape of H2S into the air?

13 A. Yes, it would.

14 Q. Why have you not chosen that alternative?

15 A. It's not been my opinion nor my -- our  
16 practice out there at the disposal facility that it's  
17 actually necessary. The H2S that we get is generally  
18 in the range of about -- and this is in the tanks that  
19 are transported to us -- are in the range of about,  
20 oh, the highest we've had has been 22 parts per  
21 million. The lowest that we've had -- well, we've had  
22 a lot with no H2S -- but it's been our experience that  
23 it can be mixed in the tank prior to being dumped into  
24 the disposal facility. There's a release of H2S, yes,  
25 but it's a minimal amount.

1 Q. Would the personnel responsible for this be  
2 required to wear breathing equipment?

3 A. At those concentrations, no.

4 Q. Again, I'm not a technical person in this  
5 area. Is there any method by which you could actually  
6 add chlorine to the water either in the truck itself  
7 or through some sort of feeder into the hose as it's  
8 being discharged into the tank so that by the time it  
9 actually hits the air it has been treated, to a  
10 certain extent?

11 A. It can be done. The chlorine can be  
12 directed directly into the truck by popping the top  
13 off of it and pouring it into the truck. In most  
14 instances where we have -- we've informed operators  
15 that have H<sub>2</sub>S problems, continuing H<sub>2</sub>S problems; i.e.,  
16 those up in the green area, that if we are to accept  
17 their produced water that they must treat it at their  
18 facility prior to bringing it to us because they're in  
19 pretty high concentrations of H<sub>2</sub>S up there. By the  
20 time it gets to us, you know, it's in the neighborhood  
21 of, like I said, the highest that we've gotten from  
22 those folks is 22 parts per million. I don't know  
23 what it is at their facility, but I know what it is  
24 when it gets to our facility. And then we further  
25 treat it.

1 Q. Is there a maximum concentration which you  
2 would recommend accepting at your facility with your  
3 current proposed design?

4 A. The most that I would recommend would be 50  
5 PPM, and then you're dealing with some pretty high  
6 concentrations of H<sub>2</sub>S. And if it's anything more than  
7 that, I would not like to have it at the facility.

8 Q. So perhaps as a condition of a permit we  
9 could impose a standard which says you will not accept  
10 water above a concentration, the concentration being  
11 50, as you recommended it. There may be other  
12 evidence that would support a different  
13 concentration.

14 A. That's a viable option.

15 Q. Let me make sure -- again, I demonstrate my  
16 lack of scientific knowledge -- you talked about the  
17 sludge which you've defined as blow dust and various  
18 types of dirt and some precipitates that will  
19 eventually accumulate on the pond over a period of  
20 time on the bottom. Is there any likelihood or  
21 possibility that you can get anaerobic bacteria  
22 developing in this sludge because it's not being  
23 properly aerated and moved?

24 A. My answer was that -- and based upon the  
25 fact that the pond is aerobic to start with, so as the

1 precipitates and the sludge accumulate on the bottom,  
2 it is accumulating through an aerobic system, a system  
3 that is aerobic, so there should not be the cause for  
4 any bacteria to ever have the ability to live in that  
5 aerobic environment, therefore, it would not  
6 accumulate in the sludge. That was the basis for my  
7 answer.

8 Q. How deep would you anticipate this sludge  
9 becoming?

10 A. With the 11.9 years that we intend to  
11 operate the facility which I testified here, I would  
12 imagine that the sludge would be in the neighborhood  
13 -- once again, depending on the types of salts that we  
14 get and evaporation rates that we get, that we would  
15 probably end up at some point in time with close to  
16 five to six feet of sludge in the bottom of the pond.

17 Q. With five to six feet of sludge, is there  
18 an aeration process going on? We're talking about  
19 mud, right, sloppy mud?

20 A. Salt and mud.

21 Q. Will it be anaerobic towards the bottom of  
22 that sludge?

23 A. It could be anaerobic. But the basis of my  
24 answer was based upon the fact that it's in an aerobic  
25 system to start with. I would prefer that maybe



1 someone else answer this question; but the basis for  
2 mine was that the pond is aerobic to start with as the  
3 sludges are precipitated, therefore, there's no  
4 bacteria, therefore, it wouldn't accumulate in the  
5 sludge.

6 Q. Wouldn't form in the sludge?

7 A. No. If it's not able to live prior to  
8 being deposited in the sludge, it can't be in the  
9 sludge that's the basis for my...

10 MR. STOVALL: I have no further questions  
11 of this witness at this time.

12 EXAMINER STOGNER: Are there any other  
13 questions of Mr. Frank?

14 MR. HORNER: I have a couple, if it's my  
15 turn.

16 EXAMINER STOGNER: Mr. Horner.

17 RECROSS-EXAMINATION

18 BY MR. HORNER:

19 Q. You were talking about depth to  
20 groundwater, I believe, and something about the  
21 geography of the area. Somehow you were saying that  
22 you thought that this pond is 150 feet above the  
23 river; is that correct?

24 A. Correct.

25 Q. And you were talking about some sort of --

1 if it wasn't 150 feet, it would be in a vulnerable  
2 area?

3 A. Correct.

4 Q. What is the vulnerable area?

5 A. The vulnerable area is an area in the San  
6 Juan Basin as defined by the OCD -- I might not have  
7 the terminology exactly right -- in essence, anything  
8 that is less than 150 foot.

9 EXAMINER STOGNER: Mr. Horner, I believe  
10 maybe that question might be better asked of Mr.  
11 Anderson when he gets up on the stand. He is familiar  
12 with the vulnerable area. Would that be sufficient  
13 with you?

14 MR. HORNER: Well, maybe for details, but  
15 I'm trying to figure out what, in concept, the  
16 vulnerable area is, not necessarily where it is, but  
17 what is the concept of a vulnerable area.

18 MR. STOVALL: Mr. Horner, let me just tell  
19 you on the record that the basic concept of a  
20 vulnerable area is it is the area -- it's measured in  
21 terms of depth and location with respect to the river  
22 -- Mr. Anderson can clarify this -- water which is  
23 particularly vulnerable to contamination by -- in our  
24 case, oilfield operations and, therefore, additional  
25 protection requirements are imposed on certain types

1 of operations within that vulnerable area. That is  
2 more fully defined within an OCD order, and during a  
3 break we can find that order for you.

4 MR. HORNER: Those areas are laid out?

5 MR. STOVALL: They are specifically defined  
6 by -- I don't know if they're defined in a township  
7 range or whether it's in terms of measurement. And if  
8 I'm not mistaken, that measurement is based upon a  
9 vertical relationship to a water line on the river  
10 channels themselves.

11 MR. HORNER: So this would be something  
12 defined on a topographic map?

13 MR. STOVALL: Yes, based --

14 MR. HORNER: Within an area of so many feet  
15 around a river, that's a vulnerable area; when you get  
16 higher above that --

17 MR. STOVALL: Then it's not a vulnerable  
18 area, as defined by the order.

19 MR. HORNER: So that has been looked at  
20 here?

21 MR. STOVALL: Absolutely, yes; that order  
22 is part of our records and requirements.

23 MR. HORNER: All right. Is that part of  
24 this record? Because I haven't seen that.

25 MR. STOVALL: The vulnerable area, it is an

1 OCD order. And we, of course, take notice of our  
2 orders and are aware of our orders. We'll provide you  
3 with a copy of that during the break and proceed from  
4 there if you have any questions.

5 MR. HORNER: All right.

6 Q. (By Mr. Horner) I believe you testified  
7 that currently there's more water being produced than  
8 there is capacity in these existing ponds. Where is  
9 that water going?

10 A. I don't know. I would suspect that at this  
11 point in time -- we just reached our capacity, and I  
12 would expect that one of two things is happening, one  
13 of which I don't really like the thought of; the other  
14 one being that the wells are being shut in by the  
15 operator until a disposal site can be found.

16 Q. What is the one you don't like to talk  
17 about?

18 A. I wouldn't know where it would be going.  
19 There's any -- maybe they're using it for production  
20 purposes, frack water; might be using it for drilling  
21 purposes, I don't know.

22 Q. Now, you talked about, again, the soil in  
23 the area as being some sort of an erosional surface.  
24 What are we talking about there?

25 A. The formation was deposited -- the

1 formation being either the Nacimiento or the San Jose,  
2 I'm not quite sure right there which it is. It was  
3 deposited, subsequently brought to the surface and  
4 eroded through the process of natural erosion. The  
5 way I can tell that is that there are cobbles mixed in  
6 with clay, there's pebbles mixed in with silt and that  
7 type of thing.

8 Q. Is the distinction between this erosional  
9 surface and the bedrock that you're talking about for  
10 purposes here the fact that erosional surface is  
11 permeable?

12 A. No, that is not true. I stated that the  
13 erosional surface has a mixture of clays and sand and  
14 silt and cobbles. In the instances in which we found  
15 the cobbles, it was at the very southern northernmost  
16 part of Pond Number 3 at a depth of about, I believe,  
17 11 to 12 feet. I don't know how laterally continuous  
18 it is. But to answer your question, they are not  
19 permeable when compacted.

20 Q. Now, you found the erosional surface at  
21 this one location. Is that what you said?

22 A. I found the cobbles at that location.

23 Q. Does that mean you found the erosional  
24 surface, or is the whole thing erosional surface?

25 A. The whole thing is an erosional surface.

1 Q. Now, in fact, the likelihood that you're  
2 ever going to get this thing compacted over and above  
3 the compaction that exists in its natural state is  
4 highly unlikely, correct?

5 A. Incorrect.

6 Q. You can compact over and above the natural  
7 compaction?

8 A. Correct.

9 Q. By how much?

10 A. I don't know. It would have to be  
11 quantified. As I stated earlier, we would determine  
12 the maximum density at which that material can be  
13 compacted, and we would be at 95 percent of that.

14 Q. Now, for the benefit of these individuals  
15 that have not been to this site, this site is actually  
16 located on a mesa, is it not?

17 A. Correct.

18 Q. And what is the name of that mesa?

19 A. Crouch Mesa.

20 Q. And, in fact, this particular location is  
21 located not very far from a wash that runs off this  
22 mesa; isn't that correct?

23 A. I don't know how far, and I don't know  
24 which wash you're talking about.

25 Q. Well, I mean, can't you see it on your

1 topographic map there within just a few hundred yards,  
2 if that far, that wash that runs off to the northwest?

3 EXAMINER STOGNER: I believe you're  
4 referring to Exhibit 2-A; is that correct?

5 MR. HORNER: That's correct, Mr. Examiner.

6 A. Which map are you referring to?

7 MR. HORNER: 2-A, the topographic map there  
8 in the center.

9 EXAMINER STOGNER: That shows the six  
10 sections?

11 MR. HORNER: That's correct.

12 A. Judging from it from here, it would be that  
13 there would be a wash roughly, I believe, a quarter of  
14 a mile to the northeast, looks like from here.

15 Q. (By Mr. Horner) Well, that would be  
16 northwest, as I see it.

17 A. Northeast, northwest; looks like it starts  
18 northeast and runs to the northwest of the facility.  
19 Is that what you're asking?

20 Q. Possibly, possibly. So if, in fact, there  
21 was any contamination of the soil and you got a  
22 horizontal movement and that contaminating water moved  
23 to the northwest, as you testified on Wednesday, it  
24 would likely surface in that wash, would it not?

25 A. No. As I testified, the driving force

1 would be the head pressure. First off, it has -- X  
2 amount of water has to come through the primary  
3 liner. Then what isn't siphoned through the detection  
4 system, that excess water would have to go through the  
5 secondary liner, which further restricts flow. This  
6 further restricts flow is the compaction of the  
7 subgrade. So during this time we can't quantify  
8 anything without knowing the size of the hole and the  
9 leak. But once we determine that there was a leak, we  
10 could lower the pond within -- just by evaporation  
11 alone, in no more than nine months, empty the pond, no  
12 more than nine months, just by evaporation on it. It  
13 would be sooner than that because we would start  
14 trucking. At that point in time, whatever volume of  
15 water that has escaped has to go through these various  
16 impermeability blockages, and once that pressure is  
17 released from the driving pressure, the head pressure  
18 is released, there's no driving force on that water.  
19 And due to the nature of these soils, it would be  
20 bound by capillary action. So that's my answer.

21 Q. Unless your leak is bigger than the  
22 capacity of your two-inch line.

23 A. And that would be the excess that I  
24 testified as to earlier.

25 Q. And in that case, the water could enter the



1 soil, move to the northwest and surface in the wash.

2 A. It could under sustained conditions, but we  
3 have limitations as to how long we're allowed to  
4 operate this way, with the leak.

5 Q. Nine months, as I understood.

6 A. Right. It could not reach that wash in  
7 nine months. Is that the answer you're looking for?

8 Q. No, that wasn't the answer I'm looking  
9 for. How did you determine just now that it could not  
10 reach that wash in nine months?

11 A. Because of the subsoils I can't quantify,  
12 nor can anyone else at this time.

13 Q. So you can't say that it won't reach the  
14 wash.

15 A. Based on my experience -- and that's what  
16 we're testifying, and my background -- that it cannot  
17 reach it because of the nature of the subsoils.

18 Q. Based on a permeability rate of what?

19 A. I would guess that that permeability rate  
20 is in the neighborhood of probably ten to the minus  
21 seven centimeters per second.

22 Q. Which would give you a movement of how far  
23 in a month?

24 A. Maybe ten inches. I don't know, it  
25 depends.

1 Q. But you're not really sure what the  
2 permeability of the soil is?

3 A. That's correct.

4 Q. Now, you were talking about, as you design  
5 these pits that -- I believe you said excluding the  
6 economics, if you were looking at just strictly  
7 optimizing the design, that you would want a minimum  
8 freeboard of ten feet; is that correct?

9 A. No, with the freeboard of a foot-and-a-half  
10 and allowing for a sludge to build up and then having  
11 the pond -- enough water in the pond to utilize the --  
12 aerate the spray system, that I would like to see a  
13 pond a minimum of ten foot deep.

14 Q. Now, why would you want a pond ten foot  
15 deep?

16 A. I just said to compensate for the freeboard  
17 which would be a foot-and-a-half and the sludge  
18 buildup in the bottom and then to have X amount of  
19 water to be able to spray.

20 Q. So you would have basically  
21 eight-and-a-half foot of water that you're talking  
22 about?

23 A. Exclusive of the sludge soil.

24 Q. Exclusive of the sludge. Now, why do you  
25 want eight-and-a-half feet of water? I'm having

1 difficulty with that. I'm not following why you want  
2 that much water.

3 A. I want that much water so that my facility,  
4 my spray system that I would have would be capable of  
5 moving a minimum of 50,000 barrels of water a day.

6 Q. So basically then you're not talking about  
7 optimizing the evaporation rate from a pond without  
8 sprays, you're talking about the system, as you are  
9 conceiving it to be, with maximizing capacities,  
10 utilizing sprays and this sort of thing, you would  
11 want eight-and-a-half feet of water.

12 A. I would want to have enough water to  
13 operate the facility, which, in my opinion, is  
14 eight-and-a-half feet of water.

15 Q. You're talking about operating the spray  
16 system, right?

17 A. The facility which consists of the spray  
18 system, the aeration systems, everything else.

19 Q. If you looked at a system without sprays,  
20 that was purely and simply an evaporation pit, you  
21 pour the water in and you let it evaporate, what would  
22 that system look like?

23 A. It would be about an inch-and-a-half deep  
24 and seven miles off square on each side.

25 Q. I believe that's what Mr. Stovall was

1 trying to get to a while back. Now, you stated that  
2 the highest level that you're aware of that you had  
3 received H2S in an incoming load -- I'm assuming this  
4 is from the Breen area -- was 22 parts per million; is  
5 that correct?

6 A. Correct.

7 Q. Had that previously been treated, or was  
8 that a totally untreated load?

9 A. I don't know. There was a point in time  
10 there where they were bringing us water from two  
11 different wells, and one was substantially higher than  
12 that. And when it got to us, I told them, "We don't  
13 want it at that concentration. It would be much more  
14 economic for you guys to treat it at your facility and  
15 bring it to us." Some of the water that we got from  
16 that operator came in at 22 parts per million, some  
17 came in at zero, so I don't know if they treated it or  
18 not.

19 Q. Do you charge for receiving this water  
20 based on the hydrogen sulfide content?

21 A. We charge to treat the water.

22 Q. So there is an additional charge over and  
23 above just the acceptance of the water for the  
24 treating?

25 A. Correct.

1 Q. Now, what, in your estimation, is the  
2 highest likely concentration of hydrogen sulfide in  
3 the water in the area that might be received if it  
4 were not treated before you receive it?

5 A. All I can speculate on is that, once again,  
6 it's pure speculation that -- hearsay, if you will, I  
7 have heard upwards of 150 PPM from some of that water  
8 up there.

9 Q. Upwards above that or --

10 A. Up to 150.

11 Q. Now, at what level in the pond will the  
12 aeration system be located, the pipes with the holes  
13 and the diffusers and that sort of stuff?

14 MR. DEAN: I'm going to object. This has  
15 been asked and answered and discussed.

16 MR. STOVALL: I certainly have a good idea  
17 of where the area of the spray system --

18 MR. HORNER: No, I'm not talking about the  
19 spray system.

20 Q. ((By Mr. Horner) Do you know what depth the  
21 aeration system is going to be in the pond?

22 MR. STOVALL: You can answer that  
23 question.

24 A. The very bottom.

25 Q. ((By Mr. Horner) Right on the bottom? So if

1 you've got five to six feet of sludge, it's going to  
2 be covered up?

3 A. No. As I testified earlier, the continual  
4 action of the air coming from the aeration system will  
5 keep it clean. The areas in between the laterals will  
6 fill up with sludge, but the aeration system itself  
7 will not ever be buried.

8 EXAMINER STOGNER: Is that because of the  
9 agitation around the pond?

10 WITNESS: Correct.

11 EXAMINER STOGNER: When you say four to  
12 five feet of sludge, we're talking about an average  
13 throughout the pond?

14 WITNESS: Exclusive of that area  
15 immediately above the holes of the aeration system,  
16 yes.

17 EXAMINER STOGNER: Thank you. I'm sorry,  
18 Mr. Horner.

19 Q. ((By Mr. Horner) What is the distance  
20 between your laterals?

21 MR. DEAN: Same objection.

22 MR. STOVALL: Just answer the question, and  
23 then let's move on.

24 A. I believe they're 40 feet.

25 Q. ((By Mr. Horner) There's 40 feet between

1 your laterals?

2 A. Between each set of laterals? Between each  
3 set of laterals, I believe there's 40 feet.

4 EXAMINER STOGNER: Are we referring to  
5 Exhibit Number 2-B?

6 WITNESS: No. It would be through  
7 correspondence, in a letter.

8 EXAMINER STOGNER: These are in the  
9 exhibits; is that correct?

10 WITNESS: Yeah. In my copy of this, it  
11 doesn't have the document that I submitted with this,  
12 for some reason. Yours might not either.

13 MR. DEAN: Which one is this? What letter  
14 is that?

15 WITNESS: August 18th, 1989. No, it's not.

16 Q. (By Mr. Horner) Now, you're going to have  
17 two aeration systems, correct?

18 A. Correct.

19 Q. If one of the systems is shut off for a  
20 period of time and the other system is still moving  
21 the water around, won't it bury the second system, or  
22 the first system?

23 A. If it was shut off.

24 Q. So these systems will be operated  
25 continuously, 24 hours a day, for the life of this

1 facility?

2 A. Yes.

3 MR. DEAN: You're talking about the  
4 aeration systems?

5 MR. HORNER: Yes.

6 A. The aeration systems will be operational  
7 from start-up through abandonment.

8 Q. (By Mr. Horner) I'm assuming there's a  
9 possibility that you may have to do some maintenance  
10 or something and shut it down for a little bit. If,  
11 in fact, your laterals are covered over, is it going  
12 to mess up the operation of these systems?

13 A. The period of time which they're shut down,  
14 it shouldn't cause a problem.

15 Q. Now, also then, it looks like that if, in  
16 fact, there was an attempt to remove this sludge, if  
17 -- I understand, at this point you are saying you  
18 don't intend to, but if, in fact, OCD came to you and  
19 required you to remove the sludge, how would you go  
20 about even doing that? With a pumper truck?

21 A. It would be done by a -- for lack of a  
22 better word, I'm going to use a super sucker, which is  
23 actually a heavy-duty vacuum truck. There's one in  
24 Farmington operated by Riley Industries.

25 Q. Could that be operated then without



1 damaging the aeration system or the liner?

2 A. Yes.

3 MR. HORNER: I have nothing further of this  
4 witness at this time.

5 EXAMINER STOGNER: If there's no other  
6 questions of Mr. Frank, he may be excused.

7 MR. STOVALL: Mr. Frank -- before we let  
8 him go completely, I understand, Mr. Dean, that Mr.  
9 Frank has some sort of commitment this afternoon?

10 MR. DEAN: I'd really ask for the  
11 indulgence of the body to let him go. We drug him  
12 back here today. He does have an important meeting  
13 this afternoon, and I think I can still get him there  
14 if I give him my car and let him go to the Santa Fe  
15 Airport, he can catch the 12:30 plane and go home.  
16 I'd make him available some other time, if you would  
17 allow us that indulgence.

18 MR. STOVALL: Where we cut Mr. Horner off  
19 was in the area of the H2S matters. Is Mr. Cheney  
20 going to be prepared to address a lot of those  
21 issues?

22 MR. DEAN: Yes, Mr. Cheney is an expert in  
23 waste water management, that's his specialty, sewage  
24 treatment plants; and I think he's much better able to  
25 testify than Mr. Frank is. Mr. Frank's practical

1 experience in designing these ponds and not having the  
2 problems is in the record, and that's really all I  
3 foresee from him. I know what you're going to say,  
4 and I don't want to obtrude on anything that you want  
5 to do. I think Cheney is much better able to  
6 technically answer those questions and their effect.

7 MR. STOVALL: I think we're going to spend  
8 some time on it, as I discussed, particularly with  
9 relation to the impact of the Basin case, we're going  
10 to rely on OCD staff, to a large extent. But I want  
11 to be sure that you have a witness here who is capable  
12 of responding to our questions, as well as Mr.  
13 Horner's, with respect to methods of dealing with H2S.

14 MR. DEAN: I think I do.

15 MR. HORNER: You might want to ask Mr.  
16 Cheney if he feels enough comfortable with it.

17 MR. DEAN: I've prepared my case. I think  
18 he's pretty comfortable with it.

19 MR. STOVALL: Counsel's statement on that  
20 is sufficient on that issue.

21 MR. DEAN: I just tell you that's his  
22 specialty, he designs sewage treatment plants. I  
23 think he's looked at this one. He's familiar with  
24 permeability of rock, permeability of soils. He's  
25 familiar with how you treat it, how you keep the lines

1 open, the sludge, the oxygen and the effect on that,  
2 how it gets transferred. And he's won awards for  
3 designing plants in Clovis and all kinds of thing.

4 EXAMINER STOGNER: Mr. Dean, who would be  
5 best suited to answer any site security type  
6 questions?

7 MR. DEAN: Mr. Badsgard.

8 EXAMINER STOGNER: Are there any other  
9 questions of Mr. Frank? If not, he may be excused.  
10 And let's take about a 30-minute recess.

11 MR. STOVALL: Mr. Frank, you may be  
12 recalled some day, but we'll let you go home for now.

13 ((Recess, 11:15 a.m. to 11:48 a.m.))

14 EXAMINER STOGNER: This hearing will come  
15 to order.

16 Mr. Dean.

17 MR. DEAN: Mr. Examiner, applicant calls  
18 Chuck Badsgard at this time.

19 EXAMINER STOGNER: Let the record show that  
20 Mr. Badsgard -- or reflect that Mr. Badsgard was sworn  
21 on the 13th.

22 Mr. Dean.

23 CHARLES BADSGARD  
24 the witness herein, having been previously sworn, was  
25 examined and testified as follows:

## 1 DIRECT EXAMINATION

2 BY MR. DEAN:

3 Q. Would you please state your name for the  
4 record?

5 A. Charles Badsgard.

6 Q. Where are you employed, Mr. Badsgard?

7 A. Sunco Trucking, Farmington, New Mexico.

8 Q. How long have you been so employed?

9 A. Approximately ten years.

10 Q. Would you briefly describe for the examiner  
11 your duties at Sunco?12 A. I'm vice president of Sunco Trucking;  
13 handle all the operations as far as trucking, finance,  
14 overall operations.15 Q. What's the primary business of Sunco at  
16 this time?17 A. Primary business is the oil and gas  
18 industry.

19 Q. And they're in the trucking business?

20 A. Yes. They're in the trucking, heavy  
21 hauling, water trucking, moving of rigs, pipe, so on  
22 down the line.23 Q. In connection with that business, are they  
24 in the business of picking up produced water from well  
25 locations in the San Juan Basin?

1 A. Definitely.

2 Q. How long has Sunco been in this type of  
3 operation?

4 A. Since 1974.

5 Q. Are you authorized to speak on Sunco's  
6 behalf in the application process that this hearing  
7 concerns?

8 A. Yes, sir, I am.

9 Q. Would you be in charge of the operation of  
10 the Sunco disposal pond if it is approved?

11 A. I will be over it. When you say "in  
12 charge," I will be over the project and will be hiring  
13 the personnel that would manage that.

14 Q. What does Sunco see as the employee  
15 situation at the pond?

16 A. As far as people?

17 Q. Yes.

18 A. I think at this point in time we're still  
19 doing some evaluating, but our position is going to be  
20 that there will be a personnel or people, at least  
21 one, management person at all times at the pit when  
22 the evaporation pond is open.

23 Q. Would there be a supervisor then separate  
24 from you that would be in charge of those personnel?

25 A. Definitely.

1 Q. Would you consider yourself fairly  
2 experienced in oilfield operations?

3 A. Pertaining to --

4 Q. The general field of oil and gas.

5 A. Yes.

6 Q. Who is the owner of Sunco Trucking?

7 A. George Coleman is the owner and president  
8 of Sunco Trucking.

9 Q. And at that same site of Sunco, are there  
10 other operations owned by Mr. Coleman?

11 A. Yes, there is. He also owns a company  
12 called Big A Well Service, which is a sister company  
13 of ours, that owns approximately 25 rigs. So, in my  
14 opinion, we've been in business, like I say, since  
15 1974. We do have a sister company with 25 rigs. We  
16 have a multi-million-dollar business that we operate.  
17 I feel very proud of our organization. We've come a  
18 long ways. We're stayers. There's been some hard  
19 times, as everybody knows, in the oil and gas industry  
20 in 1980 and '81. Again, like I say, I'm partial, but  
21 I'm very proud of our organization. We employ over  
22 200 employees at this time. We're not looking at this  
23 as something -- a fly-by-night type situation. We're  
24 here to stay. We intend to work with the OCD. We'll  
25 work through their regulations and their efforts. And

1 we want to do an extremely justified and good job with  
2 this project.

3 Q. Does your work experience with Sunco  
4 include compliance with environmental and government  
5 regulations?

6 A. Yes.

7 Q. And cooperation with government regulatory  
8 agencies?

9 A. Yes, sir, it does.

10 Q. Have you reviewed the application and  
11 various letters that have been changed between Sunco's  
12 representative Bob Frank and the OCD?

13 A. Yes, I have.

14 Q. To the best of your knowledge, is the  
15 information contained in those, as far as it concerns  
16 the representations of Sunco, true and correct?

17 A. Yes, it is.

18 Q. Do you intend to comply with those  
19 representations and any other subsequent orders of  
20 this regulatory body?

21 A. Yes, we do.

22 Q. I'm going to hand you what's marked for  
23 purposes of this hearing as Applicant's Exhibit 10,  
24 and ask if you caused that to be prepared?

25 A. Yes. With the initial application to the

1 OCD, they require us to write the adjacent property  
2 owners, and we did carry that out on the initial  
3 application.

4 MR. DEAN: At this time, Mr. Examiner, I'd  
5 like to move for the admission of Applicant's Exhibit  
6 10. I hand you a copy so marked and one for Mr.  
7 Horner.

8 EXAMINER STOGNER: Are there any  
9 objections?

10 MR. DEAN: I'm asking that it be admitted  
11 at this time.

12 MR. HORNER: I have no objection.

13 EXAMINER STOGNER: Exhibit Number 10 will  
14 be admitted into evidence.

15 Thank you, Mr. Dean.

16 MR. DEAN: Thank you, Mr. Examiner.

17 Q. ((By Mr. Dean) Have you been part of the  
18 process that we'll outline, the setup of the Sunco  
19 pond, if approved, as to fences, security and that  
20 type of thing?

21 A. Yes, sir, I have.

22 Q. Would you, please, for the examiner,  
23 describe what Sunco intends to do in that regard?

24 A. Well, we definitely will have it fenced off  
25 with an eight-foot fence, chain link type, barbed wire



1 on top, one entrance where we can control any truck  
2 coming into the location itself. It will have to go  
3 by our -- what we call an office and check in. Our  
4 procedure will be that, as Mr. Frank has stated, that  
5 we will test each truck that comes in and make the  
6 decision as to whether we take the produced water.  
7 And also we are wanting to put it in an open container  
8 to make sure that what we take out of our test kit or  
9 whatever, that once we drop it into the open container  
10 that it doesn't have a lot of oil or whatever that we  
11 do not want in our evaporation pit. And we feel  
12 that's a good check on our part.

13 Q. You would be agreeable though, if that's  
14 not acceptable, to have a covered pit for that  
15 purpose?

16 A. Definitely.

17 Q. Do you intend to keep records as a part of  
18 this business?

19 A. Definitely.

20 Q. Do you intend to keep records of where the  
21 loads come from, what well locations?

22 A. Yeah. That's already a common practice in  
23 the oil and gas industry, or as far as the water  
24 trucks go. Every location, when the driver brings his  
25 truck in, he has on his driving ticket what location

1 he came from, what company it came from. And all the  
2 documentation is there, so we will definitely keep  
3 records.

4 Q. And does Sunco, in its related companies,  
5 have people experienced in well locations, their  
6 location and whether or not they might be H2S  
7 problems?

8 A. Yes, we're very familiar with the area.

9 Q. Are you and Sunco and the related  
10 companies' employees familiar with the water haulers  
11 and the people that might be using your pit?

12 A. Yes, sir.

13 Q. You're familiar with their reputations and  
14 character and you have good working relations with  
15 them?

16 A. Yes, we do.

17 Q. Does Sunco intend to operate the pond  
18 without an attendant there at any time?

19 A. They do not.

20 Q. Does Sunco intend to use the second pit  
21 that will be constructed before it is approved by OCD  
22 for any purpose?

23 A. No way.

24 Q. Before it's lined?

25 A. We will not use the pit before it is lined,

1 or without equipment, we do not plan on using it.

2 Q. What other methods are you aware of to  
3 insure that the closure plans, the treatment plans and  
4 stuff that have been described in the application and  
5 the testimony that you've heard will be complied with  
6 by Sunco?

7 A. Going back through our consultants, again,  
8 like I say, what Mr. Frank has stated at this point in  
9 time, that's the way we'll work it as far as the  
10 communication between the OCD and, you know, our  
11 engineering staff, so on, down the line.

12 Q. Do you have sufficient supervisory  
13 capabilities at Sunco to make sure that these  
14 employees do what they're told and will be  
15 sufficiently trained to operate testing procedures and  
16 that kind of thing?

17 A. Yes.

18 Q. That's something that you've gone through  
19 in other operations at Sunco as far as compliance with  
20 DOT regulations and that kind of thing?

21 A. Exactly.

22 Q. Does Sunco have a drug testing program in  
23 in place?

24 A. Yes.

25 Q. Is it actively followed?

1 A. Yes, it is.

2 Q. Does Sunco or any of its related companies  
3 have a safety engineer?

4 A. Yes.

5 Q. Who does that person report to it?

6 A. George Coleman.

7 Q. And he is in charge of making sure that  
8 things are complied with, rules, regulations, this  
9 kind of thing?

10 A. Exactly.

11 Q. He would be involved in this pond?

12 A. Yes, he would.

13 Q. What was his former employment?

14 A. He was a police officer for the City of  
15 Farmington for about 15 years.

16 Q. How much land does Sunco own at the  
17 proposed site?

18 A. I believe it's 160 acres.

19 Q. If you would, would you briefly describe  
20 the site location for me?

21 A. Again, it's a mesa that is in the center of  
22 the Bloomfield-Aztec-Farmington area. And it's at  
23 this point in time sagebrush, flat.

24 Q. Are there any residences visible from your  
25 location?

1           A.     No, sir, there's not.

2           Q.     How far is your property line from the edge  
3 of the pond?

4           A.     I would say from the closest point, it  
5 would be the south and west corner, would be  
6 approximately eight to 900 feet within our property.

7           Q.     Could you show us on what's marked as  
8 Exhibit 2-A that area again?

9           A.     You can't see it on the map. Our property  
10 line would be -- trying to project this on out --  
11 would be out in about here. BLM land is to the south  
12 of us. We have approximately 800 feet that this  
13 corner here, the pond, would be.

14          Q.     You're pointing at Exhibit 2-B, the pond  
15 closest to the bottom of that exhibit?

16          A.     Right, the initial Pond 1.

17                 MR. STOVALL: Are you saying that your  
18 property line is 800 feet in which direction from what  
19 point?

20                   WITNESS: Towards the west.

21                   MR. STOVALL: From what point?

22                   WITNESS: From this point here.

23                   MR. STOVALL: From the corner of the pond?

24                   WITNESS: Southwest corner of the pond, it  
25 would be approximately 800 feet to our property line.

1 Q. ((By Mr. Dean) What about in the other  
2 directions?

3 A. Well, the pond goes -- it would go -- the  
4 way this is going, I'm going to say probably 1500 to  
5 1600 feet to the other end of our property line.

6 Q. Which direction is that?

7 A. That would be to the east.

8 Q. What about the other two directions?

9 A. North and south, they would be -- like I  
10 say, this would probably be maybe 500 feet from the  
11 BLM property to the south. And we would have another  
12 15, 1600 feet to the north.

13 MR. DEAN: Thank you.

14 EXAMINER STOGNER: For clarification, Mr.  
15 Badsgard, you said Sunco owns 160 acres?

16 WITNESS: Yes.

17 EXAMINER STOGNER: Is that properly  
18 described as being the northwest quarter of Section 2?

19 WITNESS: I believe so, sir.

20 EXAMINER STOGNER: Thank you.

21 Q. ((By Mr. Dean) Is the site located -- is it  
22 located in a valley, on a mesa? What kind of  
23 topography exists --

24 A. It's up on a mesa, as we've stated before,  
25 very flat mesa.

1 Q. Does Sunco -- or, I guess, Mr. Coleman have  
2 sufficient financial abilities to meet the  
3 requirements that you put forth in your application?

4 A. Yes, we do at this time, you bet.

5 Q. You have an estimate as to the construction  
6 cost of these three ponds, approximately?

7 A. We're probably looking at in the  
8 neighborhood of 300,000 to approximately 500,000 to  
9 build this facility.

10 Q. Would that include just the first pond?

11 A. The first pond, yes, would be the 300,000.  
12 Again, as we go on, we're looking at a venture of  
13 probably half a million dollars to construct the other  
14 two.

15 Q. In your employment at Sunco and your  
16 familiarity with the oil and gas industry, do you  
17 think there's sufficient demand in the industry to  
18 support this pond?

19 A. Yes, sir, there is a need and necessity in  
20 our area.

21 Q. You listened to the testimony of Mr. Frank  
22 about the loads that were being delivered or the  
23 capability of the ponds that are in place now. In  
24 your familiarity, are there more loads than that  
25 needing to be dumped?

1           A.       I would say at this point in time, yes,  
2 this is compounding the problem. And there's going to  
3 have to be more facilities or the wells will be shut  
4 in eventually.

5           Q.       Is that demand likely to go up in the near  
6 future?

7           A.       I would say yes, it is. There's continuous  
8 drilling up there. In fact, I believe they have 16  
9 drilling rigs going now. They're all coal gas  
10 related. Takes them about three days to drill a  
11 well. Most of the companies up there have an  
12 indication of drilling maybe 1,000 wells this year.

13          Q.       Do those wells produce any water?

14          A.       Tremendous amounts of water on some.

15          Q.       Is most of the demand in the oil and gas  
16 business now these coal steam wells?

17          A.       Right now in the Farmington area it's, I  
18 would say, 99 percent coal gas.

19                   MR. DEAN: That's all the questions I have.

20                   EXAMINER STOGNER: Thank you, Mr. Dean.

21                   Mr. Horner, pass the witness.

22                                   CROSS-EXAMINATION

23 BY MR. HORNER:

24           Q.       You say you currently are involved in a  
25 trucking operation that trucks produced water?



1 A. Yes.

2 Q. And what is the nature of the records that  
3 you keep for each load?

4 A. For each load, what we do, for example, if  
5 you take Meridian Oil and Gas, the tickets are made  
6 out on an 80-barrel run. In other words, our tickets,  
7 if you had a chance to see them, Mr. Horner, they  
8 document the time that we haul a load, where we haul  
9 it from, where we haul it to, and the company name.  
10 And these tickets are submitted back to the oil  
11 company as a bill.

12 Q. Then do you attempt in any way to monitor  
13 what's in the load, I mean, for instance, hydrogen  
14 sulfide levels?

15 A. As far as Sunco Trucking?

16 Q. Right.

17 A. No, sir, we do not.

18 Q. Do you try to obtain from the entity that  
19 you're picking up the load from what's in the load?

20 A. Yes, sir, we do.

21 Q. So you ask them what the hydrogen sulfide  
22 levels are?

23 A. No. We ask them if the produced water --  
24 if it's drilling water, this type. We have not ever  
25 hauled it, to my knowledge, any H<sub>2</sub>S water.

1 Q. But you haven't asked; is that correct?

2 A. This is true.

3 Q. So you may have hauled it and not known it?

4 A. This is possible.

5 Q. Now, you talk about a distinction between  
6 produced water and drilling water. I think I've got a  
7 pretty good understanding now of what the produced  
8 water is. What is the drilling water?

9 A. Well, the drilling water would be just lake  
10 water, river water, this type of water.

11 Q. That has been used in the drilling process?

12 A. It has not been used in it. We have points  
13 of diversion that we've authorized to haul out of,  
14 say, Navajo Lake, or even the San Juan River or the  
15 Animas River, and we go get the water from those  
16 sources there.

17 Q. And you take it to a drilling site then?

18 A. Yes, sir.

19 Q. So then any water that you would actually  
20 pick up from the drilling site would be considered a  
21 produced water?

22 A. Not necessarily a drilling site. After the  
23 well is completed, they have tanks that are installed,  
24 and the coal gas wells separate the water from the  
25 gas, and they're stored in these storage tanks. And

1 we haul from the storage tanks to either a disposal or  
2 Southwest or Basin or whatever.

3 Q. Now, would there ever be any time when you  
4 would put water or anything else in this facility  
5 other than the produced water that we've talked about  
6 that comes from the coal gas drilling and the  
7 separation of the water that's covered in that  
8 process?

9 MR. DEAN: Into the pond, the proposed  
10 pond, you mean?

11 Q. ((By Mr. Horner) Well, into the facility,  
12 into the holding tanks, or proposed pond, or anything  
13 there.

14 A. I think that there's times where we pull  
15 what they call separator pits and so on that have to  
16 be pulled on occasion, yeah. It would be produced  
17 water, same thing.

18 Q. What is the separator pit?

19 A. Well, it is a pit that separates the -- if  
20 there's any oil, whatever, that the well makes, the  
21 separator on the location separates the oil. And  
22 there's a small pit -- I don't know what size they  
23 are, probably Roger can tell us about that -- they're  
24 a plastic-lined pit. And once they contain so much  
25 water, you have to pull them and take them into these

1 disposals.

2 Q. The separator pit would be something that's  
3 located at the drilling site then?

4 A. No, it would be at the actual well that is  
5 producing.

6 Q. At a producing site then?

7 A. Yes, sir.

8 Q. Now, are you aware of any permits required  
9 for this facility from the EIB, Environmental  
10 Improvement Bureau?

11 A. To be honest with you, not until we got  
12 down here, Mr. Horner. And I still don't know whether  
13 it's actually a fact or not.

14 Q. Have you had any contact with the EIB to  
15 check on whether or not there's a permit required?

16 A. No, sir.

17 Q. Now, in the operation of this facility, I  
18 believe you stated you're going to keep records of  
19 each load?

20 A. Yes, sir.

21 Q. Then on an incoming load, would you monitor  
22 each load for hydrogen sulfide?

23 A. We'll monitor that load as Mr. Frank, our  
24 consultant, said. I don't remember all the details,  
25 but H2S was one, and there were several other items.

1 It was -- you know, like I said, he referred to it  
2 yesterday, or the day before, this morning or  
3 whatever.

4 Q. So each load will be monitored?

5 A. Yes, sir.

6 Q. And records kept?

7 A. Yes, sir.

8 Q. And what, in your opinion, would be a  
9 hydrogen sulfide level that would be too high for you  
10 to accept at this facility?

11 A. Again, I want to refer back to Mr. Frank,  
12 who is our consultant, and the expert. I don't  
13 remember what the setup would be, Mr. Horner, but that  
14 would be the guidelines we would go by.

15 Q. So, basically, levels of hydrogen sulfide  
16 that cause you problems or that you would refuse to  
17 accept or that you would have to treat in one form or  
18 another, you're deferring all those types of questions  
19 to someone like Mr. Frank?

20 A. That's right, sir.

21 Q. Now, you've stated that you will not use  
22 this pit two before it's lined. Why then would you  
23 construct the pit when you construct pit one if you  
24 don't intend to use it for some period of time?

25 A. I think the way it's set up, according to

1 my engineer, or my consultant, again, is the way he  
2 designed it, was that when you pour that one side, and  
3 his reasoning, I guess, he explained it before, was  
4 that the secondary pit will go in when it's feasible  
5 to put water in it, and we will line it and go  
6 accordingly.

7 Q. Would you be willing, if the OCD should  
8 require you -- and I understand this is hypothetical  
9 at this point -- to have constructed on your facility  
10 and lined the capacity of one pit empty at all times  
11 to be able to pump the entire contents of one pit into  
12 that empty pit, should a leak occur in the full pit?

13 MR. DEAN: I'll going to object because it  
14 is hypothetical, and I don't think it's incumbent upon  
15 the witness to promise things, to make those things  
16 based on questions from Mr. Horner. If there's an  
17 order promulgated that requires him to do it, I guess  
18 they have to make a decision about it.

19 MR. STOVALL: It's a hypothetical question,  
20 and I'm not sure that Mr. Dean addressed it, but I'm  
21 not sure there's a foundation for the basis of  
22 question, Mr. Horner. If you'd like to go back and  
23 work your way into it, we might get back to that  
24 point.

25 Q. ((By Mr. Horner) We've discussed here quite

1 at length, I think, in other testimony -- I think you  
2 were here for the other testimony -- that if a leak  
3 should develop in, for instance, your Pond Number 1,  
4 if you only had Pond Number 1 completed, that would  
5 require removal of the fluids and substances from the  
6 pond to below the leak level, and without an  
7 additional place to put this, it may take up to nine  
8 months, basically letting the pond evaporate. The OCD  
9 at one point had taken the position that this pond  
10 should be drained below the level of the leak within  
11 seven days. Now, if, in fact, the OCD should  
12 determine that nine months is not adequate and that  
13 you have to find some place to put these substances  
14 from this pond -- and we've had testimony that there  
15 is no other place to put substances from this pond --  
16 would Sunco be willing to complete Pond 2 and  
17 subsequently Pond 3 in order to provide a place to put  
18 the water from a leaking Pond 1?

19 MR. DEAN: I'm going to object because  
20 that's not the evidence. There wasn't any evidence  
21 that there was no place else to put the water. The  
22 evidence was that there was some concern whether there  
23 would be enough room to put the water, that they were  
24 willing to start trucking immediately, but they didn't  
25 think they could commit to seven days, given the

1 availability. Therefore, it's a hypothetical question  
2 based on improper evidence.

3 It's also not correct, as characterized by  
4 Mr. Horner, that it may take up to nine months. I  
5 think all he ever got from Mr. Frank was that if you  
6 sat there and did nothing, it could take nine months,  
7 if the pond is full and you have a catastrophic leak.  
8 It's just an unfair hypothetical question.

9 MR. STOVALL: I think I'm going to  
10 recommend, Mr. Examiner, that the objection be  
11 sustained. For one thing, I will assure you that if  
12 it's a requirement of the OCD, Sunco will comply with  
13 it. So whether he will comply with the requirement  
14 from the OCD is not -- doesn't help us in the fact  
15 finding process or not.

16 EXAMINER STOGNER: Thank you, Mr. Stovall.  
17 Sustained.

18 Mr. Horner.

19 Q. (By Mr. Horner) You stated that you intend  
20 to train your employees that work at this particular  
21 site. Do you intend to train them with respect to the  
22 hazards of hydrogen sulfide?

23 A. Yes, sir.

24 Q. Are you yourself aware of the concentration  
25 levels of hydrogen sulfide that can cause problems?



1           A.       Probably not to the extent that I can sit  
2 here and be a -- you know -- no, I guess would be my  
3 answer.

4           Q.       Do you have in mind some sort of a plan or  
5 training course that you would suggest that these  
6 individuals take in order to become familiar with the  
7 hazards of hydrogen sulfide?

8           A.       Yes. There are safety inspectors already  
9 with our well servicing units that we have out there.  
10 We have an H2S school that these employees go to. And  
11 he has certified himself, I'll put it that way, in  
12 many respects to the H2S or safety type situations.

13          Q.       He's certified himself?

14          A.       Well, I'll say he's gone through schooling  
15 to certify himself, okay?

16          Q.       And has he received a certification of some  
17 sort or just obtained some level of education?

18          A.       Probably both. He probably has some  
19 certification. I am not aware of his credentials.  
20 I'm assuming this. But I know he has gone to some  
21 schools and attended some classes on H2S and has  
22 worked with our well servicing crews to certify them  
23 and to the extent that oil and gas companies require  
24 this from our well servicing crews.

25          Q.       The individual you're talking about, why

1 don't we just go ahead and name him?

2 A. Richard Collins.

3 Q. And is he an employee of Sunco then?

4 A. He is an employee of Sunco.

5 Q. Now, this individual you're talking about  
6 now the safety engineer that you referred to earlier?

7 A. Yes, he is.

8 Q. Now, this safety engineer, in fact, is not  
9 a degreed or a professional engineer; is that correct?

10 A. That is correct, he is not.

11 Q. So he has had just some level of training  
12 in safety matters through various courses and things.

13 A. Yes, sir.

14 Q. Now, I believe you've testified that the  
15 location here, the subject location, is on Crouch  
16 Mesa, and that there are no residents in the immediate  
17 vicinity. Do you know how much distance there is  
18 between this particular location and the nearest  
19 resident?

20 A. At this time I do not know the exact  
21 distance. I would say probably Flora Vista, if you  
22 wanted --

23 Q. I'll take an approximate distance at this  
24 point.

25 A. I'd say that's, what, a couple of miles, a

1 mile and three-quarters, two miles.

2 Q. And I'll also take an approximate estimate  
3 of the number of people in that area.

4 A. I would have no idea, sir. There is  
5 housing down there. I have no idea how many.

6 Q. Are we talking a couple of hundred people,  
7 or 20,000 people, just to get a ballpark number?

8 MR. DEAN: He doesn't know. I'm going to  
9 object.

10 EXAMINER STOGNER: Sustained. He's  
11 answered the question, Mr. Horner.

12 Q. (By Mr. Horner) Now, we've had some  
13 testimony from Mr. Frank that in the event of a  
14 significant leak in Pond 1, one of the options would  
15 be to line Pond 2. And it looks like the decision  
16 whether or not Pond 2 would be lined in that  
17 eventuality would be yours rather than Mr. Frank's.  
18 So in that regard, if, in fact, you do have a  
19 significant leak in Pond 1, would that be the course  
20 of action that you would take, line Pond 2 to handle  
21 those fluids?

22 A. I would say it would be a considerate  
23 matter as far as financial, what the OCD directed us  
24 to do. It would be -- at that date I guess we would  
25 make that decision.

1 Q. So that is not necessarily part of your  
2 contingency plan at this point then?

3 A. I would say that it was not.

4 Q. Mr. Frank testified that there was a County  
5 Road 3500 in the vicinity of this facility, but he was  
6 not able to testify as to whether or not that road is  
7 paved for its entire length. Can you testify to that?

8 A. Yes, sir, I can. The road from Flora  
9 Vista, it goes to Flora Vista, comes out on the  
10 Bloomfield highway -- I don't know the form -- I mean,  
11 these locations. It is paved down to actually all the  
12 way. The new highway comes from the north to the  
13 south, and there is a -- probably a -- I'm going to  
14 say a mile, mile and a quarter, that is not finished  
15 yet. But the road that offsets it is all paved and  
16 comes out by the fair grounds and hits highway -- you  
17 know, highway -- what is it, 64?

18 Q. So it is a continuously paved road between  
19 two highways?

20 A. Yes, sir.

21 Q. Now, Mr. Frank testified that the closure  
22 plan in this particular case is basically to cover up  
23 what's left in the pond and bury it. Is that your  
24 understanding of the intention of Sunco at this point?

25 A. I think that the point being was that it

1 was going to be monitored and go with the  
2 communication with the OCD as to what was in the pit  
3 at that time, scrutinized and make a decision at that  
4 time as to what direction we would have and what would  
5 be requested. We will comply with the OCD.

6 Q. But the closure plan submitted and the  
7 concept so far, unless additional requirements are  
8 placed, unless there's something in there you can  
9 sell, to cover it up and bury it?

10 A. That is true.

11 MR. DEAN: That's not the testimony. I  
12 object. If there was hazardous material, they would  
13 remove it to a proper location.

14 MR. STOVALL: Mr. Horner, in the line of  
15 questions with respect to Mr. Frank's testimony, is it  
16 your intent here to get Mr. Badsgard to confirm that  
17 Mr. Frank spoke accurately?

18 MR. HORNER: There's just a few questions  
19 here that I've asked that are just basically allowing  
20 Mr. Badsgard to speak for Sunco rather than the  
21 consultant saying what he thought Sunco should do. As  
22 I understand it, Mr. Badsgard is in the position of  
23 committing for Sunco that "our intention is thus and  
24 such" rather than Mr. Frank's saying "I am  
25 recommending that they do thus and such."

1           MR. DEAN: There's a record, Mr. Examiner.  
2 And if I haven't made it clear, it was my intention to  
3 have Mr. Badsgard testify that they were going to do  
4 what was in the record.

5           MR. STOVALL: Let's not restate Mr. Frank's  
6 testimony. We are assuming Mr. Frank has the  
7 authority to speak for Sunco.

8           MR. DEAN: He so testified.

9           MR. STOVALL: If you need to clarify  
10 anything or if you need something specifically of Mr.  
11 Badsgard, please do so.

12          Q.        (By Mr. Horner) Now, are you familiar with  
13 the other disposal locations in the area?

14          A.        I'm familiar with the locations, that's  
15 all, not with any practicality as far as operations.

16          Q.        So then are you not familiar with the  
17 problems they've had at some of these other locations?

18          A.        Other than what I read in the papers.

19          Q.        For instance, the Basin site, some of the  
20 the problems involved in their lawsuit?

21          A.        Whatever -- like I say, not in detail. I  
22 mean, you know, other than the H2S factor and so on  
23 down the line which was in the papers.

24                 MR. HORNER: I believe that's all I have of  
25 this witness at this time.

1 EXAMINER STOGNER: Mr. Stovall.

2 EXAMINATION

3 BY MR. STOVALL:

4 Q. Mr. Badsgard, you have stated that Sunco is  
5 a water hauling company, among other things; is that  
6 correct?

7 A. That is true. That is part of Sunco  
8 Trucking. We have 47 trucks; out of those 47, 23 of  
9 them are 80-barrel water trucks.

10 Q. They have a certificate of convenience and  
11 necessity from the State Corporation Commission?

12 A. Yes, sir.

13 Q. Are you familiar with OCD Rule 1133 and OCD  
14 Rule 709?

15 MR. DEAN: Those are the produced water,  
16 709?

17 MR. STOVALL: I'm sorry, Rule 709 is  
18 removal of produced water from leases and field  
19 facilities. I'd be glad to provide you a copy to look  
20 at, if you want to make sure before you answer.

21 Q. ((By Mr. Stovall) 1133, actually it refers  
22 to their requirement to file form C-133, authorization  
23 to move produced water.

24 A. Right.

25 Q. You are familiar with those rules?

1           A.     Yeah.  I'm familiar with filing the form,  
2  yes, sir.

3           Q.     Has Sunco filed the form for the water  
4  which it transports?

5           A.     Yes, sir.

6           MR. STOVALL:  Mr. Horner and Mr. Badsgard,  
7  take a look at Rule 709.

8           MR. DEAN:  He's got 709 in front of him.

9           MR. STOVALL:  For the record, that requires  
10 permission before produced water is removed from any  
11 facility.

12          Q.     ((By Mr. Stovall) In your opinion, as an  
13 executive of Sunco, is it subject to these rules?

14          A.     Yes, sir.

15          Q.     And you comply with them?

16          A.     Yes.

17          Q.     But Sunco's current operation is actually  
18 only as a transporter of the water at this time; is  
19 that correct?

20          A.     That is correct.

21          Q.     So you will take water under contract from  
22 a production, drilling or production facility, and  
23 haul it to a disposal facility?

24          A.     That is correct.

25          Q.     And do you know whether or not you have any



1 obligation to test the constituents of that water as a  
2 transporter?

3 A. To my knowledge, we do not.

4 Q. What you're applying for here adds a new  
5 activity to Sunco's corporate enterprise; is that not  
6 correct?

7 A. That would be a new entity, yes, sir.

8 Q. And so while you may not test the  
9 composition of water as a hauling company, you are  
10 prepared -- and I think here I am now getting into Mr.  
11 Frank's testimony -- that you're going to test the  
12 water that's delivered to the facility? The facility  
13 will be responsible for the testing.

14 A. That is absolutely right, the facility  
15 will.

16 Q. So my point in asking these questions is to  
17 separate the two functions. It may, in fact, be Sunco  
18 Trucking which hauls water from an operator to Sunco  
19 to the disposal facility; is that correct?

20 A. That is correct.

21 Q. The disposal facility will conduct such  
22 tests as it feels are necessary and as are required by  
23 the OCD.

24 A. Exactly right, sir.

25 Q. Now, in terms of record keeping, Sunco

1 Trucking currently maintains load tickets, I believe  
2 you said --

3 A. Yes, sir.

4 Q. -- of every load? So you know where the  
5 water came from and where it went?

6 A. Yes, sir, we do.

7 Q. Sunco water disposal facility will, I  
8 assume, receive a copy of the load ticket from Sunco  
9 Trucking or any other trucking company that brings  
10 water to the disposal facility, or the information  
11 contained therein?

12 A. The information will be there, yes, sir.

13 Q. And in addition, do you have any plans in  
14 place at the present time with respect to record  
15 keeping, additional record keeping of the water that's  
16 brought to the facility; i.e., for example, rather,  
17 the testing of the water for the H<sub>2</sub>S and other  
18 components that Mr. Frank talked about?

19 MR. DEAN: Are they going to keep track of  
20 that?

21 A. Yes.

22 Q. ((By Mr. Stovall)) Are you going to keep  
23 records of that?

24 A. Yes.

25 Q. I asked Mr. Frank whether he was going to

1 keep any actual samples of the fluids brought to the  
2 facility and identify them in such a way that you  
3 could trace them back. And I believe he stated that  
4 he was not planning to keep a sample of every load.  
5 Would your answer differ from his in that?

6 A. At this point in time, no, it would not.

7 Q. Do you have any knowledge of any reason why  
8 the OCD should or should not require you to maintain a  
9 fluid sample, at least for a period of time, from each  
10 load?

11 A. No, I really -- like I say, at this point  
12 in time I could go either way, I guess; but I don't  
13 know why it would help that much or hurt that much.  
14 Just have to be something that would be evaluated  
15 between OCD and Sunco water disposal, and go from  
16 there, I guess.

17 Q. Mr. Badsgard, I assume you are not an  
18 expert in EPA regulations with respect to hazardous  
19 waste materials.

20 A. That is very true.

21 Q. But I think you can probably answer the  
22 question that other than the load information provided  
23 by the driver bringing the load to you, do you have  
24 any method by which you could verify the source of the  
25 fluid brought to the facility?

1 MR. DEAN: Are you asking him to think if  
2 there's a method or whether they're going to?

3 Q. (By Mr. Stovall) I'm asking him whether  
4 they're going to at the moment. Is that going to be  
5 the source of your information?

6 A. At this point in time, that is the way it  
7 works.

8 Q. And Mr. Frank testified that there would be  
9 no testing for hazardous materials as waste is defined  
10 by EPA. Do you have any proposal -- or how would you  
11 respond to a requirement that there be some sort of  
12 testing to determine that, in fact, you were getting  
13 produced water that did not contain hazardous waste?  
14 Bearing in mind -- I understand that Mr. Frank  
15 testified that, by definition, produced water and  
16 water from oilfield operations is not and does not  
17 contain hazardous waste. The question is to insure  
18 that that's what you're taking into the facility.

19 A. Well, like we previously stated, that we're  
20 going to test the water from the truck before we even  
21 offload it. I guess I'm confused as to your question.

22 MR. DEAN: Can I talk to him for just a  
23 second?

24 MR. STOVALL: Yes.

25 (Sub rosa conversation between Mr. Dean and

1 witness.)

2 MR. DEAN: I understand the question to be  
3 that rather than, as Mr. Frank positively assumed,  
4 that if they say it's produced water, it's produced  
5 water, that you're asking his opinion about what if we  
6 have to negatively prove that each load is one or the  
7 other, if that's a requirement, what is their view of  
8 that.

9 MR. STOVALL: I think it's the same point.  
10 Mr. Frank testified that they can only accept produced  
11 water and drilling fluids, which are, by definition,  
12 not hazardous wastes.

13 Q. ((By Mr. Stovall) And my question is: Is  
14 there a concern that you could get other types of  
15 fluids into the facility without your knowledge?

16 A. Definitely, you could.

17 Q. And do you have any recommendations as to  
18 what could be done to prevent that from occurring on a  
19 reasonable basis?

20 A. I guess you could come up with a situation  
21 where you monitor every 20 loads, whatever it is, you  
22 know, the oil and gas companies who you get your  
23 direction from, the other transporters who you work in  
24 close association with. We don't have this problem  
25 now. I'm not saying -- you know, hypothetically, you

1 could have this problem. I don't think you could  
2 check every truck and keep records on every load that  
3 is hauled in. You'd have to have a pretty good-sized  
4 courthouse after a while because, you know, it's  
5 pretty regular, I'll put it that way.

6 Q. How many truck loads a day would you  
7 anticipate would be delivered?

8 A. I don't know. You know, they're talking in  
9 the area of 50 when their facility is properly  
10 exercised and the evaporation system is working  
11 properly. I would say close to that area.

12 Q. Fifty a day?

13 A. Yes, sir.

14 MR. STOVALL: I have no further questions.

15 EXAMINER STOGNER: Are there any other  
16 questions of Mr. Badsgard?

17 MR. DEAN: I just one, Mr. Examiner.

18 REDIRECT EXAMINATION

19 BY MR. DEAN:

20 Q. Whatever the regulations are, rules that  
21 OCD might promulgate in this order that results from  
22 this hearing, you're certainly not going to open the  
23 pond without complying with them, are you?

24 A. No. Like we stated before, we definitely  
25 will comply with the OCD.

1 Q. Your intent in hiring Mr. Frank and going  
2 through this exercise is to -- and being willing to do  
3 that is -- reflects what attitude on your part in  
4 operating this pond?

5 A. We have a very positive attitude towards  
6 this pond at this time, and we intend to operate it  
7 according to all the rules and regulations and --  
8 well, we feel we can do the job very well.

9 MR. DEAN: That's all I have.

10 RE-CROSS-EXAMINATION

11 BY MR. HORNER:

12 Q. Now, you have said that each load, when it  
13 comes in, will be tested. What will it be tested for?

14 MR. DEAN: Mr. Frank has answered that  
15 question.

16 MR. STOVALL: I believe he has, that's  
17 correct.

18 EXAMINER STOGNER: Sustained.

19 MR. HORNER: That's all I've got.

20 EXAMINER STOGNER: Let me clarify one  
21 thing. In your testimony you stated that it would  
22 cost about 300 to \$500,000.00?

23 WITNESS: That's what we're anticipating.  
24 Again, like I say, from an engineering standpoint, I  
25 do not have total figures, but that is our estimate at

1 this point in time.

2 EXAMINER STOGNER: Are there any other  
3 questions of this witness?

4 MR. DEAN: None from me, Mr. Examiner.

5 MR. HORNER: None from me.

6 EXAMINER STOGNER: You may be excused at  
7 this time.

8 MR. STOVALL: Mr. Dean, I assume Mr. Cheney  
9 is your next witness?

10 MR. DEAN: Yes, he is.

11 MR. STOVALL: What would work better, do  
12 you think, to start with Mr. Cheney and take a break  
13 or to take a few minutes --

14 MR. DEAN: It's up to you. We're flexible.

15 MR. STOVALL: What kind of testimony are  
16 you going --

17 MR. DEAN: He's going to testify as to the  
18 exhibit and how much horsepower it takes to turn the  
19 pond over. And he has some familiarity with the  
20 exchange of oxygen that produces H<sub>2</sub>S and can answer --  
21 we've discussed it during the breaks about the  
22 permeability of the rocks and can be the groundwater  
23 move. I really don't think it would be that long.

24 MR. STOVALL: I mean in terms of direct,  
25 whether to take a break now or at the end of his



1 direct. I'm sure the cross will take some time.

2 MR. DEAN: The direct might take 30  
3 minutes, maybe.

4 EXAMINER STOGNER: Let's go ahead and call  
5 him.

6 MR. DEAN: All right. Call Richard Cheney.

7 EXAMINER STOGNER: Let the record show that  
8 this witness was sworn on Wednesday.

9 RICHARD CHENEY  
10 the witness herein, having been previously sworn, was  
11 examined and testified as follows:

12 DIRECT EXAMINATION

13 BY MR. DEAN:

14 Q. Would you please state your name?

15 A. Richard Cheney.

16 Q. How are employed, Mr. Cheney?

17 A. I'm employed by Brewer Associates,  
18 Incorporated, a consulting engineering firm in  
19 Farmington.

20 Q. How long have you been so employed?

21 A. About 14 years.

22 Q. Would you briefly describe for the examiner  
23 your educational background?

24 A. I'm a graduate of New Mexico State  
25 University with a bachelor of science degree in civil

1 engineering.

2 Q. And you've received a degree? Are you  
3 certified in your profession?

4 A. I'm a registered professional engineer.

5 Q. With the state of New Mexico?

6 A. New Mexico, Texas, Arizona, Colorado and  
7 Utah.

8 Q. Have you worked in that field since the  
9 time of your graduation?

10 A. I have.

11 MR. DEAN: I move that he be qualified as  
12 an expert professional engineer for purposes of this  
13 hearing, Mr. Examiner.

14 EXAMINER STOGNER: Are there any  
15 objections?

16 MR. HORNER: I have no objection.

17 EXAMINER STOGNER: Mr. Cheney is so  
18 qualified.

19 Q. (By Mr. Dean) Within your profession, your  
20 chosen profession, do you have any areas that you  
21 might call expertise, an area of expertise or  
22 speciality?

23 A. Speciality primarily in waste water,  
24 primarily sewage water design of treatment facilities  
25 for waste water treatment plants.

1 Q. Do those waste water treatment plants have  
2 H2S problems and concerns?

3 A. Yes.

4 Q. Have you been present during all of the  
5 testimony except for Mr. Badsgard?

6 A. Most of it, yes.

7 Q. I'm going to call your attention to your  
8 report that has been entered into the record here,  
9 which is the last three pages, I believe, of  
10 Applicant's Exhibit Number 4, Mr. Examiner. I think  
11 that's where it is.

12 EXAMINER STOGNER: That's correct, Mr.  
13 Dean.

14 Q. ((By Mr. Dean) And ask if you have that  
15 document in front of you?

16 A. Yes, I do.

17 Q. Did you prepare that document?

18 A. Yes.

19 Q. Tell us what steps you took in order to  
20 gather information to prepare that document.

21 A. What -- we reviewed the proposed design  
22 submitted by Mr. Frank. And what we did was assume or  
23 base our design on what we term the course bubble  
24 diffusion system, which would be primarily the  
25 laterals, the pipes, plastic PVC pipes, I believe it's

1 with the 1/32nd inch holes to be used as the diffusion  
2 system. What we attempted to do was to show what  
3 horsepower would be required to develop a certain  
4 level of oxygen within the pond. You don't know  
5 exactly what the oxygen demand is of the waters that  
6 are being delivered. So we assume that what we wanted  
7 to try to do was to be able to at least maintain some  
8 level of dissolved oxygen in the ponds and arbitrarily  
9 chose half a part per million. We operate waste water  
10 treatment facilities with newer technologies and  
11 proper mixing as low as 2/10ths of a part per million  
12 up to about one part per million of dissolved oxygen.  
13 Not knowing what the demand is here makes it a little  
14 bit more difficult. We ran through a series of  
15 calculations to determine the amount of horsepower  
16 that would be required to place a dissolved oxygen  
17 residual of point five milligrams per liter in the  
18 pond, assuming that the oxygen demand is very low.

19 Q. Do you think that that assumption makes  
20 your calculations reasonable?

21 A. I think that they're reasonable. I think  
22 it shows that the 32 horsepower would be required.  
23 Obviously, nobody makes 32 horsepower motors. The  
24 next step would probably be 35 or 40. And so you're  
25 going to have some redundancy. I think in our letter

1 also we stated that we feel like that mixing is a  
2 crucial part of providing oxygen, maybe even mixing is  
3 more important even than the amount of oxygen that's  
4 supplied to make sure that all portions of the pond  
5 come in contact with an oxygen supply. And I think  
6 that the recirculation and spray system that Mr. Frank  
7 has designed for this is an integral part of the  
8 oxygenation part of the system. In addition, that that  
9 spray system will impart oxygen back into the pond, as  
10 well as the oxygenation system that we analyzed. It's  
11 a little bit more difficult to predict how much oxygen  
12 that the spray system is going to put back into the  
13 pond, but surface aerators, generally you can assume  
14 that you get at least a pound to a pound-and-a-half of  
15 oxygen per horsepower per hour. And I think it would  
16 be a reasonable assumption to assume that with the  
17 spray system that you've got, that you'd probably get  
18 about one pound of oxygen per horsepower per hour, and  
19 you've got a rather large horsepower pump operating  
20 there, so I think that the availability of the oxygen  
21 to the pond with all of the systems operating, I think  
22 that there would be a sufficient amount.

23 Q. Which of these systems as you've heard them  
24 described to us lay people should this 35 horsepower  
25 motor be put on?

1           A.       That's to the PVC pipe system and the  
2 system with the laterals distributed throughout the  
3 pond and that has the 1/32nd inch holes.

4           Q.       And the gains of eight, I think they  
5 described it.

6           A.       I don't remember.

7           Q.       Why is all of that necessary in  
8 controlling? How does that apply to controlling H<sub>2</sub>S?

9           A.       Well, the oxygen would work -- it's a  
10 reducing agent that combines with the hydrogen sulfide  
11 in the same way that chlorine does. Chlorine is a  
12 reducing agent where you're using CL<sub>2</sub> rather oxygen,  
13 which is O<sub>2</sub>, as a reducing agent.

14          Q.       And the goal of all this is to maintain the  
15 pond in an aerobic condition?

16          A.       Yes.

17          Q.       Given the dimensions of the pond that you  
18 reviewed in these systems and your calculations, do  
19 you think that they would be able to maintain the pond  
20 in an aerobic condition if they operated it as has  
21 been described in the last couple of days?

22          A.       I think that they will be able to maintain  
23 it in an aerobic condition if they operate the air  
24 supply and the mixing and spraying operation in a --  
25 together.

1 Q. There's been some discussion about the  
2 spray system on the perimeter being put in later, or  
3 at least the sprayers themselves being put in later.  
4 Does that play into how you would operate this pond?

5 A. We didn't evaluate that. I think that  
6 those sprayers would certainly add some oxygen to the  
7 pond; they may, that particular type of spray. We  
8 just didn't evaluate that one. I'm not sure.

9 Q. It certainly would help though?

10 A. Yeah, it would enhance it, if there's a  
11 large amount of hydrogen sulfide present. And both  
12 spray systems are going to tend to strip it from the  
13 waters and put it in the air. So what you want to do  
14 is maintain the pond in an aerobic condition or be  
15 able to inject enough material in there so you get a  
16 complete reduction of the hydrogen sulfide prior to  
17 the time that you create a problem.

18 Q. So it's more important to worry about this  
19 as there won't be a problem rather than after the  
20 problem?

21 A. That's correct. And if they begin to  
22 develop a problem, I think they have several options.  
23 They have the option to inject chlorine, which is a  
24 further reducing agent; to turn on -- to operate the  
25 air system longer and to continue the spraying

1 operations. And I believe that with the proper mixing  
2 and the amount of air that they have available -- they  
3 have also have the force bubble diffusers; I would put  
4 a larger horsepower motor on that. With the larger  
5 horsepower motor, then they have additional capacity  
6 for injecting air.

7 Q. What would you recommend?

8 A. Well, I'd have to analyze those diffusers,  
9 but I think probably about the same. We'd want to see  
10 what they were doing and what their capabilities were,  
11 but I'd think that probably somewhere between a 20 and  
12 30 horsepower motor blower on these.

13 Q. Is the redundancy of the systems that are  
14 designed into this pond favorable to controlling and  
15 preventing an H2S problem?

16 A. Certainly.

17 Q. That is, if they operate separately and  
18 that kind of thing. When you say "treat the pond,"  
19 would they -- you had some calculation that they could  
20 turn the pond over in 36 hours?

21 A. I think that was based on --

22 Q. If they had a 32 horsepower motor they  
23 could turn it over in 36 hours?

24 A. That was also assuming that they would  
25 operate the recirculation system in spraying



1 capacity. I think they could do it even quicker than  
2 that. I think that was based on the flow rates of the  
3 pumps that were developed on it.

4 Q. So if they increased those horsepower as  
5 you've recommended, that would even be quicker,  
6 possibly?

7 A. Yes.

8 Q. How would that help in the prevention of an  
9 anaerobic state that would tend to create H<sub>2</sub>S or in  
10 the treatment of an H<sub>2</sub>S problem?

11 A. Well, I think that, as I've said before,  
12 that mixing is a critical part of controlling hydrogen  
13 sulfide in any of these situations because the mixing  
14 provides contact with the available oxygen; and so if  
15 you have an opportunity to keep it mixed, maintain the  
16 mix and have an oxygen supply, then you're a lot more  
17 likely to reduce the hydrogen sulfide.

18 Q. There's been some discussion today, and  
19 perhaps your expertise would lend itself to answering  
20 this; the salt or sludge buildup in the bottom of the  
21 pond and how that would affect the -- what I would  
22 call the bubblers from the PVC pipe. Do you see that  
23 as a problem that needs to be addressed further?

24 A. Well, I think that that's something that  
25 will be an operational problem that they'll have to

1 continue with, but they have methods to clean those  
2 out. And I don't foresee that -- those bubblers are  
3 going to be operating continuously, and I don't  
4 foresee that as being a problem.

5 Q. You were here for the discussion about the  
6 buildup of salt or sludges to five to six feet over  
7 the life of the pond, 11-and-a-half years, I think it  
8 was. Do you have any testimony that lends itself to  
9 that problem? How much do you think they will build  
10 up?

11 A. Without running a calculation -- there  
12 could be some calculations made if you had an idea of  
13 the amount of salts that were in the water. That  
14 sounds a little bit excessive to me, but then I would  
15 be afraid to say without running calculations on it.

16 Q. There was some additional testimony while  
17 you were present today about if the pond was full and  
18 if there was a leak in the bottom of the primary liner  
19 which then leaked through the secondary liner and  
20 through the compacted soils underneath and that the  
21 fresh water source was 80 feet down, that that might  
22 be a problem if in the wildest of circumstances you  
23 couldn't empty the pond for 90 days. Does your field  
24 of expertise allow to you calculate how long it would  
25 take for that water to reach the fresh water source of

1 80 feet?

2 MR. HORNER: Objection. I believe the  
3 testimony "in the wildest of circumstances," it was  
4 nine months, not 90 days.

5 MR. DEAN: I'm sorry, nine months.

6 A. Yes, it does. We've done a considerable  
7 amount of work with soils before percolation and  
8 permeabilities.

9 Q. (By Mr. Dean) Do you have an opinion as to  
10 how long it would take, even with a head on it?

11 A. If they maintained a constant head and the  
12 permeability was somewhere between one times ten to  
13 the minus fifth, one times ten to the minus seventh,  
14 which I think certainly are safe assumptions for the  
15 type of soil out there, it would take somewhere  
16 between seven and eight years for it to -- that would  
17 be at one point ten and one point one times ten to the  
18 minus fifth, I believe it would take eight years.  
19 Permeability is one point one times ten to the minus  
20 seventh, you're probably looking at 15, 20 years for  
21 it to move 80 feet vertically; that is, if you  
22 maintain a constant head on it.

23 Q. If that was removed after nine months, what  
24 would that do to that number?

25 A. I don't think that will move down any

1 further if you remove the head. I think it's highly  
2 unlikely that the nature of the soils out there, that  
3 that's going to move much further.

4 Q. In your area of specialty, I guess, is H<sub>2</sub>S  
5 a manageable problem? Is it something that you can  
6 control?

7 A. Yes.

8 Q. In these waste sewer treatment plants, is  
9 it a big problem?

10 A. Yes, it is. It can be a substantial  
11 problem in the waste water treatment facilities, and  
12 that's the reason you just make every effort that you  
13 can to maintain them in an aerobic condition, unless  
14 it is a plant that's designed to operate  
15 anaerobically, and there are those types of facilities  
16 around too; but even then, the H<sub>2</sub>S is manageable.

17 Q. Do you think that the H<sub>2</sub>S is manageable and  
18 that this pond will be able to be maintained in an  
19 aerobic condition, first of all? Will they be able to  
20 maintain it in an aerobic condition, based on what  
21 testimony we have?

22 A. I think they have the capabilities there to  
23 maintain this in an aerobic condition.

24 Q. If for some reason it does start to produce  
25 some H<sub>2</sub>S, do they have the capacity to treat it and

1 have a reasonable chance of returning it to an aerobic  
2 state and controlling the H2S problem?

3 A. Yes.

4 Q. Does your written report that you're  
5 looking at that's admitted into evidence reflect these  
6 opinions, and are they based on your expertise as a  
7 professional engineer?

8 A. Yes.

9 Q. Were they performed according to the  
10 standards of your profession?

11 A. Yes.

12 MR. DEAN: I don't have any other  
13 questions.

14 EXAMINER STOGNER: With that, let's adjourn  
15 until about 1:35.

16 (Recess, 12:52 p.m. to 1:42 p.m.)

17 MR. EXAMINER: This hearing will come to  
18 order. Mr. Horner, are you ready for  
19 cross-examination?

20 MR. HORNER: I believe so.

21 CROSS-EXAMINATION

22 BY MR. HORNER:

23 Q. Mr. Cheney, I believe you stated that you  
24 had used in your figures here an oxygen requirement of  
25 point five milligrams per liter; is that correct?

1 A. No.

2 Q. What did you use?

3 A. We used -- we assumed that we would try to  
4 maintain a half a part per million residual in the  
5 pond. That's point five milligrams per liter residual  
6 dissolved oxygen in the pond.

7 Q. How is that different from what I just  
8 asked?

9 A. I'm not sure what you asked me.

10 Q. I thought I asked you if you used a figure  
11 of point five milligrams per liter of oxygen.

12 A. I thought you said 45. I'm sorry.

13 Q. Now, as I understand it, based on what  
14 you've written here in your report, that quite often  
15 in waste water systems you use two milligrams per  
16 liter; is that correct?

17 A. That's correct.

18 Q. And so you stated that you arbitrarily  
19 chose the point five milligrams per liter?

20 A. That's right.

21 Q. Now, it appears then it's quite possible  
22 that you may be putting only 25 percent of the oxygen  
23 into this pond that you need then; is that correct?

24 A. Well, it's possible that we might be  
25 putting in less than that, but -- I'm not sure whether

1 we discussed it here -- I think in the report I say  
2 that add two milligrams per liter, it was assumed that  
3 that level of dissolved oxygen would also provide the  
4 mixing. And oxygen was utilized for mixing as well.  
5 And in this particular instance, we didn't calculate  
6 the oxygen requirement for mixing because of the  
7 capability of the mix utilizing recirculation pumps.

8 Q. Now, the mixing you're talking about is  
9 just boiling the water up a little bit?

10 A. No. It's maintaining a velocity in the  
11 water so that the pond is mixed.

12 Q. Then is your primary concern the mixing of  
13 the water rather than the oxygen level you put in the  
14 water?

15 A. I'd say that they're equal concerns.

16 Q. Now, I tried to ask Mr. Frank this, and I  
17 think he got a little confused. But, in fact, isn't  
18 most of the oxygen coming into the water at the  
19 surface of the pond rather than through the bubbles?

20 A. No.

21 Q. What is the relationship, in your mind, of  
22 how much oxygen comes into the pond from the bubbles  
23 versus at the surface of the pond, ignoring for the  
24 moment the spray system?

25 A. Our calculation here was that you get all

1 of the available oxygen demand from the bubbles.

2 Q. Then what is the purpose of the mixing?

3 A. To make sure that all of contents in the  
4 pond have equal access to oxygen.

5 Q. So the purpose is not to move the water  
6 across the surface of the pond?

7 A. Well, the purpose of the mixing is, as I  
8 previously stated, is to make sure that all of the  
9 contents of the pond come in contact with available  
10 oxygen, not necessarily at the surface of the pond,  
11 but throughout the entire length of the pond.

12 Q. Now then, the residual oxygen though inside  
13 the pond may be required to be higher than this point  
14 five milligrams per liter?

15 A. No, the residual, I don't think, would be  
16 required to be higher than that, but the actual demand  
17 may be higher than that.

18 Q. That you would have to meet on a continuing  
19 basis with your aeration system.

20 A. I guess on a continuing basis would depend  
21 on the incoming waters, as to whether or not it was  
22 required on a continuing basis. There might be  
23 periods of time when the actual oxygen demand -- the  
24 oxygen demand throughout this system is going to vary  
25 on the quality of the waters that are introduced into



1 the system.

2 Q. Let me back up then. There's one thing  
3 that I don't have totally figured out that may be part  
4 of the problem, and that is in your analysis here when  
5 you start doing the calculations, you start off with  
6 an assumption that 6.5 milligrams requires 27 pounds  
7 of oxygen per day?

8 A. No, that's 6.5 million gallons of water in  
9 the basin. In order to have half a milligram per  
10 liter residual requires 27 pounds of oxygen.

11 Q. Then you work from that 27 pounds of oxygen  
12 back through your air flow capacities and requirements  
13 to determine your horsepower rating; is that correct?

14 A. That's correct.

15 Q. So if, in fact, you started off with a  
16 number of two milligrams per liter of oxygen required,  
17 then you would have to quadruple the size of your  
18 pump?

19 A. That's reasonably accurate. It's not a  
20 straight line equation, but you could run through the  
21 calculation and figure out what it is.

22 Q. If the point five milligrams per liter is a  
23 residual, but the actual amount of oxygen that you  
24 need to be putting in the water is based upon the  
25 oxygen demand in the water, then that may be a number

1 that has little relationship to the point five  
2 milligrams per liter; is that correct?

3 A. If the demand was ten milligrams per liter;  
4 but in these particular waters, the oxygen demand is  
5 extremely low going in.

6 Q. And what do you base that on?

7 A. Well, I base it on the observations unless  
8 -- and also what we were given as the operational  
9 criteria for the pond, that they were going to  
10 pretreat with chlorine before they dumped into the  
11 pond. And assuming that they drive the reaction to  
12 completion before they dump the waters in the pond,  
13 then the oxygen demand in the pond is going to remain  
14 relatively low.

15 Q. How long does it take to drive that  
16 reaction to completion?

17 A. Instantaneous if you have complete mix.

18 Q. And so you're saying that the chlorine and  
19 the hydrogen sulfide are reacting to eliminate  
20 hydrogen sulfide instantaneously?

21 A. That's correct; if the chlorine -- if  
22 there's a proper amount of chlorine to react with the  
23 hydrogen sulfide, the reaction -- and it's mixed  
24 properly, and it has available -- the hydrogen sulfide  
25 has availability of the chlorine, then it's -- the

1 reaction would be instantaneous.

2 Q. How does the relationship of the anaerobic  
3 bacteria fit into this equation? I was under the  
4 impression that the chlorine also killed anaerobic  
5 bacteria. Is that not the function of chlorine?

6 A. I think that the dosages of chlorine that  
7 would be required to kill the anaerobic bacteria would  
8 be excessive. It will kill them, but the chlorine is  
9 primarily to react with the hydrogen sulfide in water.

10 Q. So the chlorine is reacting with the  
11 byproducts of the anaerobic bacteria rather than  
12 killing the anaerobic bacteria?

13 A. In my opinion, that's the primary  
14 objective.

15 Q. So if you have an environment of -- or a  
16 community of anaerobic bacteria, you're going to need  
17 elevated levels of chlorine in order to eliminate that  
18 community?

19 A. Well, you'll need levels of -- no, that's  
20 not correct.

21 Q. Well, I'm confused then. I thought you  
22 just said that the chlorine didn't necessarily kill  
23 the bacteria at this level.

24 A. That's what I said.

25 Q. If you have a community of anaerobic

1 bacteria, how do you get rid of it?

2 A. Make it aerobic.

3 Q. And the aerobic condition will simply kill  
4 the anaerobic bacteria?

5 A. That's correct.

6 Q. Now, if, in fact, there is a buildup of  
7 sludge on the bottom of this pond, I'm assuming that  
8 the water that is mixing will not be kicking up the  
9 sludge on the bottom of the pond. Would that be a  
10 reasonable assumption?

11 A. No, I don't think so.

12 Q. So you think the mixing conditions that  
13 you're talking about here will keep the sludge moving  
14 in the pond?

15 A. I believe that it will.

16 Q. And keep the sludge suspended in the pond?

17 A. Well, I'm not sure what your concept of  
18 sludge is here. This sludge is basically a liquid --  
19 in a liquid condition. It's heavier than the rest of  
20 the contents in the pond, so it's going to be down on  
21 the bottom. But I believe with the amount of water  
22 that they've moving here, that they're creating  
23 velocities in the pond that will move that sludge  
24 around.

25 Q. So that there will be no settling of sludge

1 in the bottom of the pond?

2 A. There won't be a problem unless they turn  
3 everything off.

4 Q. If for a period of time it were turned off  
5 and it settled, would that sludge create an  
6 environment for the growth of anaerobic bacteria?

7 A. Probably.

8 Q. An environment that would propagate this  
9 anaerobic bacteria at a rate in excess of what it  
10 would be propagated in the water itself?

11 A. Well, the anaerobic bacteria is propagated  
12 in the water. If you don't move it and the bottom of  
13 the pond becomes anaerobic, then bacteria growth is  
14 the bacteria growth.

15 Q. Now, it is going to be necessary to be  
16 constantly moving -- I mean to prevent the  
17 accumulation of sludge on the bottom of the pond to  
18 prevent a growth of anaerobic bacteria in that sludge?

19 A. I don't think it's necessary to keep it  
20 constantly moving.

21 Q. But to keep it moving to an extent somehow?

22 A. No, but to have the capability to move it.

23 Q. And, in your opinion, how often would it  
24 need to be turned over?

25 A. It probably needs to be mixed daily.

1 Q. That's assuming you're maintaining an  
2 aerobic condition in the water itself at all times?

3 A. That's true.

4 Q. Now, you've stated that you have  
5 significant experience with waste water systems?

6 A. That's correct.

7 Q. Have you ever dealt with evaporation ponds  
8 such as these before?

9 A. Yes.

10 Q. Which ponds were those?

11 A. Well, we've done some retrofit to the Basin  
12 ponds, and we've also done sewage lagoon systems which  
13 are similar to evaporation ponds.

14 Q. You're familiar with the problems then that  
15 were found at the Basin?

16 A. Most of them.

17 Q. In fact, normally, in the waste water  
18 systems you're not evaporating all the water off, are  
19 you?

20 A. No.

21 Q. And you're not accumulating sludge over a  
22 period of time, are you?

23 A. Yes.

24 Q. I mean, you clean it out periodically, do  
25 you not?

1           A.     No.

2           Q.     So the systems that you design, the sludge  
3 accumulates until it fills up and then you bury it?

4           A.     There's different methods. Generally you  
5 design the system for a 20-year life, 25-year life.  
6 Sewage solids are a little different from the solids  
7 that we're talking about here. And over a period of  
8 time they reduce, and you don't have the buildup in a  
9 sewage lagoon that you have here.

10          Q.     By reducing, are you meaning that they  
11 combine with something and lose whatever negative  
12 characteristics they have, or reduce in size and --

13          A.     Reduction in volume.

14          Q.     Now, talking about the spray system, when  
15 you spray this water from this pond up into the air,  
16 there will be stripping of any hydrogen sulfide that  
17 might be in the water; is that correct?

18          A.     If there's hydrogen sulfide in the water  
19 and you aerate it, it's going to be stripped.

20          Q.     And so for the record, the stripping means  
21 it's being released to the air and will go wherever  
22 the air goes; is that correct?

23          A.     That's correct.

24          Q.     Now, the concept of the spray system is to  
25 increase the evaporation rate; is that correct?

1 A. That's correct.

2 Q. So also with this spray system, salts that  
3 may be in the water will end up in the air; is that  
4 correct?

5 A. No.

6 Q. And why is that not correct?

7 A. The salts solids will concentrate in the  
8 pond. Depending -- there's a lot of variable factors  
9 here; humidity and air temperature. A certain amount  
10 of the salts probably are going to end up in the  
11 water, in the air, yes.

12 Q. Now, as the water evaporates away, it's  
13 going to leave the salt in the air, I mean, until it  
14 falls to the ground.

15 A. Oh, yeah, if the water lands on something,  
16 it will deposit the salt that's in that water there.

17 Q. So if the wind is blowing while the spray  
18 system is operating, it's going to blow the salts  
19 wherever the wind goes; is that correct?

20 A. The salts that are in the spray will travel  
21 with the spray.

22 Q. Now, any chlorine that may be in the water  
23 from the bleach, will that also be stripped?

24 A. Probably there's going to be a reduction --  
25 I'm talking about a reaction of compounds so that the



1 chlorine will reduce whatever compound it comes in  
2 contact with. And I doubt that you will see a  
3 significant amount of chlorine in any of the spray.  
4 That depends on how much chlorine they put in too, how  
5 many parts per million, and whether or not they've got  
6 a chlorine residual in the pond.

7 Q. If they're talking 5,000 gallons per day?

8 A. That doesn't necessarily mean there's going  
9 to be a chlorine residual in the pond.

10 Q. I believe you stated that the operation of  
11 the spray system was critical to the success of the  
12 aeration of this pond, did you not?

13 A. I'm not sure that's the exact words, but we  
14 believe it's a significant part of the aeration  
15 system.

16 Q. Well, let me use your words from your  
17 letter of March 26th attached to the April 17th letter  
18 -- I'm not sure which exhibit that was labeled as --  
19 from Sunco to the OCD. "For this reason we believe  
20 that the recirculation slash spray evaporation system  
21 will be critical to the successful operation of the  
22 facility."

23 A. That's exactly right.

24 Q. Now, in correspondence between the OCD and  
25 Mr. Frank it was initially set out that the spray

1 system would not be operated during periods of windy  
2 conditions such that the spray would not blow over on  
3 to neighboring properties. Now, are you saying that  
4 the spray system, in order to keep this pond under  
5 control, is going to have to be operated all the time?

6 A. No.

7 Q. For what period of time?

8 A. I think that it has to be operated enough  
9 to maintain the pond in an aerobic condition.

10 Q. And how long is that? Is that going to be  
11 12 hours a day?

12 A. It could be; it could be one hour.

13 Q. And so what is the variable there?

14 A. The oxygen demand in the water.

15 Q. Now, is your average everyday operator  
16 that's going to be running this system likely to be  
17 trained to oxygen level demands and this sort of  
18 requirement, or is it going to take an engineer to be  
19 able to comprehend these things?

20 MR. DEAN: I'll object to the question in  
21 the sense that it asks Mr. Cheney if people at Sunco  
22 were going to be trained. I don't object to that part  
23 of the question that asks him if it takes an engineer  
24 to determine the oxygen content.

25 EXAMINER STOGNER: Restate your question,

1 Mr. Horner.

2 Q. ((By Mr. Horner) If the successful operation  
3 of this pond requires an ongoing monitoring of the  
4 oxygen demand in the water, an ongoing monitoring of  
5 the hydrogen sulfide levels in the water, an ongoing  
6 monitoring of the residual oxygen in the water, and an  
7 ongoing monitoring of the mixing rate and turn-over in  
8 the pond itself, won't this require a very highly  
9 trained person and probably an engineer to operate  
10 this facility?

11 A. No.

12 Q. And how do you come to that conclusion?

13 A. Well, it just doesn't require that. There  
14 are all sorts of kits that are available to monitor a  
15 -- DO probes that nearly anyone can be trained to  
16 operate it.

17 Q. How often will this pond have to be  
18 monitored, these different conditions, in order to  
19 insure a successful operation? An hourly basis or a  
20 daily basis or a weekly basis?

21 A. Perhaps daily.

22 Q. Now, you touched on in the direct  
23 examination here the horsepower requirement of the  
24 first aeration system that Mr. Frank had submitted.  
25 Talked about a one-third horsepower motor. But do I

1 understand you to say that that one-third horsepower  
2 motor is quite probably going to be inefficient in  
3 size?

4 A. If you're going to depend on that  
5 particular system for aeration, there's no question  
6 but what it's too small.

7 Q. And so that motor would have to be on the  
8 order of the motor that you were talking about for  
9 your system?

10 A. That's correct.

11 Q. So that would be two motors on the order of  
12 30 to 40 horsepower?

13 A. That's correct.

14 Q. Now, how about the motor on the sprayer  
15 system?

16 A. Well, I haven't done calculations on that.  
17 But I think that I heard testimony that that was about  
18 a 150 horsepower motor, which I think that certainly  
19 depends on the pressure that they intend to operate  
20 the spray system at, and the volume of water that they  
21 intend to move.

22 Q. Now then, there's been some discussion  
23 about the bubblers becoming clogged and the system,  
24 therefore, becoming inefficient. Now, as this pond  
25 evaporates, the solidity of the water is going to

1 become increasingly greater; is that correct?

2 A. Probably to some point, to some saturation  
3 point.

4 Q. And at that saturation point, what happens?

5 A. Salts precipitate.

6 Q. Now, at that point when the air comes  
7 through the bubbler system, will not the salts  
8 precipitate out where that air tends to possibly  
9 evaporate a little bit of the water at the bubbling  
10 holes and tend to clog the bubblers?

11 A. That's a possibility.

12 Q. And if the holes are clogged, will not the  
13 pressure increase on the system?

14 A. That's correct.

15 Q. And decrease the efficiency of the aeration  
16 system?

17 A. That's correct.

18 Q. And possibly significantly so?

19 A. That's correct.

20 Q. Now, if all these sludges and salts are  
21 moving through this water suspended, precipitated out,  
22 not in solution but suspended, as I understand it --  
23 that will be their condition, correct?

24 A. To some extent, yes.

25 Q. And they are taken into the spray system

1 through the intakes of the spray system, will not  
2 those solids, the salts and the sludges, tend to clog  
3 up the spray nozzles?

4 A. It depends on the nozzle size and pumping  
5 pressures, pumping rates; but they could tend to clog  
6 them. I think we've made that statement earlier, that  
7 it could tend to decrease the efficiency of the  
8 system.

9 Q. So over a period of years, the salts and  
10 the sludges suspended in the pond, as you stated, not  
11 in solution, is going to increase dramatically unless  
12 they're blown over on the neighboring property,  
13 correct?

14 A. No.

15 Q. Well, if you reach the saturation point and  
16 more water is added and evaporated but the salts  
17 remain in the pond, will not there be more salts in  
18 the pond over a period of time?

19 A. There would be more in the sludges, yes,  
20 that is correct. But that's been allowed for in the  
21 design and has been discussed previously that that's  
22 what the accumulation of sludges in the bottom of the  
23 pond consists of.

24 Q. Now, are we accumulating sludge on the  
25 bottom of the pond, or are they going to be suspended

1 in the water?

2 A. Again, I want to go to your definition of  
3 sludge. These sludges are in a highly liquid state.  
4 They are on the bottom of the pond. But unless you  
5 stop all movement in the pond, they're not going to  
6 compact in the bottom of the pond where you can  
7 probably reach down and grab a handful of them and  
8 pull them out because the water is going to fall  
9 through your hands.

10 Q. But if they're accumulating on the bottom  
11 of the pond, they're not going to be mixing well, are  
12 they?

13 A. Again, that depends on the velocities that  
14 you maintain in there. You don't want those solids up  
15 on the top. They're different types of designs,  
16 partial mix systems, total mix systems; and  
17 essentially, to my way of thinking, this is a partial  
18 mix system.

19 Q. Based on the design of your aeration  
20 system?

21 A. Based on the design of the aeration systems  
22 and the spray systems.

23 Q. Now, where was the criteria that you felt  
24 you needed to meet in order to keep those solids  
25 suspended in the water?

1 A. Well, I don't think --

2 Q. Or moving?

3 A. -- that we discussed the solids in our  
4 report. What we discussed was the availability of  
5 oxygen, and we felt like that in order to have an  
6 opportunity for the entire pond to come in contact  
7 with oxygen, that the system that was provided for  
8 mixing would provide that. That's the reason we  
9 stated we felt like it was critical to the operation.

10 Q. Well, I'm assuming that getting the solids  
11 suspended or mixing is going to require a certain  
12 velocity of the water; is that correct?

13 A. That's correct.

14 Q. Where in your design did you start or meet  
15 a criteria of velocity in the water to keep those  
16 solids suspended?

17 MR. DEAN: I'm going to object because Mr.  
18 Cheney didn't design anything. Mr. Horner keeps  
19 referring to Mr. Cheney's design. I don't know what  
20 he's talking about. Mr. Cheney evaluated the design;  
21 he didn't design anything.

22 A. We evaluated the oxygen requirement.

23 Q. (By Mr. Horner) Did you evaluate whether or  
24 not solids would be --

25 A. No.



1 Q. -- mixed?

2 A. No.

3 Q. So then your statement that, in fact, the  
4 solids and sludges would be moving and mixed is  
5 actually without foundation then?

6 A. That's not correct. It's based on  
7 experience and the amount of volume of water that  
8 they're moving.

9 Q. I'm trying to figure out what that criteria  
10 is. How do you come to that determination?

11 A. Well, I would tell you if I were going to  
12 make a calculation, which I haven't here, but I would  
13 consider the amount of volume that's being moved and  
14 the configuration of the pond to see what velocities  
15 might be developed.

16 Q. But you haven't done that?

17 A. No.

18 Q. In your initial assumptions that you were  
19 using, I believe in your evaluation of this system  
20 that you're talking about and trying to reach the  
21 appropriate oxygen residual level in the pond, you  
22 used a figure here, a percent efficiency per foot of  
23 emersion depth is equal to 1.0. What is that all  
24 about?

25 A. The efficiency multiplier that you use

1 there per foot of depth, the greater depth you have,  
2 the more efficient transfer you have.

3 Q. So in 12 feet you're 12 percent?

4 A. That's correct.

5 Q. Now then, does this require an increased  
6 volume of air?

7 A. That's how the calculation is made, that's  
8 correct.

9 I want to back up there just a little bit.  
10 Not necessarily an increased volume of air, but that  
11 percentage is used to calculate the volume of air.

12 Q. Now, I believe Mr. Dean has talked about  
13 you being reasonably familiar with hydrogen sulfide  
14 generation and problems; is that correct?

15 A. That's correct.

16 Q. Are you familiar with the EIB ambient air  
17 quality standards with regard to hydrogen sulfide?

18 A. Only really what we've heard here.

19 Q. Now, I thought you stated that you designed  
20 waste water systems.

21 A. I do.

22 Q. And that they quite often have hydrogen  
23 sulfide problems.

24 A. Not the ones I design.

25 Q. But you're trying to come up with designs

1 that eliminate hydrogen sulfide problems?

2 A. That prevent them from occurring.

3 Q. Then you must be looking at some sort of  
4 design criteria with regard to hydrogen sulfide.

5 A. No, sir.

6 Q. I'm confused. Elaborate, please.

7 MR. DEAN: I'm going to object. That's not  
8 a question.

9 EXAMINER STOGNER: Restate your question,  
10 Mr. Horner.

11 Q. (By Mr. Horner) If, in fact, you design  
12 systems that don't have hydrogen sulfide problems; is  
13 that correct?

14 A. That's correct.

15 Q. Is it your testimony then that you design  
16 systems that have zero hydrogen sulfide generation in  
17 them?

18 A. We design systems that are maintained in an  
19 aerobic condition.

20 Q. Such that there is zero hydrogen sulfide?

21 A. Not that there's zero hydrogen sulfide, but  
22 they are in an aerobic condition and the hydrogen  
23 sulfide that might be produced is reduced.

24 Q. Well, when do you know that you have  
25 reduced the level of hydrogen sulfide to a level that

1 is not a problem?

2 A. Well, if you maintain a system in an  
3 aerobic condition, you basically are not going to  
4 create any hydrogen sulfide at all; there's no  
5 anaerobic bacteria that will develop. I'm not saying  
6 that there are not some pockets throughout a system  
7 entirely, and that's the reason that mixing is  
8 critical.

9 Q. Do the facilities that you design require  
10 permitting or approval or compliance with regulations  
11 of the EIB?

12 A. Yes.

13 Q. Are you familiar with their requirements on  
14 hydrogen sulfide?

15 MR. DEAN: Asked and answered.

16 MR. HORNER: If he answered it, I don't  
17 know what the answer is.

18 MR. DEAN: No.

19 A. We haven't had any that we've designed  
20 where we have had -- you have to have a known source  
21 of hydrogen sulfide before it becomes critical. We  
22 haven't had any that's produced a known source. So we  
23 haven't had that problem.

24 Q. (By Mr. Horner) Well, it may not have  
25 become critical, but, in fact, are there not

1 guidelines that have to be met?

2 MR. DEAN: I'm going to object. That's the  
3 third time he's asked the question. I think he's  
4 answered it. If Mr. Horner doesn't like his answer  
5 and wants to argue with the witness, I object to  
6 sitting here and listening to him argue with the  
7 witness.

8 MR. HORNER: He has yet to elaborate on the  
9 criteria set forth by the EIB with regard to hydrogen  
10 sulfide levels that are acceptable.

11 MR. DEAN: He doesn't know what they are.  
12 He said he's not familiar with them, except what he's  
13 heard here today.

14 MR. HORNER: That's your testimony.

15 EXAMINER STOGNER: Gentlemen, I'm going to  
16 sustain your motion. Carry on, Mr. Horner.

17 Q. (By Mr. Horner) Well, having dealt with the  
18 EIB, would it be your understanding that this  
19 particular facility would require a permit from the  
20 EIB?

21 A. No.

22 Q. Why is that?

23 A. I don't think it's a known source  
24 producer. It hasn't produced a quantifiable amount of  
25 hydrogen sulfide to this point. And it's my

1 understanding that the EIB regulations come in when  
2 you have a known production of contaminant, and we  
3 don't know that this facility is producing that.

4 Q. Basically, if you don't put any hydrogen  
5 sulfide monitors around the facility, therefore you  
6 never know that there's a hydrogen sulfide problem,  
7 you will never have to comply with the environmental  
8 regulations?

9 A. You're going to smell it if there's  
10 problems.

11 Q. So if you smell it, then you've got to  
12 comply with the EIB regulations?

13 A. Then you may have a known source of  
14 production, and if they come in, then you're going to  
15 have to comply.

16 Q. Well, with your waste water systems, are  
17 you required to get an EIB permit?

18 A. Yes.

19 Q. And demonstrate that you are complying with  
20 their regulations?

21 A. That's correct, but not for air.

22 Q. Not for air?

23 A. It's water quality.

24 Q. In your waste water systems, is there  
25 anybody that regulates air quality?

1           A.       Not that I'm aware of. I'm assuming that,  
2 again, going back to if it produces a known  
3 contaminant that causes a problem, then EIB is going  
4 to regulate it.

5           Q.       So far then you have never had to deal with  
6 the EIB on your systems? I mean, you're gotten  
7 permits, but --

8           A.       I deal with them on a regular basis for  
9 water quality. There are different bureaus over  
10 there, water quality, air quality, groundwater  
11 section, surface water division, maybe some others  
12 that I'm not aware of.

13          Q.       So to date on your waste water systems or  
14 other systems you've designed, you've never had to get  
15 an air quality permit from the EIB?

16          A.       That's correct.

17          Q.       Now, at one point I believe you were  
18 talking about oxygen demands in this pond of point  
19 five parts per million; is that correct?

20          A.       No, that's not correct.

21          Q.       I think you stated that maybe you were  
22 misstating it. Is there any relationship where point  
23 five milligrams per liter is equivalent to point five  
24 parts per million of oxygen in the water?

25          A.       Milligrams per liter and parts per million

1 are identical terms.

2 Q. So they're used interchangeably then?

3 A. Well, they're identical terms.

4 Q. So then you may have stated point five  
5 parts per million?

6 A. Demand?

7 Q. Residual levels.

8 A. Residual.

9 MR. HORNER: I have nothing further of this  
10 witness at this time.

11 EXAMINER STOGNER: Mr. Dean.

12 MR. DEAN: Nothing else, Mr. Examiner.

13 EXAMINER STOGNER: Mr. Stovall.

14 MR. STOVALL: I can't let Mr. Cheney go  
15 yet.

16 EXAMINATION

17 BY MR. STOVALL:

18 Q. I just want to make sure that I understand  
19 some of the things that you're talking about. As I  
20 tell our oilfield folks, I sometimes venture into  
21 geology because I have a little bit of understanding  
22 of that. Engineering is really dangerous for me, but  
23 I'm going to give it a try.

24 A. It's dangerous for everybody.

25 Q. Now, the starting point of my inquiry is in



1 your report you're talking about maintaining a  
2 dissolved oxygen content of point five milligrams per  
3 liter. Is it your opinion that that level of oxygen  
4 content is sufficient to -- assuming all the mixing  
5 standards that you've talked about and it's pervasive  
6 throughout the water system -- is that sufficiently  
7 aerobic to prevent the growth of bacteria we're  
8 concerned about?

9 A. Yes, if you maintain a residual in the pond  
10 of point five, it will be an aerobic pond.

11 Q. Mr. Horner asked you some questions -- I'm  
12 not sure where he got the numbers -- somehow you got  
13 into a two milligram per liter number. What was that  
14 number that he was alluding to?

15 A. I had mentioned in the discussion here,  
16 there's very little knowledge about the actual oxygen  
17 demand. In waste water systems, for years the rule of  
18 thumb was if you could maintain a dissolved oxygen  
19 level of two milligrams per liter, then you had  
20 sufficient mixing of the system. It had nothing to do  
21 with the demand, but it had more to do with the mixing  
22 of the system. What I was trying to point out here in  
23 this system that we have a mechanical mixing system,  
24 so that I think that you can safely say that you can  
25 utilize a lower residual in this pond due to the

1 mechanical mixing methods that are there.

2 Q. What you're saying is that the point five  
3 milligram per liter oxygen content is the necessary  
4 oxygen saturation of the water to maintain the aerobic  
5 state, and anything in excess of that isn't necessary  
6 to prevent the growth of anaerobic bacteria, but it  
7 may be necessary in design purposes for other factors,  
8 such as mixing?

9 A. That's correct.

10 Q. And then based upon an evaluation of their  
11 system, are you satisfied -- and I believe that's what  
12 you said, but correct me if I'm wrong -- that the  
13 proposed system design will provide sufficient mixing,  
14 that you don't need to have this higher oxygen content  
15 to insure that the mixing is adequate; is that  
16 correct?

17 A. That's correct.

18 Q. Now, the last question I've asked is based  
19 upon your engineering analysis that, in fact, this  
20 system will provide sufficient mixing and will  
21 maintain the adequate oxygen level.

22 A. That's correct. Again, that has to be  
23 qualified some as to the oxygen demand that might be  
24 in the water. And that's assuming that in their  
25 operation of the system that they maintain a low

1 oxygen demand of the waters that they place into the  
2 system.

3 Q. When you say low oxygen demand in the  
4 water, you're talking about the water that comes off  
5 the truck and goes into the receiving tank?

6 A. That's correct.

7 Q. How do you maintain that low oxygen demand?

8 A. Well, they've said that if they have  
9 certain levels of hydrogen sulfide in the incoming  
10 trucks, then they're going to treat it with chlorine.  
11 The chlorine and the oxygen do the same thing, they're  
12 both reducing agents. And the chlorine then will  
13 substitute that oxygen demand so that there's not as  
14 high an oxygen demand going into the pond as there was  
15 coming right off the truck.

16 Q. Is it your recommendation then that if  
17 there is any identified H<sub>2</sub>S in the truck coming in  
18 that there be some treatment of that to eliminate the  
19 H<sub>2</sub>S before it hits the pond?

20 A. I think that there would be some level  
21 there that would be acceptable. I would say that if  
22 you have a detectable level of H<sub>2</sub>S that you have to  
23 treat it, H<sub>2</sub>S. And then again, depending on the  
24 detectable levels -- H<sub>2</sub>S is a gas that you can smell  
25 and at levels as low as maybe 500ths of a milligram

1 per liter. But if it's in water and it's as low as  
2 500ths of a milligram per liter, you can detect the  
3 presence of the H<sub>2</sub>S in the water.

4 Q. In other words, if you smell it, you ought  
5 to treat?

6 A. No. If you have a truck that's coming in  
7 there, say, that's less than half a milligram per  
8 liter, then I think you're safe in putting that truck  
9 into the pond because the pond has such a larger  
10 volume that just 3,000 gallons going into the pond at  
11 half a milligram per liter is not going to raise the  
12 entire amount of hydrogen sulfide in that level beyond  
13 the half a part per million residual that you have.  
14 If you have a truck that comes in maybe with one part  
15 per million hydrogen sulfide, then I think you should  
16 probably treat it before you put it in the pond.

17 Q. Mr. Cheney, I'm asking these questions to  
18 help us develop these standards.

19 A. I understand.

20 Q. Is it your engineering opinion then that if  
21 we were to write a standard with respect to acceptable  
22 H<sub>2</sub>S contamination that the half milligram per liter  
23 would be an appropriate standard to put in, that above  
24 that level it should be treated?

25 A. I think, again, there's some variables

1 there I think maybe that you might want to assume  
2 before you do that. Say that we're going to assume  
3 that there is a one part per million oxygen demand in  
4 all incoming waters, and that you must -- is my client  
5 helping pay for writing these regulations? Is it all  
6 right if I give my opinion on that?

7 Q. I'm asking for it.

8 A. I think that there needs to be some kind of  
9 criteria because nobody knows exactly what the oxygen  
10 demands in these waters are, particularly in New  
11 Mexico. I think maybe you say, "Okay, we're going to  
12 assume that the oxygen demand of all waters is one  
13 part per million."

14 Q. You're talking about the water coming in  
15 because it's -- for some reason it doesn't have  
16 sufficient oxygen in it coming out of the ground and  
17 into the truck to prevent the anaerobic state and  
18 growth of bacteria?

19 A. That's correct. So for some reason that  
20 oxygen demand is one part per million, and we want you  
21 to then maintain a half a part per million residual in  
22 the pond. So actually what you've got to do then is  
23 you've got to put in one-and-a-half parts per million  
24 of oxygen because you have to supply the demand and  
25 maintain the residual. At that point then you'd say

1 if you have any trucks that come in that have an  
2 oxygen demand in excess of one milligram per liter of  
3 hydrogen sulfide, then you have to treat it, because  
4 you're going to have the oxygen, you're going to be  
5 supplying the oxygen in the pond itself, at that  
6 level. At the one part per million level, if you make  
7 that kind of a regulation, then you will be supplying  
8 the oxygen demand in the pond itself, plus maintaining  
9 a residual. And then above that level -- and this  
10 could be -- you could pick whatever levels you want.  
11 And I don't know, maybe from some experience here you  
12 can develop what levels might be reasonable.

13 Q. This is what I'm trying to do is draw upon  
14 your technical expertise. And the answer is yes, your  
15 client is paying to develop these standards.

16 A. I would think that a -- I would think -- we  
17 haven't done this here. If you say, "Okay, we're  
18 going to assume that the demand is one part per  
19 million, and we want you to maintain a one part per  
20 million residual," then you have to have more blowers  
21 or larger horsepower blowers to do that.

22 Q. But you've already testified that you  
23 believe that point five parts per million is a  
24 sufficient --

25 A. Residual. I'm not sure what's a reasonable

1 assumption for the demand.

2 MR. DEAN: If I can interject. What I hear  
3 is that the residual needs to be the point five, but  
4 what he doesn't know is what oxygen demand the water  
5 coming in has, and that perhaps that's where some  
6 testing needs to take place is to determine that.

7 Q. (By Mr. Stovall) When you're talking about  
8 demand, you're talking about the demand of the  
9 incoming water, not of the pond itself.

10 A. That's correct. But essentially then the  
11 incoming water, if you just dump it into the pond,  
12 that's going to become the demand of the whole pond as  
13 well.

14 Q. If the water in the pond is at point five  
15 residual, and you dump in 3,000 gallons of one part  
16 per million demand, it's not going to raise the whole  
17 pond to one, it's going to raise it to something above  
18 point five.

19 A. No, it will reduce the point five.

20 Q. Reduce the residual?

21 A. Yes.

22 Q. But not to zero or minus point five?

23 A. Again, that one truck won't, no.

24 Q. Let's go back to how do we prevent this  
25 problem from occurring if our target is to maintain a

1 residual of point five, and we assume a demand on an  
2 incoming truck of -- is there a way to measure the  
3 demand of any given truckload?

4 A. Yes.

5 Q. How would you do that?

6 A. You could test it for -- probably hydrogen  
7 sulfide is going to be the largest contaminant that's  
8 going to provide a demand on the oxygen. And I think  
9 probably at that point, the best thing to do, if it's  
10 above a certain level, I don't know whether it's --  
11 I'd want to think about that, maybe do some  
12 calculations a little bit -- but if it's above a half  
13 a part per million or one part per million, then you  
14 treat it before you put it in the pond.

15 Q. You're saying somewhere between a half a  
16 part per million and one part per million, H<sub>2</sub>S, in an  
17 incoming truckload is a level at which it would be  
18 appropriate to require treating that water before  
19 disbursing it into the pond?

20 A. I'd want to be a little bit careful about  
21 that because I certainly don't want to do an  
22 overkill. You don't want odor escaping from it. At  
23 the same time, you don't want to pick a level that  
24 just is an unnecessary burden on anyone. Where that  
25 level might be on incoming waters, I think it depends



1 on the volume of the pond, on the time of year that  
2 you do it, maybe. There's just so many variables that  
3 it's hard to pick one out and say -- and I'd want to  
4 do some study on that before I said this is absolutely  
5 the cutoff that you don't do any treatment before you  
6 turn it into the pond.

7 Q. In other words, you're not prepared to make  
8 a recommendation that we could use as a condition of  
9 the permit that would say any water coming in above  
10 this level of H<sub>2</sub>S concentration must be treated before  
11 it is put in the water?

12 A. I think I would want to really take a look  
13 at that just a little bit and do some calculations.

14 Q. Is that something you're capable of doing  
15 here? If we take a break, is that something that you  
16 could do some quick calculations and come up with a  
17 recommendation?

18 A. I don't think so. I think that there's  
19 just too many variables that you have to consider,  
20 things like temperature and pH and the pond volume.  
21 And you can just go right on down the line. There's  
22 just a lot of variables there that you have to  
23 consider. And it may be that you may just have to  
24 make an arbitrary, empirical decision and say "this is  
25 what we're going to do."

1           Q.       Mr. Cheney, I think that's where we are.  
2 In the terms of a permitting process, what we have to  
3 do, of course, is to set a standard, which standard  
4 requires some action. It would seem to me that I  
5 understand what you're saying about the different  
6 variables can affect the oxygen demand. Obviously,  
7 the volume of water in relation to volume of the pond  
8 is one of the most obvious to me as a non-engineer.  
9 However, in order to issue this permit, I think we  
10 need to keep it as simple as possible and come up with  
11 an absolute level that once it exceeds this level  
12 under any conditions, there is going to be some  
13 treatment required. Now, in setting that level, we  
14 can look at two things; the potential impact upon the  
15 pond in total, and the impact upon the operator in  
16 conducting the treatment operations. How expensive is  
17 it to, say, treat a 3,000 gallon truckload of water?

18           A.       That, again, I don't know, and that depends  
19 on the amount of H<sub>2</sub>S that would be in the water  
20 because, obviously, the more it is in there, the more  
21 chlorine required.

22           Q.       How much does chlorine cost?

23           A.       Probably 60 cents a pound, depending on how  
24 you buy it.

25           Q.       Let me go to another question. I believe

1 you heard Mr. Frank yesterday discuss a level at which  
2 they would not accept and treat H<sub>2</sub>S, and I think he  
3 used 22. He recommended 50, said they had never  
4 gotten any higher than 22, but anything higher than 50  
5 they would definitely turn away and require the oil  
6 operator or the trucking company to treat that before  
7 they could accept it to reduce it below that 50 level,  
8 or whatever that level is. Do you have a  
9 recommendation with respect to that level, the level  
10 of H<sub>2</sub>S concentration in a truckload of water above  
11 which they should not accept the water?

12 A. I think that depends, again, on the design  
13 of your system and what the person that's taking the  
14 water is capable of doing. If he designs a facility  
15 that could put the amount of chlorine that's required  
16 into a 3,000 pound load to reduce 50 parts per million  
17 to an acceptable level, then maybe he'd want to go  
18 ahead and take it. So I think that's a design  
19 situation that you'd have to review on an as proposed  
20 basis and see -- make the determination whether they  
21 had that kind of capability or not.

22 Q. Somehow out of this hearing we're going to  
23 come out with a level that's required to be treated  
24 and a level which cannot be accepted. I think we're  
25 probably going to lean towards a conservative approach

1 to that. Bear in mind that part of your testimony  
2 here, which I find most helpful and valuable, is that  
3 you've stated that in your design concepts where you  
4 design a design, it is your design concept to prevent  
5 the creation of an anaerobic condition which can  
6 result in the facility becoming a source generator of  
7 H2S.

8 A. That's correct.

9 Q. And it seems to me essential that one of  
10 the elements of that design has got to be the source  
11 of fluid coming in. We're talking about an oil  
12 produced salt water disposal facility in the oil  
13 industry, and so we're going to narrow this design and  
14 say we want to prevent this facility from becoming an  
15 H2S source generator. And one of the elements that  
16 we've got to put into that is a standard for the  
17 incoming water going into the facility. If I  
18 understand your testimony correctly, as long as we  
19 keep that level of potential source generation at a  
20 low enough level, then the facility itself does not  
21 become a source generator; if we allow it to exceed a  
22 level, then it has a potential to become a source  
23 generator.

24 A. That's correct.

25 Q. What I'm asking you now to do -- granted,

1 I'm putting you on the spot -- but I'm asking you to  
2 help us come up with these levels which we are going  
3 to impose and make them reasonable so that we  
4 eliminate the source problem but not overkill the  
5 treatment situation. Can you help me with that?

6 A. I think that I probably can; but, again, I  
7 want to be a little bit careful. What if you have an  
8 operator that came into you and said, "Look, we want  
9 to design a facility and build one in which we can  
10 take hydrogen sulfide levels of 50 or 75 milligram per  
11 liter."

12 Q. When we're defining this standard, we are  
13 defining the standard for this specific facility.  
14 It's not going to be a generic rule-making. Anything  
15 I'm talking about here is very site specific to this  
16 facility.

17 A. I misunderstood that then.

18 Q. I'm sorry.

19 A. It is site specific.

20 Q. Absolutely; and this site, this facility  
21 that you've actually done work on is the one we're  
22 concerned with.

23 A. I think probably 25 to 30 milligrams per  
24 liter should be acceptable.

25 Q. As far as the treating, you've thrown out

1 the number of one NGL. Above that would you suggest  
2 that the treatment be done to the truckload before  
3 it's put in the pond?

4 A. I think I'd want to visit a little bit -- I  
5 think that would depend a little bit -- I'd like to  
6 talk to my client about that.

7 Q. When we take a break, certainly I would ask  
8 that you do that. I've got a few other things I'd  
9 like to go through first.

10 Mr. Cheney, I want to make sure we now have  
11 -- I think you've identified the goal for us at this  
12 point is to prevent this facility from becoming an H2S  
13 source. And now I want to make sure that -- we're  
14 talking now about the pits themselves, the ponds  
15 themselves in terms of -- if I understand you  
16 correctly, what we need to do is maintain an oxygen  
17 content of half a milligram per liter in the ponds --  
18 what's the proper term to describe that?

19 A. Residual.

20 Q. Residual. And part of your -- what you  
21 were asked to do was insure that the oxygenation  
22 system that they've designed will maintain that level  
23 of oxygen in the pond; is that correct?

24 A. Well, not exactly. Assuming that there is  
25 very little oxygen demand on the waters going in,

1 that's correct.

2 Q. We've addressed that -- we're going to  
3 address that with the standards you're going to talk  
4 with your client about. We're going to talk about the  
5 residual standards that are in the pond, assuming we  
6 don't create a burden on the oxygen, so to speak. So  
7 you've said that this 32 -- is it a 32 horsepower  
8 circulation system, is that alone adequate to maintain  
9 that standard?

10 A. No.

11 Q. Assuming the mixing, assuming the adequate  
12 mixing?

13 A. The aeration system, not circulation  
14 system. But I think that with the mixing -- and if  
15 you have a demand, oxygen demand, basically at less  
16 than a half part per million, then that you will be  
17 able to maintain that residual with this -- keep in  
18 mind too, if I might, one other thing; I don't know  
19 that there's a good way to quantify it exactly without  
20 some -- the mixing system and the spray system is also  
21 going to provide oxygen to the water. Let me tell you  
22 a little bit about that. Are you familiar with the  
23 surface aerator that just pulls water up and throws it  
24 out and lets it go back in?

25 Q. I'm familiar with the Amaco system up on

1 the Cedar Hill area.

2       A.       That's an evaporation. What I'm talking  
3 about is you have a floating aerator out in the pond  
4 that it's essentially a propeller type pump that pulls  
5 water in, throws it up three or four feet in the air  
6 and lets it fall back in. And the general rule of  
7 thumb is there that you will get two pounds of oxygen  
8 transfer per horsepower per hour. Now then, what  
9 makes it a little more difficult with this spray  
10 system that's for evaporation is that you have a lot  
11 smaller droplet size, your nozzle's a lot smaller  
12 because in evaporation you're interested in the  
13 surface area. So the more droplets you have, the more  
14 surface area you're going to have, and the easier it  
15 is to evaporate it.

16               But even assuming -- I think this was a 150  
17 horsepower pump? If it puts -- if it puts in a tenth  
18 of a pound of oxygen per horsepower per hour, that's  
19 what? A tenth of 150 is 15 pounds. You're going to  
20 be putting 15 pounds of oxygen per hour in the water.  
21 And the total oxygen demand on the entire system per  
22 day for a half a part per million residual was 27  
23 pounds. So I think, really, that with the spray  
24 system that you're going to be providing oxygenation  
25 as well as mixing. And so I think you have quite a



1 redundancy here for oxygen supply.

2 Q. One last question then. The entire system  
3 as it's designed, including the aeration system that  
4 you've reviewed here and their spray system which is  
5 primarily for evaporated purposes but would have some  
6 oxygenation benefit, is it your opinion as an engineer  
7 that the combined system will provide sufficient  
8 oxygen in the water to maintain the level necessary to  
9 avoid an anaerobic condition from developing?

10 A. Yes, if --

11 Q. If all the conditions that you've specified  
12 are met?

13 A. If the initial demand is low.

14 Q. And that's the part you're going to discuss  
15 with your client during the break?

16 A. That's right.

17 MR. STOVALL: I have no further questions  
18 on that issue at this time.

19 EXAMINER STOGNER: Let's take about a  
20 15-minute recess at this time.

21 ((Recess, 2:45 p.m. to 3:02 p.m.))

22 EXAMINER STOGNER: This hearing will come  
23 to order.

24 Mr. Stovall.

25 Q. ((By Mr. Stovall)) Mr. Cheney, I assume

1 you're now prepared to answer the questions regarding  
2 the levels above which -- above what levels should the  
3 facility operator treat incoming water before it goes  
4 into a pond?

5 A. In light of your explanation that this is  
6 site specific, I don't think I'm prepared to answer  
7 that, for several reasons: Number one, without  
8 further study, I'm not prepared to make it because I  
9 don't want to make my client's pond the least  
10 competitive since this is -- in addition to providing  
11 a benefit to society, it's also a capitalist-type  
12 project. I don't want to make them less competitive,  
13 and I'm afraid that if we do that and that criteria  
14 applies only to my client, then I may have decreased  
15 their competitiveness in the market.

16 Q. And you say that with the understanding  
17 that if you don't put your input into it, we may have  
18 some OCD staff people, for example, that may set a  
19 level that would be required?

20 A. I think I'm willing to do that input, and I  
21 think my client is willing to let me do that input,  
22 but I think we need to review the costs and the  
23 various options at what levels that we might be able  
24 to operate in and then give you what we would feel  
25 like would be guidelines at that point. Just to sit

1 here today and do it without some further research  
2 into it, I'm not prepared to do that.

3 MR. DEAN: Mr. Stovall, we're willing to  
4 pay him to do that. We're not saying that we don't  
5 agree with your theory. In fact, I do agree with it,  
6 so does my client. But they would like to have the  
7 time to try to come up with the most effective, both  
8 cost and treatment-wise to do that.

9 MR. HORNER: May I make a comment? It's  
10 not in the framework of an examination, and I'm  
11 obviously not --

12 MR. STOVALL: You're address it to us and  
13 not the witness; is that correct?

14 MR. HORNER: Yes. It looks like here what  
15 we need is a system that's designed by an engineer,  
16 areation systems, incoming load systems, sprayer  
17 systems, and just the whole concept like you would  
18 design a waste water system. With all of these  
19 factors taken into consideration, what we have here, I  
20 think it's being done just piecemeal. And Mr.  
21 Cheney's only involvement to date has been in sizing  
22 one aspect of this system, an areation system; and so  
23 you don't have a system that has been designed  
24 properly.

25 MR. STOVALL: Mr. Horner, let me stop you

1 right here. At the moment, basically what you're  
2 doing is you're making an argument that would go to  
3 the granting of this permit or the evidence of this  
4 point. I think it's an inappropriate time to do it.

5 MR. HORNER: I would like -- if I could  
6 make one further comment -- and that is I understand  
7 their concerns about imposing restrictions on this  
8 facility and not the others. And it looks like what  
9 you do need is a separate proceeding to look at the  
10 standards regarding these disposal pits from this type  
11 of system perspective.

12 MR. STOVALL: Let me address the last  
13 point. We did just discuss with the environmental  
14 staff, that if, on the basis of evidence gathered at  
15 this hearing, we determine some standard on these  
16 issues, the other facilities in the San Juan Basin  
17 have been approved administratively, and we have the  
18 authority to impose those standards on the other  
19 facilities. And that would, in fact, be -- developing  
20 this record is helpful in that regard.

21 With respect to your comments regarding the  
22 design of the system, whether it's engineer design or  
23 engineer reviewed, that becomes an evidentiary matter,  
24 and there is some legal argument that can be made at  
25 the close of the evidentiary portion of this case. It

1 is my feeling right now, although I'm not telling you  
2 that's the requirement, that we're going to ask each  
3 side to present written closing argument, if you will,  
4 supported by legal authority, and that is -- I think  
5 that's a point to raise in that argument.

6           The question is coming up at a procedural  
7 point right now. I want to look through -- just look  
8 through my notes for a minute, Mr. Cheney. But our  
9 feeling is we're probably not going to go beyond 4:30  
10 this afternoon with this case. I suspect we're  
11 looking at maybe another -- we're not going to go  
12 beyond four o'clock this afternoon with this case.  
13 It's my intention at this time to give both Mr. Boyer  
14 and Mr. Anderson from the OCD technical staff -- I  
15 think they've got some input that can be given at this  
16 point. Mr. Cheney has testified that he would like to  
17 do some calculations, and I think point out that there  
18 may be some engineering reviews which you may want to,  
19 Mr. Badsgard, ask your engineering expert to extent  
20 the study of his review and some of his questions.  
21 That's your choice; I'm not telling you that that's  
22 necessary.

23           What would be the reaction of counsel and  
24 the parties here at this time to adjourning this  
25 hearing now? I don't think we're going to finish by

1 four o'clock.

2 MR. DEAN: I'm through with him. Whenever  
3 you're through, I'm through. I have no objection to  
4 the continuation. If I can instruct Mr. Cheney to try  
5 to answer your specific question and whatever  
6 extension of that, and perhaps do it by report with a  
7 copy to Mr. Horner, and maybe avoid bringing him back  
8 down here at the cost of my client. And I understand  
9 Mr. Horner would have the right to cross-examination,  
10 I appreciate that. And maybe not -- I don't know  
11 mind, and I don't think my client would mind that I  
12 come back down here and listen to Mr. Anderson and Mr.  
13 Boyer with Mr. Badsgard at a different time. If  
14 that's what you're asking, I don't have any objection  
15 to that. I feel like we're finally getting somewhere  
16 with where you went with these questions, and I  
17 certainly want to answer them, and my client wants  
18 that question answered too.

19 MR. STOVALL: This is a unique case. It's  
20 the first time we've had a hearing to permit one of  
21 these facilities. We're developing a lot of useful  
22 information. On one specific issue, the information  
23 that we're developing may be applied administratively  
24 to the other permitted facilities in the basin,  
25 because if it's sound for one, it should be sound for

1 the others.

2 MR. DEAN: My client appreciates hearing  
3 that. One of my other clients though may not  
4 appreciate it.

5 MR. STOVALL: Recognizing Mr. Cheney's  
6 expertise in the area and his understanding, I believe  
7 you stated that you do have the ability to make some  
8 calculations in this area, I would like to have your  
9 guidance on those issues. I think they're important  
10 to prevent the harms that we're trying to prevent.

11 MR. DEAN: We have no problem with that.

12 MR. STOVALL: Trying to think if there's  
13 anything else. I've raised the issue of a design  
14 criteria which Mr. Horner has addressed. And whether  
15 you need to take further review, that's your option.  
16 I'm not expressing an opinion one way or the other for  
17 the division on that. I'm looking to see if there are  
18 any other engineering issues which might be -- no  
19 committees meetings next week or anything bringing you  
20 to Santa Fe, Mr. Cheney?

21 WITNESS: No committee meeting.

22 MR. DEAN: We're not totally adverse to  
23 bringing him back down. I'm just saying that's  
24 something that I'd like to have the opportunity to try  
25 to avoid, if I could.

1           MR. STOVALL: Now, as far as the scheduling  
2 of the reconvening of this hearing, is there --

3           MR. HORNER: I'd like to make a couple of  
4 comments. It sounds to me like what really would be  
5 required here to do this job properly, especially if  
6 we're going to recess and go away and let Mr. Cheney  
7 do some work on this system here, it looks like the  
8 system needs to be designed with some criteria, such  
9 as minimum residual oxygen in the pond, what levels  
10 are going to be accepted into the pond, what levels of  
11 water must be treated before being put in the pond,  
12 what levels will be refused, the design of the  
13 aeration system and the spray system to accomplish  
14 these ends, the number of loads that will be  
15 accepted. We're talking about what would happen if  
16 you put 3,000 gallons in the pond. Mr. Frank was  
17 talking about possibly 50 loads a day; that's 150,000  
18 gallons in the pond. And the impact --

19           MR. STOVALL: On these comments, let's not  
20 -- we're talking about the example of 3,000 gallons of  
21 -- containing H<sub>2</sub>S.

22           MR. HORNER: We're talking about a  
23 possibility of 50 loads a day though, and maybe they  
24 don't all contain H<sub>2</sub>S. But what I'm saying is if  
25 we're going to go away and Mr. Cheney is going to be



1 doing some work on this, that it looks like all of  
2 these things need to be considered. But where you're  
3 headed then is to come up with some standards and some  
4 restrictions for this particular application, looking  
5 at applying these same standards and restrictions to  
6 the other facilities. But in that regard, it looks  
7 like you're beginning to promulgate rules for the  
8 industry which needs a whole review process and input  
9 by everybody involved.

10 MR. STOVALL: No, this is a very site  
11 specific application. If the information there is  
12 deemed relevant by the staff, the other facilities  
13 have been permitted administratively, and they have  
14 the authority within the scope of their permit to  
15 modify the standards, based upon information which  
16 becomes available. This is not a rule-making  
17 proceeding; this is a permitting proceeding. I'm  
18 making no promises that that will occur. We are  
19 designing this specific facility.

20 You're correct, the purpose of this hearing  
21 -- we've got two steps in the process. We are  
22 designing, if you will, permitting conditions based  
23 upon the factual scientific evidence taken here, what  
24 conditions must be satisfied in order for this  
25 facility to be permitted. The items you've identified

1 are factors which will be considered as possible  
2 conditions for permitting. The second part of that is  
3 then does the facility satisfy those conditions that  
4 we are establishing.

5           As pointed out previously, in previous  
6 cases, these have been established administratively  
7 through correspondence and communication between  
8 applicants and the environmental bureau outside the  
9 hearing process. It's an administrative issue. By  
10 bringing in the hearing process, it's somewhat more  
11 formal. It's more detailed and beneficial, but it is  
12 still a proceeding in which we establish the  
13 standards, decide if they're met. The applicant has  
14 the burden of going forward and showing that --  
15 providing evidence of what standards should be  
16 established and whether they can meet them. You have  
17 the opportunity, representing interested land owners  
18 in the vicinity, to present evidence on those same  
19 issues. And how you do so is entirely up to each of  
20 you. Based upon the record then, we will decide  
21 whether to permit this facility or not.

22           The next step of that process, which is  
23 totally outside the scope of this hearing, and I'm  
24 just advising that our bureau has the authority to go  
25 and revise permit standards for administratively

1 approved facilities. We don't have a set of rules  
2 that specify facilities will be constructed in  
3 accordance with these standards. They are all site  
4 specific. Every single one that's approved by us is  
5 site specific, for a reason, because site conditions  
6 are different, facilities are different, their  
7 purposes are different.

8 I will tell you and will make available to  
9 you this afternoon a document entitled "Guidelines for  
10 Permit Application Design and Construction of Waste  
11 Storage and Disposal Pits." This has been developed  
12 by the Oil Conservation Division. And it is nothing  
13 more than guidelines. It's what they use as a  
14 starting point in the review of specific facilities.  
15 Mr. Boyer or Mr. Anderson will testify more fully into  
16 these when they are called to the stand. Some of the  
17 guidelines may be inapplicable to specific facilities,  
18 in some cases they may apply some additional standards  
19 outside the scope of the guidelines.

20 MR. DEAN: Is that the revised 888?

21 MR. STOVALL: Yes.

22 MR. DEAN: I have a copy.

23 MR. STOVALL: Mr. Horner, do you have a  
24 copy?

25 MR. HORNER: I believe I do.

1           MR. STOVALL: This is the tool that is  
2 used, but it's not a regulatory requirement that must  
3 be satisfied. This is a technical hearing, and the  
4 decision will be made based upon the record that's  
5 made here. So I think it's up to the applicant.  
6 They've heard what you've said. If they feel it  
7 necessary to satisfy their burden of, you know,  
8 establishing that this facility is permissible and  
9 under what conditions, they're welcome to do so, and  
10 if, given this time, you wish to develop a record,  
11 however you wish to do it, you're welcome to do so as  
12 well. That's what this process is about, is  
13 developing a record.

14           Any further comments with respect to  
15 procedural matters?

16           MR. DEAN: I technically rest my part of  
17 the case except for this additional information that  
18 we want to submit. It's my understanding that the  
19 protestors have no witnesses or evidence other than  
20 their exhibits they've already introduced, and that  
21 you, as staff, want to present some testimony at the  
22 end of all of that from Mr. Anderson and Mr. Boyer,  
23 which I don't mind. My concern about when the  
24 continuation may occur is twofold: Mr. Cheney informs  
25 me he would like at least a week to do it, to do the

1 numbers. And I'm sure my client is sitting in  
2 Farmington going "when am I going to hear what I have  
3 to do or not to do." And I don't want to delay that  
4 process any longer than I have to. Then I don't want  
5 to rush into it either, but I also don't want to delay  
6 it past that. So Mr. Cheney needs about a week. I'm  
7 available. I'm not scheduled out of town any time  
8 within the next three or four weeks, two or three  
9 weeks.

10 EXAMINER STOGNER: I'm sure Mr. Horner  
11 doesn't object to any delay in this proceeding.

12 MR. HORNER: My clients are having to pay  
13 for me coming down here too, and so we're looking at a  
14 date hopefully not very far away.

15 MR. STOVALL: We're talking about not if  
16 but when at this point. There will be a day three.

17 MR. DEAN: It may not involve all the  
18 players, if I can maybe work around that.

19 MR. HORNER: Now, Mr. Dean did allude to  
20 the fact that at this point I don't have any  
21 witnesses; but as I have previously stated, I did want  
22 to go over this Basin case with Mr. Anderson. I  
23 thought that was what we were going to do. And Mr.  
24 Dean may want to demonstrate how what's in this case  
25 is not what's going on here. But this Basin case will

1 demonstrate that these sites do have a very  
2 significant potential for creating problems. Maybe  
3 they have adequately addressed those, but, you know,  
4 that sort of thing I think does need to be discussed.  
5 So it's not to say that I have no case to present from  
6 here, and there are things that are going to take some  
7 time when Mr. Dean finishes. And so, you know,  
8 there's more to coming back than just listening to Mr.  
9 Cheney.

10 MR. STOVALL: Yes, quite a bit more. If it  
11 were only to listen to Mr. Cheney, we would continue  
12 here and have him submit a report.

13 MR. DEAN: I thought I said I knew Mr.  
14 Anderson and Mr. Boyer were going to testify, but  
15 maybe I didn't.

16 EXAMINER STOGNER: At this point,  
17 gentlemen, may I offer -- you want to go off the  
18 record at this point so you can discuss it?

19 MR. STOVALL: Let me advise the examiner  
20 and the parties that as of this time, I will not be  
21 here the week of the 25th of June, through that entire  
22 week. So that knocks out that week.

23 MR. DEAN: That would certainly speed up  
24 the hearing a lot.

25 EXAMINER STOGNER: At this point, why don't

1 I suggest that we take a five-minute recess so that  
2 you can discuss it amongst yourselves informally?

3 (Recess, 3:21 p.m. to 3:20 p.m.)

4 EXAMINER STOGNER: We're back on the  
5 record, Mr. Horner.

6 RECROSS-EXAMINATION

7 BY MR. HORNER:

8 Q. I believe you stated here a little bit ago  
9 that the 32 horsepower aeration system that you had  
10 evaluated or designed would be sufficient to maintain  
11 the required oxygen level demand in the pond. Is that  
12 what your testimony was?

13 A. With the mixing that's available.

14 Q. Now, the mixing that's available, is that  
15 from the aeration system, or is that also requiring  
16 the use of a spray system?

17 A. Requires the use of a spray system.

18 Q. So the 32 horsepower aeration system, in  
19 your opinion, then is not sufficient in and of itself  
20 to maintain the required oxygen levels in the pond?

21 A. That's correct.

22 MR. HORNER: That's all I have.

23 EXAMINER STOGNER: Are there any other  
24 questions of Mr. Cheney at this time?

25 MR. STOVALL: I don't have any.

1 MR. DEAN: None from me, Mr. Examinar.

2 EXAMINER STOGNER: He may be excused.

3 Mr. Stovall, do you have anything further?

4 MR. STOVALL: I have nothing further,  
5 except I recommend that this hearing be reconvened on  
6 the 22nd of June.

7 EXAMINER STOGNER: If there are no  
8 objections from the counsel in this case, it will be  
9 continued. We'll reconvene at 8:30.

10 MR. DEAN: If you would make it nine, we  
11 can all fly in that night.

12 EXAMINER STOGNER: Nine o'clock, Friday,  
13 June 22nd, in that case. We will see you gentlemen  
14 then.

15 (Proceedings concluded at 3:30 p.m.)

16

17

18

19

20

21


22

23

24

25

I do hereby certify that the foregoing is  
a complete record of the proceedings in  
the Examiner hearing of Case No. 9955,  
heard by me on June 13, 15 and 22 19 90.

  
\_\_\_\_\_, Examiner  
Oil Conservation Division



1 STATE OF NEW MEXICO )

2 :  
3


3 COUNTY OF SANTA FE )

4 BE IT KNOWN that the foregoing transcript of  
5 proceedings was taken by me; that I was then and there  
6 a Certified Shorthand Reporter and Notary Public in  
7 and for the County of Santa Fe, State of New Mexico,  
8 and by virtue thereof, authorized to administer an  
9 oath; that the witness, before testifying, was duly  
10 sworn by me to testify to the whole truth and nothing  
11 but the truth; that the questions propounded by  
12 counsel and the answers of the witness thereto were  
13 taken down by me, and that the foregoing 215 pages of  
14 typewritten matter contain a true and accurate  
15 transcript as requested by counsel of the proceedings  
16 and testimony had and adduced upon the taking of said  
17 deposition, all to the best of my skill and ability.

18 I FURTHER CERTIFY that I am not related to  
19 nor employed by any of the parties hereto, and have no  
20 interest in the outcome hereof.

21 DATED at Santa Fe, New Mexico, this 5th day  
22 of July, 1990.

23  
24 My commission expires:  
Reporter  
25 January 26, 1991

  
FREDA DONICA, RPR  
Certified Shorthand  
Notary Public