

STATE OF NEW MEXICO
ENERGY, MINERALS AND NATURAL RESOURCE DEPARTMENT
OIL CONSERVATION DIVISION

IN THE MATTER OF:)
APPLICATION OF BASF CORPORATION FOR)
AMENDMENT OF ORDER NO. R-9255, AS) CASE NO. 10303
AMENDED BY ORDER NO. R-9255-A, TO)
PROVIDE FOR A HORIZONTAL DRILLING PILOT)
PROJECT, SPECIAL OPERATING RULES)
THEREFOR, A NONSTANDARD OIL PRORATION)
UNIT, AND AN UNORTHODOX OIL WELL)
LOCATION, SAN JUAN COUNTY, NEW MEXICO.)
-----)

REPORTER'S TRANSCRIPT OF PROCEEDINGS

EXAMINER HEARING

BEFORE: MICHAEL E. STOGNER, Examiner

May 2, 1991
11:30 a.m.
Santa Fe, New Mexico

This matter came on for hearing before the Oil Conservation Division on May 2, 1991, at 11:30 a.m. at the Oil Conservation Conference Room, State Land Office Building, 310 Old Santa Fe Trail, Santa Fe, New Mexico, before Susan G. Ptacek, a Certified Court Reporter No. 124, State of New Mexico.

FOR: OIL CONSERVATION BY: SUSAN G. PTACEK
DIVISION Certified Court Reporter
CCR No. 124

I N D E X

May 2, 1991
Examiner Hearing
Case No. 10303

PAGE

APPEARANCES

3

BASF WITNESS:

DAVID HOWELL

Direct Examination by Mr. Carr

4

Examination by Examiner Stogner

26

REPORTER'S CERTIFICATE

32

* * *

E X H I B I T S

Admtd

BASF EXHIBIT

1

26

2

26

3

26

4

26

5

26

6

26

7

26

8

26

9

26

10

26

A P P E A R A N C E S

FOR THE DIVISION: ROBERT G. STOVALL, ESQ.
General Counsel
Oil Conservation Division
State Land Office Building
Santa Fe, New Mexico 87504

FOR BASF CORPORATION: CAMPBELL & BLACK, P.A.
Attorneys at Law
BY: WILLIAM F. CARR, ESQ.
110 N. Guadalupe
Santa Fe, New Mexico 87501

* * *

1 EXAMINER STOGNER: Call the next case, 10303.

2 MR. STOVALL: Application of BASF Corporation for
3 amendment of Division Order No. R-9255, as amended by Order
4 No. R-9255-A, to provide for a horizontal drilling pilot
5 project, special operating rules therefor, a nonstandard
6 oil proration unit, and an unorthodox oil well location,
7 San Juan County, New Mexico.

8 EXAMINER STOGNER: Call for appearances.

9 MR. CARR: May it please the examiner, my name is
10 William F. Carr with the law firm of Campbell & Black,
11 P.A., of Santa Fe. We represent BASF and I have one
12 witness.

13 EXAMINER STOGNER: Any other appearances? Being none,
14 will the witness please stand and be sworn?

15 (Whereupon the witness was duly
16 sworn.)

17 DAVID HOWELL,
18 the Witness herein, having been first duly sworn, was
19 examined and testified as follows:

20 DIRECT EXAMINATION

21 BY MR. CARR:

22 Q. Would you state your name for the record,
23 please?

24 A. My name is David Howell.

25 Q. Where do you reside?

1 A. I live in Houston, Texas.

2 Q. By whom are you employed and in what capacity?

3 A. I'm employed by BASF Corporation as a petroleum
4 engineer.

5 Q. Have you previously testified before the New
6 Mexico Oil Conservation Division?

7 A. No, I have not.

8 Q. Would you briefly summarize for Mr. Stogner your
9 educational background, and then review your work
10 experience?

11 A. I graduated in January 1972 with a bachelor of
12 science in petroleum engineering from Mississippi State
13 University. Since that time I worked about five years for
14 Amoco Production Company, followed by five years with El
15 Paso Natural Gas Company, and for the last nine years I've
16 been working for BASF Corporation.

17 Q. And all those positions did you work as a
18 petroleum engineer?

19 A. That's correct.

20 Q. With El Paso were you working out of the
21 Farmington area?

22 A. That's correct. I lived and worked out of
23 Farmington.

24 Q. Are you familiar with the application filed in
25 this case on behalf of BASF?

1 A. Yes, I am.

2 Q. Are you familiar with the well that is the
3 subject of this case and the proposal for the reentry and
4 new attempt to horizontally drill the well?

5 A. Yes.

6 MR. CARR: Are the witness' qualifications acceptable?

7 EXAMINER STOGNER: They are.

8 Q. (By Mr. Carr) Mr. Howell, could you briefly
9 state what BASF seeks in this case?

10 A. BASF seeks to reenter it's 28-14 well in San
11 Juan County, New Mexico, and drill a new horizontal well.
12 BASF also seeks exceptions to the statewide rules as they
13 apply to the Verde Gallup Royal pool, which permits the
14 exemptions from -- or to permit exemptions from existing
15 well locations and that we be required only to comply with
16 the rules that provide for a setback from the outer
17 boundary.

18 We also seek exceptions from the acreage
19 dedication requirements to permit dedication of additional
20 acreage to the well. And we also seek exceptions from the
21 oil well allowable limitations to permit an increased
22 allowable based on the total acreage dedicated to the well.

23 Q. Mr. Howell, what is the reason for this
24 application?

25 A. The reason for this application is we want to

1 successfully encounter the fifth bench of a Gallup
2 formation and attempt to connect the wellbore to as many
3 natural fractures as possible, which we feel these
4 fractures will contain commercial quantities of oil.

5 Q. What results, if you are successful, will you
6 obtain with this project?

7 A. We expect to encounter multiple fractures in a
8 down dip position from the Verde oil pool, and since the
9 Verde oil field was classified originally as a gravity
10 drainage reservoir, we expect there to be substantial
11 volumes of unrecovered oil in place in these fractures.

12 Q. Mr. Howell, this case has -- this well has been
13 the subject of two previous Oil Conservation Division
14 cases; one approving a horizontal hole and another one
15 amending that to move the surface location. Could you
16 explain to Mr. Stogner what your role was in the original
17 drilling of the well?

18 A. Actually the whole concept of drilling this
19 horizontal well in this depleted Verde Gallup oil field I
20 had a great deal to do with coming up with the idea.
21 Unfortunately, after it went from an idea stage to an
22 actual doing stage, I was not involved with the drilling of
23 the well at all.

24 Q. Now, I think maybe what we ought to do is we
25 ought to move to what has been marked as BASF Exhibit

1 No. 1, and using this exhibit, would you explain to
2 Mr. Stogner what actually happened during your original
3 effort to horizontally drill this well?

4 A. Okay. Exhibit No. 1 is a diagrammatic sketch
5 furnished to us by the drilling -- horizontal drilling
6 company, Smith International, and it shows the proposed
7 original wellbore that was presented to the OCD last
8 summer, also it shows the actual wellbore that was drilled
9 last fall.

10 Q. Which is the proposed original wellbore?

11 A. If you look at the top, which says "vertical
12 plane" and "horizontal plane," the straight line that goes
13 from the cross section or the cross X there, straight line
14 going to the bottom and to the right, that is the proposed
15 wellbore. Then the line to the top of that, it kind of
16 goes up and makes a jog off to the right and parallels the
17 straight line is the actual path, trajectory, that the
18 wellbore took.

19 Q. What actually happened here?

20 A. What happened was in the -- in this area the
21 beds are steeping or steeply dipping, and we tried or at
22 least the drilling contractors and the people that were out
23 there tried very hard to keep what well straight; but it
24 walked to the north. And once they brought in the
25 directional tools, they didn't then turn the well to the

1 right and proceeded to drill the well in a path that was
2 paralleling the original proposed wellbore path.

3 Q. Was an attempt made to complete this well?

4 A. Yes, it was. After casing was set up the hole
5 and the well was directionally drilled in a horizontal and
6 drilled only to the Gallup. We did attempt to -- when I
7 got back into the project was pretty much during the
8 completion stage, and we did attempt a completion but it
9 was a miserable failure.

10 Q. Now, if we look at the vertical plane and the
11 actual path of the wellbore as plotted on that, was there
12 any kind of deviation tool or anything run on the well
13 while it was being drilled hopefully as a vertical hole?

14 A. We ran different tools in the hole trying to
15 keep the well straight, and before we ran casing we ran a
16 gyro survey to tell us exactly how the well had -- or where
17 it had gone, because at that point in time we did not have
18 directional tools in the hole.

19 Q. At that time you knew -- or BASF knew the well
20 had migrated to the north?

21 A. Well, they knew it had walked some to the north,
22 yes.

23 Q. When did you first discover or know that the
24 wellbore was actually where you now understand it to be
25 from the information provided by the drilling contractor?

1 A. If you will notice on this exhibit, it's dated
2 at the top here February 7, 1991. It was several -- two or
3 three weeks after I received this report that I began to
4 pay more attention to the north -- or the top picture
5 rather than the south, or the one to the bottom of the
6 page.

7 While the well was being drilled, the drilling
8 engineers out on location pretty much paid attention to the
9 bottom picture. They were primarily interested in how the
10 well was following the original trajectory -- I mean the
11 original proposed trajectory, and were they reaching
12 horizontal and that sort of thing. So nobody really paid
13 attention to where the well went north, but more how they
14 followed the proposed plan.

15 Q. Were you able to do any logging of the well to
16 determine its location prior to your effort to complete the
17 well?

18 A. They did run a couple of logs that got them down
19 the top of the Gallup, but unfortunately right in the
20 bottom of the -- where they came out of the casing they
21 made a sharp turn, caused what they call a dogleg where you
22 change real rapidly in a short substance. That later
23 proved to be a very detrimental fact, because it prevented
24 any further logging of the well.

25 Q. So how were you able to determine or to what

1 extent were you able to determine the actual location of
2 the well in regard to the particular Gallup zone that you
3 were attempting to intersect?

4 A. They had to project it based on the geologist's
5 picks of the tops that he had up to that point, and had to
6 just actually project down to where he thought the G5 or
7 the fifth member in the Gallup section was located.

8 Q. The wellbore actually migrated north of the
9 dedicated acreage?

10 A. That's correct.

11 Q. Did it intersect the formation?

12 A. It intersected the Gallup formation but it did
13 not intersect the primary zone of interest that we were
14 targeting.

15 Q. You were brought back into this project; is that
16 correct?

17 A. That's correct.

18 Q. And what is basically your assignment, to try
19 and straighten this thing out?

20 A. That's it in a nutshell. The well after the
21 attempt to complete it -- and as I said earlier was not
22 successful, I was brought back in on the project to see if
23 I could figure out what was wrong; do a complete evaluation
24 of the well and, one, see if we had hit the primary target;
25 and, two, if we did, why wasn't it fractured and why was

1 there no production because we recovered no oil whatsoever.

2 Q. When did you come back on to the project?

3 A. I came back on the project November, December of
4 1990.

5 Q. Then it was in February that you actually
6 received these surveys from Smith the drilling contractor?

7 A. That's correct.

8 Q. What steps are you planning to take to avoid
9 this kind of problem happening in the future?

10 A. Well, one, we're going to use a different
11 drilling -- directional drilling company that incorporates
12 an integral logging tool that's actually run as part of
13 your drill stream, and that allows you to log as you drill
14 rather than having to make a separate logging run with a
15 wire-line-type tool or logging tool that you run on the
16 bottom drill pipe and then push to the bottom, which is
17 what they had tried last fall. This logging tool will
18 enable us to pick tops as we go down and also allow us to
19 know exactly where we are within the Gallup. This is not a
20 logging tool to tell direction. It just tells you where
21 you are geologically.

22 Q. Let's go to what has been marked as BASF Exhibit
23 No. 2, and would you identify that and review that for
24 Mr. Stogner?

25 A. Exhibit No. 2 is a land plat, pretty much

1 showing the six section of land that BASF has leased from
2 Ute Mountain Indian Reservation. That area is highlighted
3 in yellow. And the area highlighted in the pink,
4 pinkish-reddish color, is the 40-acre land tract or the
5 proration unit for this particular wellbore.

6 Q. There are some well spots within the yellow
7 area. Do you know what formation those wells were or are
8 completed in?

9 A. Those wells were completed in the Gallup
10 formation. All of those wells since -- for many years now
11 have been plugged and abandoned.

12 Q. There is no Gallup production in our area which
13 you lease?

14 A. There is no Gallup production in the area that
15 we lease. As a matter of fact, there is very little Gallup
16 production. There's a couple of stripper wells located
17 quite a bit of distance from where we are.

18 Q. Now, within the area outlined in yellow what is
19 the status of ownership in that acreage?

20 A. BASF has that acreage leased 100 percent working
21 interest, and the royalty is common, that being the Ute
22 Mountain Indian Tribe.

23 Q. So the ownership is common throughout, not just
24 the pink proration unit but the area shaded or outlined in
25 yellow?

1 A. That's correct.

2 Q. Let's go to Exhibit Number 3. Could you
3 identify that for Mr. Stogner?

4 A. Exhibit No. 3 is an electrical log that was run
5 on our nearest well located about a half mile east
6 northeast of the wellbore that we're talking about, and it
7 is in particular across the Gallup formation. And if I
8 will draw your attention to the area that I have
9 highlighted in red, that is what we call the fifth member
10 or the G5 of the Gallup formation, and it is the primary
11 zone of interest that we are targeting. That zone was the
12 primary zone of interest in both the original wellbore that
13 we drilled and the one we propose to drill now.

14 Q. Approximately how thick is this particular
15 Gallup 5 zone?

16 A. The best part of it we think is about 30-foot
17 thick.

18 Q. Can you just generally describe the nature of
19 this portion of the Gallup formation?

20 A. The Gallup formation we hope in G5 interval
21 should be highly fractured. Based on the geology and the
22 tectonics of that area, that being a hogback located there
23 and the twisting and buckling going on, we think that
24 section of the Gallup should be highly fractured.

25 Q. Is there orientation or general orientation to

1 the fractures in this area?

2 A. We believe the orientation pretty much runs
3 northwest to southeast.

4 Q. Let's now go to what has been marked BASF
5 Exhibit No. 4. Could you identify that for the examiner,
6 please?

7 A. Yes, this is a simplified diagrammatic structure
8 map at the Gallup objective horizon. If you will notice,
9 I've got shown there the 28-14 surface location, and then
10 the line that jogs up and to the right and is labeled
11 original wellbore. That was the original wellbore that we
12 drilled, and then the line going off to the northeast from
13 that line is the wellbore we now propose to drill.

14 Q. Now, during the previous hearings on this there
15 was a more typical structure map presented. In those
16 exhibits the structure generally moved, I guess, just
17 east-west across the area?

18 A. That's correct. It sort of had a
19 northwest-southeast trend but mostly was east-west.

20 Q. How has this diagrammatic structure map been
21 changed or how does it differ from those previous structure
22 maps and why?

23 A. If you will notice, there has been a strike
24 change in the beds or the beds have a little nose there
25 about under where it says "W" there under original

1 wellbore. We didn't know that when we drilled the well,
2 but trying to go back and piece together what happened to
3 the well, and what caused it to perform or at least what I
4 feel caused it to perform, the way it has, we sent our
5 surface geologist -- or sent a geologist out there on the
6 ground, and we also sent a surveyor out, and we had them
7 physically survey in the original wellbore so we could see
8 it at the surface.

9 And there is -- as I mentioned earlier, the beds
10 are dipping very steeply in this area up to the surface,
11 and you can see the bed dip at the surface. What we did
12 when we surveyed that location of the wellbore out, we were
13 able to see there is a little nose there where the strike
14 of these beds has changed.

15 And when you're looking at the surface and not
16 being used to drilling horizontal wells, we didn't really
17 realize that wellbore had gone that far out when you looked
18 at it at the surface. But by looking at the bed dips and
19 the strikes of those beds at the surface, we were able to
20 put together what we thought was a good case that the
21 strike had changed, and then from that point we were able
22 to come up with the idea that could explain why the well
23 has performed as poorly as it has.

24 Q. Now, when you were trying to determine what the
25 structure is in this area, what information do you have

1 available to you?

2 A. Very little. The existing Gallup wells that are
3 in the area to the north and west where we are located,
4 none of those had survey -- directional surveys run in
5 them, so everyone assumed the wells went straight down. We
6 pretty much now have the opinion that those wells probably
7 walked to the north as well as ours did. As a result --
8 also there is no control to the west -- or to the east,
9 rather. And we have the one wellbore, being a Dakota well,
10 off to the east but some half mile away. We have very
11 little control so we did the best we could with what we
12 had.

13 Q. Is it fair to say you're basically projecting
14 the structure from the information on a well a half mile to
15 the east?

16 A. That's correct.

17 Q. And with the new drilling equipment that you
18 propose to utilize you will actually have a logging tool
19 some short distance behind the drill bit; is that right?

20 A. That's correct. And it will provide us with
21 continuous readings, and we will be able to see the G2, G3,
22 G4 and G5 tops as we go through them.

23 Q. By being able to see it as you go, will you be
24 able to make such adjustments as are necessary to stay
25 within your structural position?

1 A. That's correct. What we plan to do this time, I
2 will be on location; we will have our geologist on
3 location. We have a little program on a laptop computer
4 that we can do our only directional work and do our own
5 projections as to what course changes we may or may not
6 need to do in order to reach the objective horizon.

7 Q. Let's go now to Exhibit No. 5, and I think,
8 perhaps, Mr. Howell, the best way to review for the
9 examiner how you plan to go about drilling the well and to
10 show what it would likely look like when you complete your
11 effort this time, it might be wise to go back to Exhibit
12 No. 1 and start with that, look at Exhibit No. 1, and then
13 move into Exhibit No. 5.

14 A. If you will look at the top schematic there,
15 which shows the existing wellbore that I discussed earlier,
16 where it goes up and jogs to the right and has the little
17 dots in there, we will utilize most of that or a lot of
18 that wellbore that is cased. The 9 5/8 intermediate casing
19 was set to a depth of approximately 4435 and is set at an
20 angle of 45 degrees. We will utilize that existing casing,
21 and then plug the open hole horizontal section we now have
22 drilled, and then come out of that casing at a new angle to
23 more go along with the strike change that we now see. So
24 that when we intercept the G5 section of the Gallup, we
25 will be on strike rather than being south of strike as we

1 were on the first well.

2 Q. So basically the sketch that is set forth on
3 Exhibit No. 1 shows the existing wellbore, and you will be
4 using that to the casing point which is at about what
5 depth?

6 A. Casing point at -- is 4435.

7 Q. Then you will put a cement plug in the wellbore?

8 A. That's correct. We will cement with 250 --
9 approximately 250 feet of casing -- I'm sorry -- of cement.
10 50-foot of that cement will extend up into the casing, and
11 then that will be drilled out and come out at a different
12 angle.

13 Q. You are using what, 9 5/8 casing?

14 A. That's correct.

15 Q. You said you would be at an angle when you come
16 out?

17 A. Yeah, the casing is already set at 45 degrees,
18 and we will come out of the casing and immediately start
19 building angle of inclination again at about 12 degrees per
20 hundred feet, and also correcting our direction to go north
21 of the existing wellbore -- northeast, rather, of the
22 existing wellbore.

23 Q. When you hit the fifth interval of the Gallup
24 formation, the fifth zone, your target zone, will you be
25 horizontal at that point?

1 A. We won't be exactly horizontal but we will be
2 very close. We will be between 80 and 85 degrees. That
3 will still give us enough time or enough angle inclination
4 to be able to see the G5 top, specifically, and recognize
5 it, but then not drill out the bottom of it before we are
6 able to change direction and drill to just go right through
7 the guts of the G5.

8 Q. So the zone is thick enough so that you will hit
9 at this angle and then you will be still at the angle until
10 the logging tool gets into the fifth interval?

11 A. That's correct.

12 Q. At that point in time will you be able to
13 control your drilling to then maintain a horizontal
14 wellbore in that zone?

15 A. That's correct. Merely by -- because these beds
16 are dipping steeply, just a course change to the right or
17 to the left, you take advantage of the dip of the beds to
18 help you gut shoot the G5.

19 Q. How many of a horizontal hole do you hope to be
20 able to drill?

21 A. We would like to drill just like we had planned
22 earlier, a thousand feet.

23 Q. In our application we had requested a setback of
24 50 feet from the outer boundary of the dedicated proration
25 unit. In your opinion will there be excess drainage from

1 offsetting tracts because of this proposed wellbore?

2 A. We don't think so, but if there is, we own the
3 surrounding acreage so it really doesn't make any
4 difference on the ownership -- the royalty ownership is the
5 same.

6 Q. If the proposed wellbore is successful, does
7 BASF have any plans to drill additional horizontal wells in
8 this area?

9 A. Most definitely. That's been our aim the whole
10 time. We have some other agreements with the tribe that
11 are tied to us being successful and going ahead and
12 expanding this operation.

13 Q. What would be the producing life of a well of
14 this nature, would you expect?

15 A. We would expect it to be very similar to a
16 vertical, and that would be about 20 years.

17 Q. Let's go to what has been marked as BASF Exhibit
18 No. 6, and I'd ask you to identify that for Mr. Stogner and
19 then review it for him.

20 A. This Exhibit No. 6 shows the spacing unit that
21 we're requesting, the 160 acres. It also shows a portion
22 of the wellbore that is cased, that I've got highlighted
23 there in green, 9 5/8 casing set at 4435. That will be the
24 portion of the existing wellbore that we will use. The
25 smaller green line that extends on out is shown to be

1 existing wellbore. That will be plugged off. Then the
2 dashed blue cone area is the area -- target area that the
3 new wellbore will penetrate.

4 Q. Why do you need a target area?

5 A. Because we really don't -- because of the lack
6 of control, we're not as sure exactly where that wellbore
7 needs to go. We know it will be inside that cone, but it
8 will change from top to top, because we know that strike is
9 changing and we've done the best we can with the surface
10 geology. But to assume that the surface geology dips and
11 are exactly the same at 4500 feet as they at the surface is
12 probably not a good assumption, but we think they will be
13 close. So we will target this area and stay in it, but we
14 can't tell you exactly where it's going to be.

15 Q. That's going to depend on information from the
16 logging tool?

17 A. That will depend on information from the logging
18 tool as we drill.

19 Q. Now, we've got a proposed proration unit that
20 makes sort of an L. Why were four 40s that are included in
21 this proration actually included in your proration unit?

22 A. The reason why we included the four 40s in all
23 honestly is because that's the four 40s that the existing
24 wellbore and the new wellbore contact.

25 Q. Do you believe that all of those 40-acre tracts,

1 in fact, will be drained by the horizontal well?

2 A. We think most of it will be drained, but I'm not
3 sure if all 160 acres will be drained.

4 Q. And the 40-acre tract on which the well is
5 actually located, is it necessary to have that 40 acres
6 included to obtain an allowable rate that you think is
7 satisfactory for the development of this tract?

8 A. It's not necessary.

9 Q. So you're not just putting tracts together to
10 get a higher allowable rate?

11 A. We are not. It's just the area that was
12 contacted by the wellbore, and we do not have real strong
13 feelings.

14 Q. What sort of production rate would you hope to
15 be able to obtain with this well?

16 A. We would like to see 2 to 300 barrels a day, but
17 that's just sheer speculation on my part.

18 Q. Would you request that the allowables that be
19 assigned to the well be equal to the number of 40-acre --
20 combined allowable for the 40-acre tracts dedicated to the
21 well?

22 A. That would be nice to have.

23 Q. Now, Mr. Howell, is Exhibit No. 7 a copy of an
24 affidavit from Campbell & Black confirming that notice of
25 this hearing has been provided as required by the rules and

1 regulations of the Oil Conservation Division?

2 A. Yes, it is.

3 Q. Has notice of the application been provided to
4 the Bureau of Land Management and to the Bureau of Indian
5 Affairs?

6 A. Yes, sir, it has.

7 A. Could you identify what has been marked as BASF
8 Exhibit No. 8?

9 A. Exhibit No. 8 is the letter of waiver from the
10 Bureau of Land Management, saying that they have no problem
11 with us drilling a Verde horizontal well.

12 Q. Have you also got in that material a letter --
13 you've got federal form and also a letter on which the
14 Indian tribe has indicated it does not object or supports
15 the effort?

16 A. That's correct. In addition to the BLM or
17 Bureau of Land Management having no problem with us
18 drilling, we have a signed letter from the chairman of the
19 Ute Mountain Indian Tribe saying that they have no problem
20 with us drilling a horizontal well in this area.

21 Q. Mr. Howell, will you or BASF run the directional
22 survey on the well and provide a copy to the Oil
23 Conservation Division once in fact it is drilled?

24 A. Yes, sir, we certainly will.

25 Q. In your opinion, will granting this application

1 enable you to produce reserves from the Gallup formation
2 that otherwise will not be recovered?

3 A. Absolutely.

4 Q. In your opinion, will the application otherwise
5 definitely be in the best interest of conservation and
6 prevention of waste and the protection of correlative
7 rights?

8 A. Yes.

9 Q. In addition to explaining what has happened to
10 this we well to the Oil Conservation Division, are you also
11 the individual that had to explain this to your management
12 in Germany?

13 A. Yes. I had to put this all together and explain
14 this to them. It was a very difficult thing to do, but we
15 did get approval from them, and they are agreeable to let
16 us redrill the horizontal part.

17 Q. And how soon could you be ready to go forward?

18 A. We could be ready to go within seven to ten
19 days.

20 Q. So you would request to the extent the
21 commission can expedite an order, it be expedited?

22 A. We would certainly appreciate it.

23 Q. Were Exhibits 1 through 8 either prepared by you
24 or compiled under your direction and supervision?

25 A. Yes, they were.

1 Q. Will you personally be on the well during
2 redrilling?

3 A. I definitely will be.

4 MR. CARR: At this time we would offer BASF Exhibits 1
5 through 8.

6 EXAMINER STOGNER: Exhibits the 1 through 8 will be
7 admitted.

8 (BASF Exhibits 1 through 8 were
9 admitted in evidence.)

10 MR. CARR: That concludes my direct examination of
11 Mr. Howell.

12 EXAMINER STOGNER: I'm sure you've explained this many
13 times and I hate to go over this again but.

14 EXAMINATION

15 BY EXAMINER STOGNER:

16 Q. In looking at Exhibit No. 1, on the bottom
17 portion of it, is it my understanding that that
18 horizontal -- the existing horizontal well did not go into
19 your fifth bench that you wanted?

20 A. That's exactly correct. We got to within
21 probably 10 to 15 feet of the G5 when we went horizontal,
22 and in effect we were just paralleling the G5. And during
23 that time we saw no evidence of fractures, no hydrocarbons,
24 nothing. So we were right on to the top of the G5 but he
25 never entered the G5.

1 Q. And G5, Gallup Bench No. 5, that's what you are
2 referring to?

3 A. That's correct.

4 Q. Did you have the strike -- I mean the dip of the
5 G5 pretty well mapped out following right down at about an
6 80 or 89 degrees?

7 A. That's correct. We were following right along
8 the strike while the original well was being drilled, and
9 just before we hit the G5, the strike changed. And if you
10 go out and look at the surveyed location, we've got flags
11 out there, and you can see right -- taking the survey that
12 we have, points, you can see exactly where the strike
13 changes and you get this deep -- you know, sinking feeling
14 that you know that you're headed the wrong direction
15 because the beds take off to the northeast and you're
16 headed southeast.

17 Q. How will this wellbore, the existing one, be
18 plugged or has it been plugged?

19 A. It has not been plugged. We intend to set
20 250-foot cement plug. As I said, 50 feet of that cement
21 plug will extend up into the casing.

22 Q. Now, you already have -- the horizontal portion
23 is a thousand foot long?

24 A. It's approximately a thousand feet. It's
25 actually about 600 feet perfectly horizontal. The highly

1 deviate or highly angled hole is a little bit longer than
2 that.

3 Q. But you said you're going to put a 250-foot
4 cement plug?

5 A. Correct. Extending from inside the casing out
6 200 feet. Or whatever is required by the Bureau of Land
7 Management and the state of New Mexico. That's just our
8 preliminary --

9 Q. That's preliminary at this point, and if
10 Mr. Chaves of the district office or the BLM has another --

11 A. Correct. If they have other ideas and other
12 things they want us to do, we will certainly obliged. But
13 we have not approached either office at this time.

14 Q. Okay.

15 A. The main point there is to have enough cement
16 that extends up in your casing and far out into your open
17 hole that you will be able to make the course change in
18 hard cement. Because it takes a few feet to make your
19 correction. You want enough hard dense cement that we will
20 be able to turn to the northeast and get away from the old
21 open hole.

22 Q. That was my next question. The cement that's
23 going to be next to the casing in which you are going to be
24 redrilling, will that be of a different grade and a
25 different density than what the rest of the plug will be?

1 A. It will all be the same. It's all going to be a
2 highly densified cement, very, very hard. You've got to
3 have something pretty hard in order for that bit to bite
4 and make that turn. We will have a double bend -- what
5 they call a double bend sub in there. It's almost -- I
6 don't want to say impossible, but it's very difficult to
7 drill out crooked and get away from the old hole.

8 Q. How thick is the G5?

9 A. Approximately -- the good part, what we think is
10 the excellent part of that zone, is approximately 30 feet.

11 Q. You're going to go -- if I am looking at it on
12 the cross section, you are going to go about 20 feet deeper
13 on your horizontal portion than your other one, your other
14 horizontal?

15 A. Actually we won't be any deeper. We're just
16 going up dip, up strike. When you've got these beds that
17 are dipping the way they are, just by changing to the
18 northeast it actually comes up to you. So the depth will
19 be approximately the same. To be honest with you, this was
20 so complicated for me to explain to our German friends, I
21 actually built a little shoe box model to show them, and
22 colored in the beds dipping at the proper angle, and then
23 drilled a hole through it, and put a rod through there. I
24 got a bunch of oohs and ahs over that. Finally they could
25 understand because they could look at it and turn it and

1 look at it upside down and see what I was talking about.
2 When you look at it in two-dimension on a piece of paper,
3 it's difficult. It's a three-dimensional geologic problem.

4 MR. STOVALL: I was going to ask you if there was a
5 three-dimensional model that explained this thing.

6 THE WITNESS: I did it with a shoe box basically, and
7 I also did it with a computer.

8 MR. STOVALL: Is it still in Germany?

9 THE WITNESS: No, I have the shoe box in Denver. And
10 everybody has got a big kick out of my model. Even the
11 Ph.D. geologist came down and looked at that, kind of
12 laughed, but it obviously was a good visual aide. It makes
13 understanding it so much simpler.

14 MR. STOVALL: Is this the same BASF that doesn't make
15 products but makes them better? Is that what we're --

16 THE WITNESS: That's correct.

17 EXAMINER STOGNER: Fortunately, I understand what's
18 going on here. Kind of spooky. I don't have any
19 questions.

20 THE WITNESS: I will say that we spent a lot of money
21 on this well, and it was a very expensive mistake. And as
22 a result of that, we're trying to recoup, you know, and try
23 not to write this project off. We have a lot of hope for
24 this area. It's an area that's long been depleted and it's
25 been plugged for some 20-odd years. The tribe is not

1 generating any revenue from it. We think it's got
2 potential, and we want to go forward with it. And we have
3 already spent considerable amount of money to this point in
4 time, and we are willing to spend more to prove this
5 concept or disprove it, either way. But we don't want to
6 leave this project half done, which is where we're at right
7 now.

8 EXAMINER STOGNER: Who will be the horizontal drilling
9 contractor this time?

10 THE WITNESS: The new contractor will be Sperry Sun.
11 Sperry Sun has this integral logging tool, and by using
12 them, plus their measurement while drilling, we will have
13 just one company to talk to rather than mixing directional
14 companies.

15 EXAMINER STOGNER: Any other questions of this
16 witness? If not, he may be excused.

17 Mr. Carr, do you have anything further?

18 MR. CARR: Nothing further, Mr. Stogner.

19 EXAMINER STOGNER: Since there is nobody else in the
20 room, I guess nobody else has anything further.
21 Case number 10303 will be taken under advisement. Hearing
22 adjourned.

23 (Whereupon, the hearing was concluded at the
24 approximate hour of 12:00 p.m.)

25 * * *

1 STATE OF NEW MEXICO)
) ss.
 2 COUNTY OF SANTA FE)


3 REPORTER'S CERTIFICATE

4
 5 I, Susan G. Ptacek, a Certified Court Reporter and
 6 Notary Public, do HEREBY CERTIFY that I stenographically
 7 reported the proceedings before the Oil Conservation
 8 Division, and that the foregoing is a true, complete and
 9 accurate transcript of the proceedings of said hearing as
 10 appears from my stenographic notes so taken and transcribed
 11 under my personal supervision.

12 I FURTHER CERTIFY that I am not related to nor
 13 employed by any of the parties hereto, and have no interest
 14 in the outcome thereof.


15 DATED at Santa Fe, New Mexico, this 7th day of June,
 16 1991.

17
 18 My Commission Expires:
 19 December 10, 1993



SUSAN G. PTACEK
 Certified Court Reporter
 Notary Public

20
 21 I do hereby certify that the foregoing is
 22 a complete and true transcript of the proceedings in
 the Examiner hearing of Case No. 10303
 heard by me on 2 May 1991.

23  Examiner
 24 Oil Conservation Division