

NEW MEXICO OIL CONSERVATION DIVISION

STATE LAND OFFICE BUILDING

STATE OF NEW MEXICO

CASE NO. 10416

IN THE MATTER OF:

The Application of Presidio  
Exploration, Inc., for an unorthodox  
gas well location and simultaneous  
dedication, Eddy County, New Mexico.

BEFORE:

MICHAEL E. STOGNER

Hearing Examiner

State Land Office Building

December 19, 1991

**ORIGINAL**

REPORTED BY:

DEBBIE VESTAL  
Certified Shorthand Reporter  
for the State of New Mexico

## A P P E A R A N C E S

FOR THE NEW MEXICO OIL CONSERVATION DIVISION:

ROBERT G. STOVALL, ESQ.

General Counsel  
State Land Office Building  
Santa Fe, New Mexico 87504

FOR THE APPLICANT:

HINKLE, CLOX, EATON, COFFIELD & HENSLEY  
500 Marquette, Northwest, Suite 740  
Albuquerque, New Mexico 87102-2121  
BY: JAMES BRUCE, ESQ.

FOR SANTA FE ENERGY OPERATING PARTNERS, LP,  
AND YATES PETROLEUM CORPORATION:

CAMPBELL, CARR, BERGE & SHERIDAN, P.A.  
Post Office Box 2208  
Santa Fe, New Mexico 87504-2208  
BY: WILLIAM F. CARR, ESQ.

## I N D E X

## Page Number

Appearances

2

## WITNESSES FOR THE APPLICANT:

## 1. MARSHALL L. MUNSELL

Examination by Mr. Bruce	6
Examination by Examiner Stogner	10
Examination by Mr. Carr	11

## 2. ALAN J. FEAR

Examination by Mr. Bruce	12, 28
Examination By Mr. Carr	21
Examination by Examiner Stogner	26

## 3. CHRIS WOLFARTH

Examination by Mr. Bruce	29, 52
Examination by Mr. Carr	44, 54
Examination by Examiner Stogner	53

## WITNESSES FOR YATES PETROLEUM CORPORATION:

## 1. DAVID F. BONEAU

Examination by Mr. Carr	56
Examination by Mr. Bruce	72

## 2. WILLIAM COBB

Examination by Mr. Bruce	80
Examination by Mr. Carr	86

Certificate of Reporter

94

## E X H I B I T S

Page Marked

FOR THE APPLICANT:

Exhibit No. 1	9
Exhibit No. 2	9
Exhibit No. 3	13
Exhibit No. 4-A	32
Exhibit No. 4-B	32
Exhibit No. 4-C	33
Exhibit No. 5	34
Exhibit No. 6	35
Exhibit No. 7-A	37
Exhibit No. 7-B	38
Exhibit No. 7-C	38
Exhibit No. 7-D	39
Exhibit No. 8-A	39
Exhibit No. 8-B	39
Exhibit No. 8-C	39

FOR YATES PETROLEUM CORPORATION:

Exhibit No. 1	58
Exhibit No. 2	59
Exhibit No. 3	60
Exhibit No. 4	64
Exhibit No. 5	67

1 EXAMINER STOGNER: This hearing will  
2 come to order. Call the next case, No. 10416.

3 MR. STOVALL: Application of Presidio  
4 Exploration, Inc., for an unorthodox gas well  
5 location and simultaneous dedication, Eddy  
6 County, New Mexico.

7 EXAMINER STOGNER: Call for  
8 appearances.

9 MR. BRUCE: Mr. Examiner, my name is  
10 Jim Bruce from the Hinkle law firm in Albuquerque  
11 representing the Applicant. I believe I have  
12 four -- three witnesses, and I have a potential  
13 rebuttal witness.

14 EXAMINER STOGNER: Any other  
15 appearances?

16 MR. CARR: May it please the Examiner,  
17 my name is William F. Carr with the law firm of  
18 Campbell, Carr, Berge & Sheridan of Santa Fe. I  
19 would like to enter my appearance on behalf of  
20 Santa Fe Energy Operating Partners, LP, and enter  
21 an appearance for Yates Petroleum Corporation.  
22 Yates Petroleum Corporation will have one  
23 witness.

24 MR. BRUCE: You'll be glad to know in  
25 this hearing I did bring engineers and

1 geologists.

2 MR. STOVALL: We'll let you wear the  
3 tie now, Mr. Bruce.

4 EXAMINER STOGNER: I don't know which  
5 other case you're referring to, Mr. Bruce.

6 Are there any other appearances?

7 Will all the witnesses, please, rise to  
8 be sworn.

9 (The witnesses were duly sworn.)

10 EXAMINER STOGNER: Any need for opening  
11 comments?

12 MR. BRUCE: I don't think so.

13 EXAMINER STOGNER: Okay, Mr. Bruce.

14 MARSHALL L. MUNSELL

15 Having been duly sworn upon his oath, was  
16 examined and testified as follows:

17 EXAMINATION

18 BY MR. BRUCE:

19 Q. Would you, please, state your name and  
20 city of residence.

21 A. My name is Marshall Munsell,  
22 M-u-n-s-e-l-l. I live in Dallas, Texas.

23 Q. What is your occupation, and who are  
24 you employed by?

25 A. I'm a petroleum landman employed by

1 Presidio Exploration, Inc., in Dallas.

2 Q. Have you previously testified before  
3 the OCD?

4 A. No, I have not.

5 Q. Would you, please, summarize your  
6 educational and work background.

7 A. Earned a bachelor of business degree in  
8 petroleum land management from the University of  
9 Texas in Austin in 1980. I joined Sun Production  
10 Company in Dallas in 1980 as a landman, remained  
11 with Sun in that position until 1988, at which  
12 time I joined Presidio Exploration in Dallas as a  
13 landman, which is my current position.

14 My responsibilities include overseeing  
15 all land matters for Presidio's mid-continent  
16 division, which includes southeast New Mexico.

17 Q. Okay. And are you familiar with the  
18 land matters involved in this case?

19 A. Yes, I am.

20 Q. Have you previously qualified as a land  
21 expert in any other state commissions?

22 A. Yes, I have qualified as an expert land  
23 witness in Texas and Wyoming.

24 MR. BRUCE: Mr. Examiner, I tender the  
25 witness as an expert petroleum landman.

1 EXAMINER STOGNER: Are there any  
2 objections?

3 MR. CARR: No objections.

4 EXAMINER STOGNER: The witness is so  
5 qualified.

6 Q. (BY MR. BRUCE) Mr. Munsell, would you  
7 state briefly what Presidio seeks in this case?

8 A. Yes. Presidio seeks the OCD's approval  
9 to drill an infill well to the East Burton  
10 Flat-Strawn Gas Pool in the northwest quarter of  
11 Section 1, 20 South, 29 East, Eddy County, which  
12 well we have designated as a Superior Federal No.  
13 10 well and simultaneously dedicate the north  
14 half of Section 1 to both the infill well and  
15 Presidio's existing Superior Federal No. 9 well,  
16 which is located in the northeast quarter of  
17 Section 1.

18 If the proposed well is successfully  
19 completed, Presidio requests permission to  
20 produce both wells simultaneously.

21 Presidio is also requesting permission  
22 to drill the infill well at an unorthodox  
23 location at 1300 feet from the north line and  
24 1300 feet from the west line of Section 1 for  
25 reasons which will be discussed in more detail by



1 our geologic and engineering witnesses.

2 Q. Would you, please, refer to Presidio  
3 Exhibit No. 1 and explain its contents for the  
4 Examiner?

5 A. Yes. Exhibit 1 is a land plat of  
6 Section 1 and the adjoining sections, which shows  
7 Presidio's Superior Federal No. 8 well, which is  
8 in the south half of Section 1, and the Superior  
9 Federal No. 9 well in the north half of Section  
10 1.

11 Both the No. 8 and No. 9 are spaced on  
12 lay-down units, 320-acre units. The proposed  
13 Superior Federal No. 10 well's location is  
14 indicated on the plat on the yellow dot.  
15 Finally, the plat indicates all offset operators  
16 or lessees, if there is no operator.

17 Q. Were these offsets notified of this  
18 application?

19 A. Yes, they were. Exhibit No. 2 is an  
20 Affidavit of Notice, which is signed by myself,  
21 and includes a copy of my notice letter along  
22 with copies of the certified mailing receipts.

23 Q. Were Exhibits 1 and 2 prepared by you  
24 or under your direction?

25 A. Yes, they were.

1 Q. And in your opinion is the granting of  
2 this application in the interests of conservation  
3 and the prevention of waste?

4 A. Yes, it is.

5 MR. BRUCE: Mr. Examiner, I move the  
6 admission of Presidio Exhibits 1 and 2.

7 EXAMINER STOGNER: Are there any  
8 objections?

9 MR. CARR: No objections.

10 EXAMINER STOGNER: Exhibits 1 and 2  
11 will be admitted into evidence.

12 Now, Exhibit No. 1, I show the offset  
13 operator is Santa Fe, Meridian, Siete, Chevron,  
14 Yates, and Presidio. But Exhibit A of Exhibit  
15 No. 2 has a lot more names. Can you elaborate on  
16 who these people are?

17 THE WITNESS: Yes, sir. We went ahead  
18 and provided notice of the application to all of  
19 the participants, the working interest owners in  
20 the existing Superior Federal 8 and 9 wells. So  
21 those are the existing partners in those wells.

22 EXAMINER STOGNER: Okay. Are there any  
23 other questions of this witness?

24 MR. CARR: Briefly.

25 EXAMINER STOGNER: Mr. Carr.

## EXAMINATION

BY MR. CARR:

Q. Mr. Munsell, Yates is listed on your Exhibit A as having received notice of the hearing. Is Yates just an offset operator, or do they also own an interest in the Superior Federal wells?

A. They own an interest in the Superior Federal No. 9 only, not Superior Federal No. 8.

Q. Do you know what that interest is?

A. Their aggregate interest, Yates and their group, is 25 percent.

MR. CARR: That's all I have. Thank you.

MR. STOVALL: They chose the same interest in the new well; is that correct?

THE WITNESS: That's correct.

EXAMINER STOGNER: Okay. Any other questions? If not, you may be excused.

MR. BRUCE: Call Mr. Fear to the stand.

EXAMINER STOGNER: Okay, Mr. Bruce.

ALAN J. FEAR

Having been duly sworn upon his oath, was examined and testified as follows:

## EXAMINATION

BY MR. BRUCE:

Q. Would you, please, state your full name and city of residence.

A. My name is Alan Fear, and I live in Dallas, Texas.

Q. And what is your occupation, and who do you work for?

A. I'm working for Presidio Exploration as a petroleum geologist.

Q. Have you previously testified before the Division as a geologist and had your credentials as an expert accepted as a matter of record?

A. Yes, I have, and yes, they were.

Q. And are you familiar with the geology involved in this case?

A. Yes, I am.

MR. BRUCE: Mr. Examiner, I tender Mr. Fear as an expert petroleum geologist.

EXAMINER STOGNER: Are there any objections?

MR. CARR: No objections.

EXAMINER STOGNER: Mr. Fear is so qualified.

1 Q. (BY MR. BRUCE) Mr. Fear, please refer  
2 to Exhibit 3 and identify just what is included  
3 in that exhibit.

4 A. The exhibit consists of a structure  
5 map, a cross-section, an isopach, and a Strawn  
6 field designation map.

7 Q. Okay. Referring to the structure map  
8 on Exhibit 3, would you discuss the geology of  
9 this pool?

10 A. Yes. The structure map is constructed  
11 on the top of the Strawn limestone and is drawn  
12 using a 50-foot contour interval. The top of the  
13 Strawn was selected based upon gamma ray  
14 response, indicating low radioactive content,  
15 clean limestone.

16 The Strawn exhibits southeast dip in  
17 Section 1 with the northwest quarter being the  
18 highest structural area of the lease. Both the  
19 structure and isopach maps show Presidio's  
20 proposed location indicated by a yellow dot and a  
21 dashed-red line showing the location of the  
22 cross-section used for this exhibit.

23 Q. Okay. And moving on to the  
24 cross-section and the isopach, would you discuss  
25 those.

1           A.       The cross-section traverses from the  
2 west at the Chevron and State well, which is in  
3 the northeast quarter of Section 2 through the  
4 proposed location to the Superior Federal No. 8  
5 in the southwest quarter of Section 1 to the  
6 Superior Federal No. 9 well in the northeast  
7 quarter of Section 1.

8                   Both the Superior Federal No. 8 and No.  
9 9 wells were drilled by the Petroleum Corporation  
10 of Delaware, which is now Presidio Exploration,  
11 Inc.

12                   The cross-section shows the Strawn  
13 divided into the A, B, and C zones. The A zone  
14 is the primary productive horizon with the C zone  
15 also open in the majority of the wells. The C  
16 zone's contribution to production is probably  
17 limited due to very modest porosity and  
18 permeability development.

19                   A productive B zone is open in the  
20 Yates and to the State well in the southeast  
21 quarter of Section 2, which pinches out in the  
22 north and east offsets, being the Chevron Eddy  
23 State well in the northeast quarter of Section 2  
24 and the Superior Federal No. 8 well in the  
25 southwest quarter of Section 1.

1           The B zone could be developed in the  
2 northwest quarter of Section 1 and would be  
3 essentially undrained since the Superior Federal  
4 No. 8 and 9 wells did not encounter the zone with  
5 reservoir porosity.

6           The cross-section depicts the Strawn A  
7 zone pinching out in the Chevron Eddy State  
8 well. The porosity pinch-out forms an up-dip  
9 perm barrier, which stratigraphically seals the  
10 reservoir creating the trapping mechanism for  
11 hydrocarbon emplacement.

12           The permeability barrier can be  
13 projected northeast and southwest of the Chevron  
14 Eddy State well. It is the perm barrier which  
15 essentially separates the Strawn reservoirs in  
16 the west part of the pool, Sections 5, 6, 7, 8,  
17 and 9, from the reservoirs producing in the  
18 eastern part of the East Burton Flat Strawn  
19 Pool.

20           Q.     Okay. So is what you're saying is that  
21 the Strawn wells, which are all marked in green,  
22 although they're all on the East Burton Flat  
23 Pool, there's two separate reservoirs?

24           A.     Yes, sir.

25           Q.     Would you, please, continue with your

1 discussion.

2 A. Yes. I'd like to refer you to the  
3 isopach map. The isopach map is a net porosity  
4 map constructed employing a porosity cutoff  
5 greater or equal to 2 percent. The 2 percent  
6 figure was calculated by cross-plotting the  
7 density and neutron porosities arriving at an  
8 average of the two porosity readings.

9 The 2 percent cutoff was used in an  
10 attempt to map pore volume that is contributing  
11 to production. Using a higher porosity cutoff  
12 would yield a zero value to the well that's -- to  
13 the TXO Burton Flat Federal No. 1 well, which is  
14 now operated by Marathon completed in the  
15 northwest quarter of Section 14, which is a  
16 producer.

17 The Strawn A zone in this area of Eddy  
18 County was deposited as a low-relief carbonate  
19 buildup. This carbonate buildup consists of  
20 randomly-occurring porosity stringers within the  
21 A, B, and C zones.

22 Strawn A porosity is considered to be  
23 related to algal mound development. This  
24 carbonate feature exhibits a northeast-southwest  
25 orientation, as you can see from the isopach map,



1 and is approximately five miles long and  
2 one-and-a-half miles wide.

3 Both the geometry of the reservoir and  
4 the productive porosity range of 2 to 12 percent  
5 are indicative of algal mound type reservoirs.  
6 Algal mound reservoirs generally exhibit  
7 preferential matrix permeability related to algal  
8 grain stone deposition.

9 Personal examination by myself of  
10 Strawn cutting samples in this Superior Federal  
11 No. 8 and No. 9 wells shows the reservoir rock to  
12 be an algal grain stone. This preferential  
13 matrix permeability yields maximum drainage  
14 occurring in a northeast-southwest direction  
15 parallel to the long axis of the algal mound.

16 Any naturally-occurring fractures would  
17 also align in a northeast-southwest orientation,  
18 again parallel to the long axis of the algal  
19 mound.

20 Electrical log analysis supports  
21 fracturing as indicated by caliper washout and  
22 large separation in resistivity readings between  
23 the shallow and deep resistivity tools.

24 These directional permeability trends  
25 would indicate that the effective drainage

1 pattern is preferentially occurring along a  
2 northeast-southwest trend.

3 This means the existing wells are not  
4 effectively draining reservoir under the  
5 northwest quarter of Section 1. Therefore, to  
6 effectively and efficiently recover hydrocarbons  
7 in the northwest quarter, a well would have to be  
8 drilled.

9 The isopach indicates significant pore  
10 volume should be encountered in the northwest  
11 quarter of Section 1 in the Strawn A zone. Thus  
12 from a geologic standpoint, the northwest quarter  
13 of Section 1 is a favorable location for an  
14 infill well.

15 Now, for purposes of isopaching, the  
16 Strawn A zone was treated as a continuous uniform  
17 zone, which is not always the case. If you'll  
18 look at the cross-section, please observe the  
19 Superior Federal No. 9 well on the east side, the  
20 far right side of the cross-section.

21 A basal porosity zone was encountered  
22 in the No. 9 well, and it's colored in red.  
23 Moving south and west to the No. 8, both the  
24 basal number, the red, and a middle number, the  
25 green, were encountered.

1           Some upper A porosity above the middle  
2 member is trying to develop in the No. 8, and I  
3 colored that in yellow. This leaves the  
4 possibility for additional productive reservoir  
5 rock forming in the northwest quarter of Section  
6 1, which is essentially undrained by the existing  
7 No. 8 and No. 9 boreholes.

8           Considering the random porosity  
9 development, it is a distinct possibility to  
10 encounter multiple zones with high pore volume by  
11 drilling a well in northwest quarter of Section 1  
12 and recover hydrocarbons that would not be  
13 otherwise recovered.

14         Q.     Okay. Would you refer to the field  
15 designation map in the upper right-hand corner of  
16 your exhibit and identify the Strawn pools in the  
17 area and discuss the spacing of those pools.

18         A.     Yes. If you would look, the green  
19 circles represent the East Burton Flat Strawn  
20 Pool, which is a gas pool spaced on 320 acres.

21           The blue triangles on the north part of  
22 the map are the Parkway Strawn Pool, which is an  
23 oil pool spaced on 160 acres. The Southland well  
24 in the southwest quarter of Section 25 produces  
25 from the Strawn A zone, which is the same

1     reservoir as the East Burton Flat Strawn  
2     Reservoir.

3             The brown triangle on the west side of  
4     the map is the Burton Flat Upper Strawn Pool, an  
5     oil pool spaced on 160 acres. The red triangle  
6     on the south part of the map is the South Parkway  
7     Strawn Pool, an oil pool spaced on 40 acres.  
8     Marathon is operating the well. It was drilled  
9     by TXO. It's the Williamson Federal No. 4 well,  
10    which I've indicated with the red triangle. It  
11    also produces from the Strawn A zone, which is  
12    the same reservoir as the East Burton Flat  
13    Strawn.

14            My conclusions are there are Strawn  
15    wells spaced on less than 320 acres. Also there  
16    are two existing wells spaced on less than 320  
17    acres that are perforated in the same Strawn A  
18    reservoir as the East Burton Flat Strawn Gas  
19    Pool.

20            Also, please note, if you look on the  
21    map, the green circles in and around Section 11,  
22    12, and north of that in Section 1 and Section 2,  
23    these wells are -- they're on effective 160-acre  
24    development.

25            The green circles in the north half of

1 Section 11, the northwest quarter of Section 12,  
2 the southwest quarter of Section 1, and the  
3 southeast quarter of Section 2, these five wells  
4 are effectively spaced on 160 acres. And a  
5 proposed well in the northwest quarter of Section  
6 1 would fit in with this particular development.

7 Q. Was Exhibit 3 prepared by you or under  
8 your direction, Mr. Fear?

9 A. Yes, it was.

10 Q. In your opinion would the granting of  
11 this application be in the interests of  
12 conservation and the prevention of waste?

13 A. Yes, it would.

14 MR. BRUCE: Mr. Examiner, I move the  
15 admission of Presidio's Exhibit 3.

16 EXAMINER STOGNER: Are there any  
17 objections?

18 MR. CARR: No objections.

19 EXAMINER STOGNER: Exhibit 3 will be  
20 admitted into evidence.

21 Mr. Carr, your witness.

22 EXAMINATION

23 BY MR. CARR:

24 Q. Mr. Fear, the original well on the  
25 north half of Section 1 is the No. 9 well?

1           A.     No.    In the north half of Section 1,  
2   the first well was the No. 8 well.

3           Q.     On this spacing unit?

4           A.     Yes.   You said the original well.

5           Q.     In the north half?

6           A.     Yes, the No. 9 well.

7           Q.     When was that drilled; do you know?

8           A.     Yes.   Approximately 5 of 90 or 7.   I  
9   have it written down here.   5/90.

10          Q.     Were you the geologist involved in the  
11   drilling of that well?

12          A.     Yes, sir, myself and another geologist,  
13   Michael Ducing.

14          Q.     When you construct a map like the  
15   isopach map, what information are you using, your  
16   well control information only, or have you  
17   integrated some seismic work in there?

18          A.     Strictly well control.

19          Q.     As I look at this, you have a 40-foot  
20   contour on this isopach; correct?

21          A.     Yes, sir.

22          Q.     Do you have any well in the area that  
23   actually has, at a 2 percent porosity cutoff, 40  
24   feet of pay?

25          A.     Close.   I have a 39.   And conventional

1       contouring allows me to draw 40 in there.

2           Q.       Do you have anything north of that that  
3       would suggest that you pull that 40-foot contour  
4       up like you have into the northwest of that  
5       section?

6           A.       I have 22 feet up in Section 36, which  
7       allows me to bring a 30 up, which allows me to  
8       bring a 40 up.

9           Q.       So that's the control point that causes  
10      you to pull that 40-foot contour up?

11          A.       Not only that, the spacing between  
12      the -- the Anthill well has 37 feet, and I have  
13      39 feet. So just by naturally contouring, it's  
14      got to be a pretty thick interval in there.

15          Q.       There's nothing off to the north and  
16      west that would suggest that. You're going up to  
17      the Santa Fe -- is that the Santa Fe 22 well?

18          A.       No. 22 is the datum.

19          Q.       That's the datum point?

20          A.       Yes. I believe the well is the 10-36.

21          Q.       Now, when you worked on the No. 9 well,  
22      which you proposed last summer --

23          A.       Yes.

24          Q.       -- or summer a year-and-a-half ago, did  
25      you also do some isopachs of the zone?

1 A. Yes.

2 Q. Did you use a 2 percent cutoff in  
3 those?

4 A. Actually I've used about five or six  
5 different cutoffs: gross thickness, 1 percent, 2  
6 percent, 4 percent, and I think I have a 6  
7 percent also.

8 Q. Did you use anything less than the 2  
9 percent cutoff?

10 A. Yes, I have a 1 percent and a zero,  
11 which would be just clean gamma ray.

12 Q. When you do that, the smaller the  
13 porosity cutoff, in fact, the smaller the  
14 drainage area you anticipate; isn't that right?

15 A. I don't know if I would be qualified to  
16 comment on that. That's more of an engineering  
17 question.

18 Q. If we look at this, what you're seeking  
19 is an additional well in the north half of the  
20 section?

21 A. Yes, sir.

22 Q. And based on your geological  
23 interpretation, this is the better location then?

24 A. Yes, sir.

25 Q. If you were drilling just one well, in



1 fact this would be -- it would be better to  
2 develop this in the northwest, would it not?

3 A. Well, you know, I got the No. 9 there  
4 telling me, I got the Fortson well over there  
5 giving me data, so I don't think that's really a  
6 fair question.

7 Q. The question I have is if you were  
8 drilling a well in the north half today, where is  
9 the best location? It's in the northwest, is it  
10 not?

11 A. Oh, I'm sorry. I misunderstood you.  
12 Yes, somewhere in the northwest.

13 Q. And you're proposing to leave both  
14 wells on production?

15 A. Yes, sir.

16 Q. Is there any geologic reason that you  
17 would need to put both wells on? Is there any  
18 potential harm from a geologic point of view to  
19 your correlative rights by being required to shut  
20 one well in at a time? I'm talking just about  
21 geology.

22 A. Would you repeat the question?

23 Q. Is it possible that you could produce  
24 the north half by shutting one well in, say, by a  
25 month and then going to the other well and

1 producing it? Is there any factor in your area  
2 of expertise that would say you shouldn't do  
3 that?

4 A. Well, if I were allowed to drill the  
5 northwest quarter, I may pick up other porosity  
6 stringers that I wouldn't have in the No. 9. So  
7 you wouldn't be producing all your reservoir if  
8 you shut one in.

9 Q. At any one particular moment?

10 A. Right.

11 MR. CARR: That's all.

12 MR. STOVALL: Mr. Carr, do you wish to  
13 incorporate a memorandum that may have been  
14 issued at some point in time?

15 MR. CARR: I may do that at some  
16 point.

17 MR. STOVALL: You weren't here this  
18 morning, I assume, Mr. Bruce?

19 EXAMINATION

20 BY EXAMINER STOGNER:

21 Q. You said you were around when the No. 9  
22 well was drilled; is that correct?

23 A. Yes, sir, the No. 8 and the No. 9.

24 Q. Okay. How much did your contour map  
25 and your isopach map change after those two wells

1 were drilled?

2 A. After they were drilled?

3 Q. Yes.

4 A. Well, of course, I had more data to  
5 make the reservoir bigger up to the northeast.

6 Q. Did you obtain your --

7 A. Before we drilled the No. 8, there was  
8 basically -- the No. 4 Slinkard wasn't there; the  
9 Fortson well wasn't there; the Santa Fe well  
10 wasn't there. You just had the Anthill State,  
11 and it was just kind of a risky move to the  
12 east. You know, it may be there; it may not.

13 As a matter of fact -- yeah, that's  
14 basically my answer. As a result of drilling the  
15 8 and 9, we've been able to delineate the extent  
16 of the reservoir now.

17 Q. What if you would have drilled your  
18 proposed location first?

19 A. In the northwest?

20 Q. Right. Would there be any need to have  
21 the No. 9 well today as an infill well instead of  
22 the other way around?

23 A. I'm not real sure.

24 EXAMINER STOGNER: Okay. Any other  
25 questions of this witness?

1 MR. BRUCE: I have one, Mr. Examiner.

2 FURTHER EXAMINATION

3 BY MR. BRUCE:

4 Q. Mr. Carr asked you, Mr. Fear, about the  
5 2 percent cutoff, say, versus a 4 percent  
6 cutoff. I think you discussed it briefly in your  
7 testimony, but what led you to use that 2 percent  
8 cutoff?

9 A. If I moved up to, say, like a 4 percent  
10 value, then I had to produce a well that had zero  
11 as a value.

12 Q. Which well would that be?

13 A. That was TXO Burton Flat Federal well.  
14 The bottomhole location is in the northwest of  
15 Section 14. It's on the bottom of the structure  
16 and isopach maps.

17 Q. Yet that well is producing?

18 A. Yet that well produces. So that's why  
19 I felt like 2 percent was probably contributing  
20 to a productive core volume.

21 MR. BRUCE: Thank you.

22 EXAMINER STOGNER: I have no other  
23 questions of this witness at this time, maybe at  
24 a later point.

25 Any other questions, Mr. Carr? If not

1 he may be excused.

2 Mr. Bruce.

3 MR. BRUCE: Call Mr. Wolfarth to the  
4 stand.

5 MR. STOVALL: Mr. Bruce, before we get  
6 started with the next witness --

7 (A discussion was held off the record.)

8 EXAMINER STOGNER: Mr. Bruce.

9 CHRIS WOLFARTH

10 Having been duly sworn upon his oath, was  
11 examined and testified as follows:

12 EXAMINATION

13 BY MR. BRUCE:

14 Q. Mr. Wolfarth, would you state your full  
15 name for the record and your city of residence.

16 A. My name is Chris Wolfarth. I am  
17 presently living in Englewood, Colorado.

18 Q. Have you previously testified before  
19 the Division?

20 A. No, I have not.

21 Q. Would you, please, state your  
22 educational and work background.

23 A. Yes. I have a bachelor of science  
24 degree in chemical engineering from the  
25 University of Pittsburgh in Pittsburgh,

1 Pennsylvania. I worked for Amoco Production  
2 Company for four-and-three-quarter years as a  
3 petroleum engineer specializing in operations and  
4 reservoir engineering.

5 Following that period I was employed by  
6 Freeport McMoran for two-and-a-half years as a  
7 senior reservoir engineer. I then worked for  
8 Kaiser Energy for two years as senior petroleum  
9 engineer specializing in operations and reservoir  
10 engineering.

11 Since August of 1987 I've been employed  
12 by Presidio as a petroleum engineer. And my  
13 duties with Presidio include operations  
14 engineering, well economics, production  
15 forecasting, estimating reserves, and evaluating  
16 acquisition and divestiture opportunities for the  
17 company.

18 Q. Does your area of responsibility at  
19 Presidio include southeast New Mexico?

20 A. Yes, it does.

21 Q. Are you familiar with the engineering  
22 matters related to this application?

23 A. Yes, I am.

24 MR. BRUCE: Mr. Examiner, I tender Mr.  
25 Wolfarth as an expert in petroleum engineering.

1 EXAMINER STOGNER: Mr. Wolfarth is so  
2 qualified.

3 Q. (BY MR. BRUCE) Mr. Wolfarth, would you  
4 summarize what Presidio's position in this case  
5 is and the reason it's asking to drill the infill  
6 well?

7 A. Yes. It's Presidio's opinion that the  
8 two wells located within Section 1 are incapable  
9 of draining gas and condensate reserves  
10 underlying their designated units. These wells  
11 are the Presidio Superior Federal Well Nos. 8 and  
12 9.

13 Therefore, an additional well, which  
14 we'll call the Presidio Superior Federal No. 10  
15 well, is a necessary well for developing these  
16 undrained reserves within Section 1.

17 Q. Have you performed a reservoir  
18 engineering and production performance study of  
19 this Strawn reservoir under consideration?

20 A. Yes, I have. My engineering study  
21 concentrates on the production behavior of 11  
22 wells, all of which are producing from the Strawn  
23 A reservoir. These wells are operated by  
24 Presidio, Yates Petroleum Corporation, Marathon  
25 Oil Company, Fortson Oil Company, and Santa Fe

1 Energy Resources.

2 The wells are highlighted in yellow on  
3 Alan Fear's isopach map, which was previously  
4 discussed in Exhibit No. 3.

5 Q. Would you, please, discuss the  
6 reservoir's production characteristics, and I  
7 refer you to Exhibits 4-A through 4-C.

8 A. Yes. Exhibit No. 4-A displays in a  
9 tabular form gas condensate and water production  
10 for the described wells on both a monthly and a  
11 cumulative basis. From this information I have  
12 calculated gas-oil or gas-condensate ratios,  
13 percentage water and percentage water cuts. The  
14 information is updated through September 30 of  
15 1991.

16 First continuous production from the  
17 reservoir occurred during January of 1988. Since  
18 that time approximately 3.5 Bcf of gas, 1.1  
19 million barrels of condensate and 54,000 barrels  
20 of water had been removed from these wells.

21 I'd like to present the information in  
22 a graphical format on Exhibit No. 4-B. This  
23 exhibit is a plot of monthly condensate  
24 production, GOR, and number of active completions  
25 versus cumulative condensate production.



1           From the plot you can see that the  
2       reservoir withdrawal rate has risen from its  
3       initial rate of approximately 2100 barrels per  
4       month from two completions to its present rate of  
5       52,467 barrels per month from 10 completions.

6           Santa Fe's well, the eleventh  
7       completion, is not represented in this data since  
8       the well was undergoing testing operations at the  
9       time of my study.

10           From the GOR information presented,  
11       monthly gas withdrawals are calculated to have  
12       increased from approximately 3.4 million cubic  
13       feet per month to approximately 147 million cubic  
14       feet.

15           It's important to notice that the GOR's  
16       have remained essentially constant during this  
17       time period and have averaged 3,116 cubic feet  
18       per barrel.

19           Exhibit No. 4-C is a plot of percentage  
20       water cut versus cumulative condensate  
21       production. From this plot you'll notice that  
22       the percentage water cuts from these completions  
23       have ranged from only -- or have ranged from zero  
24       percent to only 2 percent up through about  
25       790,000 barrels of recovery.

1           Water percentages increased to  
2 approximately 17 percent for a short time period  
3 but have since declined to 9 percent. This brief  
4 increase in water production is believed to have  
5 occurred as a result of certain acid stimulation  
6 workovers performed in the period and as a result  
7 of certain wells completed on the flank of the  
8 structure and near to the hydrocarbon-water  
9 transition zone. The number of active  
10 completions is also shown on this graph.

11           I have also prepared similar tabular  
12 and graphical data on an individual well basis  
13 for the OCD's review. And unless you would like  
14 to discuss it on a per-well basis, I'll submit it  
15 as Exhibit No. 5.

16           Q.     Have you studied production performance  
17 and reservoir pressure response in relationship  
18 to reservoir fluid withdrawal?

19           A.     Yes, I have.

20           Q.     And what are your findings with respect  
21 thereto?

22           A.     PBT data obtained from both the  
23 Presidio Superior Federal No. 8 well and the  
24 Yates Slinkard UR Federal No. 2 well both agree  
25 that this is a gas reservoir with a dew point

1 pressure in excess of 4500 PSI.

2 This means that when the reservoir  
3 pressure declines below the dew point pressure, a  
4 dramatic increase in the producing GOR would be  
5 expected. From initial production to date, this  
6 has not happened in any well within the study  
7 area, and there are no exceptions.

8 Exhibit No. 6 is a representation of  
9 reported reservoir pressure from April 2 of 1984  
10 through July of 1991. The information is  
11 comprised of drill stem test data and pressure  
12 buildup surveys from nine of the reservoirs'  
13 eleven completions.

14 Original reservoir pressure is  
15 estimated to have been 4,789 PSI. This was  
16 measured in the Yates Slinkard UR Federal No. 2  
17 well on May 16, 1984, following a 521-hour  
18 shut-in period.

19 The most recent pressure survey was  
20 conducted upon drill stem tests in the Yates  
21 Slinkard UR Federal No. 4 well during July of  
22 1991. This well reported a reservoir pressure of  
23 3,280 PSI following a three-hour shut-in period.

24 Since the producing GOR's have remained  
25 constant, I have strong reason to believe that

1     this final pressure does not represent the true  
2     matrix reservoir pressure. The Strawn formation  
3     is a carbonate formation, as Alan discussed,  
4     which characteristically possesses low  
5     permeability.

6             In sampling pressures in this type of  
7     formation, up to several weeks of shut-in time  
8     may be necessary to measure representative  
9     reservoir pressures. To date we are relying on  
10    short-term buildups.

11            The lower pressures measured in these  
12    wells on Exhibit No. 6 more closely represent  
13    pressure within the natural fracture system of  
14    the reservoir and not that of the matrix system  
15    where the vast majority of the reservoir's  
16    hydrocarbons are contained.

17            Q.     Mr. Wolfarth, what do you conclude from  
18    your study of production performance and  
19    bottomhole pressure observations?

20            A.     My conclusions are that, number one,  
21    the reservoir is not experiencing any detrimental  
22    effects of retrograde condensation observed from  
23    GOR stability.

24            Number two, there is essentially no  
25    aquifer encroachment, as observed from low

1 percentage water constant produced fluids.

2 And, number three, the reservoir drive  
3 mechanism is depletion drive.

4 Q. Have you calculated recoverable  
5 reserves by volumetrics under Section 1? And I  
6 would refer you to Exhibits 7-A through 7-D.

7 A. Yes, I have. Exhibit No. 7-A displays  
8 the volumetric parameters, calculations of gas in  
9 place, recoverable gas in place, and percentage  
10 recovery for the Superior Federal No. 8 well.

11 The reservoir temperature of 160  
12 degrees Fahrenheit is averaged from temperatures  
13 measured from the Yates Eland AFC Federal Com.  
14 No. 1, Slinkard UR Federal Nos. 1 and 4, Presidio  
15 Superior Federal Nos. 8 and 9, Fortson Sylvite  
16 Federal No. 1, and Santa Fe East Burton Flat 36  
17 State No. 10 wells.

18 Temperatures measured in the Yates UR  
19 Federal No. 2 and Anthill AAK State No. 1 wells  
20 were not included in this average since it is  
21 thought that these higher temperatures more  
22 closely represent those in the Morrow formation,  
23 which is approximately 550 feet below the base of  
24 the Strawn.

25 The reservoir pressure used a 4,030 PSI

1 as the pressure measured during drill stem  
2 testing procedures on May 6 of 1990 in the  
3 Superior Federal No. 8 well.

4 Porosity values are identified through  
5 well log interpretation and average 6.54 percent  
6 over the wells' net pay interval. Water  
7 saturations, gas deviation, and formation volume  
8 factors are calculated values.

9 From these parameters, original gas in  
10 place is calculated to be 440 Mcf per foot.  
11 Assuming a depletion-drive-recovery mechanism  
12 with 1500 pounds of PSI or abandonment pressure,  
13 recoverable gas in place calculates to be 279 Mcf  
14 per acre foot, representing the 62 percent  
15 recovery factor.

16 Shown on Exhibit 7-B are volumetric  
17 data and similar calculations for the Superior  
18 Federal No. 9 well. For this well original gas  
19 in place and recoverable gas in place calculate  
20 at 535 Mcf per acre foot and 322 Mcf per acre  
21 foot respectively. A recovery factor of 60  
22 percent is calculated for this well.

23 Exhibit No. 7-C is a net pay weighted  
24 average recoverable gas in place calculation of  
25 Section 1. Applying 39 feet of net pay in the

1 Superior Federal No. 8 well and 10 feet of net  
2 pay in the Superior Federal No. 9 well, the  
3 weighted average recoverable gas in place  
4 calculates to be 288 Mcf per acre foot.

5 From this, volumetric recoverable  
6 reserves for Section 1 are estimated to be  
7 approximately 4.95 Bcf of gas and 1.1 million  
8 barrels of condensate. The pore volume  
9 underlying Section 1 is calculated at 17,190 acre  
10 feet. And these calculations are represented on  
11 Exhibit No. 7-D.

12 Q. Of your reserve estimate what do you  
13 expect will be recovered by the Superior Federal  
14 Nos. 8 and 9 wells? And I would refer you to  
15 Exhibit Nos. 8-A through 8-C.

16 A. Exhibit Nos. 8-A and 8-B are graphical  
17 representations showing the historical production  
18 and production forecasts for the No. 8 and No. 9  
19 wells. Exhibit No. 8-C shows calculations of  
20 remaining and ultimate recoverable reserves made  
21 from these projections.

22 On an aggregate basis, gross ultimate  
23 recoverable reserves are approximately 2.9 Bcf of  
24 gas and 754,000 barrels of condensate.  
25 Cumulative production as of September 30, 1991 is

1 807 million cubic feet of gas and 179,000 barrels  
2 of condensate for these wells.

3 The estimated remaining recoverable  
4 reserves by decline curve analysis are therefore  
5 2.1 Bcf of gas and 575,000 barrels. A 30 percent  
6 annual decline rate has been applied to each well  
7 to arrive at these estimates.

8 Q. What are the unrecovered reserves  
9 underlying Section 1 if the infill well, the  
10 proposed No. 10 well, is not drilled?

11 A. That is shown on Exhibit No. 9 which  
12 compares ultimate recoverable reserves estimated  
13 volumetrically to those determined by decline  
14 curve analysis.

15 Again, the volumetric ultimate  
16 recoverable reserves are estimated to be  
17 approximately 4.95 Bcf of gas and 1.1 million  
18 barrels of condensate. The decline curve  
19 ultimate recoverable reserves are 2.9 Bcf of gas  
20 and 754,000 barrels. Undrained reserves  
21 underlying Section 1 are therefore estimated to  
22 be 2.1 Bcf of gas and 346,000 barrels.

23 Q. Will it be economical for Presidio to  
24 drill the No. 10 well in the northwest quarter of  
25 Section 1 to recover these reserves?



1           A.       Yes, it will.   Presidio's estimated  
2       completed well cost to drill a Strawn development  
3       well in this area is \$776,000, an initial  
4       production rate of 1.2 million cubic feet of gas,  
5       and 200 barrels of condensate per day applied to  
6       current product pricing yields favorable  
7       economics.   And this well is expected to pay out  
8       within nine months after deducting expenses and  
9       severance taxes.

10          Q.       Why did Presidio choose the location  
11       for the proposed well 1300 feet from the north  
12       and west lines of Section 1?

13          A.       The location was chosen for the  
14       following reasons:   From a geological viewpoint  
15       this is the optimum location for developing  
16       Strawn A reserves.   Up to 40 feet of net pay  
17       would be uncovered according to Al Fear's net pay  
18       isopach map.   And this location is structurally  
19       high to existing production within Section 1.

20                 From a reservoir conservation  
21       viewpoint, the well is centrally located in the  
22       northwest quarter of Section 1 in order to  
23       minimize adverse effects on offset producing  
24       wells and in order to comply with the current  
25       effect of 160-acre spacing that is apparent here.

1           Q.       Would you further discuss any effects  
2 on the offsets to the north, northwest, and  
3 west.

4           A.       Yes.   Immediately to the west in the  
5 northeast quarter of Section 2, Chevron drilled,  
6 tested, and plugged back their Eddy State No. 1  
7 well from the Strawn formation.   Chevron  
8 demonstrated that the Strawn formation is not  
9 productive in this area.

10                   Therefore, Presidio does not anticipate  
11 any adverse effects to occur from under Chevron's  
12 lease.   And it should also be noted that Chevron  
13 is not protesting Presidio's proposed location.

14                   To the north in Section 36 drainage  
15 from the proposed well is not expected to be  
16 detrimental to Santa Fe's lease.   Within Section  
17 36 in the northwest quarter, Santa Fe has already  
18 approved that portion of the section to be  
19 noncommercial with the unsuccessful test of their  
20 No. 136 well.

21                   In the southeast quarter of Section 36,  
22 it was also demonstrated to be nonproductive by  
23 Santa Fe in their 10-36 well.   Although this well  
24 drill stem tested oil from the Strawn A  
25 formation, subsequent testing has reportedly

1 resulted with high water cuts, and this  
2 noncommercial well has now been shut in for the  
3 past eight months past its completion date.

4 Also note that if we do make a  
5 successful completion at our No. 10 location, we  
6 will prove or could prove the southwest quarter  
7 of Section 36. Presidio thinks that a well  
8 should be drilled in this area and in fact has  
9 actively sought a farmout from Santa Fe to drill  
10 a well in this area.

11 Moving over to Section 35 from A1's  
12 isopach map, we don't expect any detrimental  
13 effects to occur from within the southeast  
14 quarter of that section due to the fact that we  
15 have a porosity pinch-off moving in that  
16 direction.

17 Q. Okay. Would you summarize Presidio's  
18 position then in this application.

19 A. In summary, reserves amounting to 2.1  
20 Bcf of gas and 346,000 barrels of condensate will  
21 be left in the ground if an additional well is  
22 not drilled in the northwest quarter of Section  
23 1. Based on that Presidio believes that this  
24 application should be granted to prevent waste.

25 Q. Were Exhibits 4 through 9 prepared by

1 you or under your direction?

2 A. They were.

3 MR. BRUCE: Mr. Examiner, I would move  
4 the admission of Presidio Exhibits 4 through 9.

5 EXAMINER STOGNER: Are there any  
6 objections?

7 MR. CARR: No objections.

8 EXAMINER STOGNER: Exhibits 4 through 9  
9 will be admitted into evidence.

10 Mr. Carr, your witness.

11 EXAMINATION

12 BY MR. CARR:

13 Q. We are talking about the East Burton  
14 flat field; is that correct?

15 A. That is correct.

16 Q. Do you know if that's a prorated field  
17 or not?

18 A. It's a prorated field.

19 Q. It is a prorated field?

20 A. It's not a prorated field. Excuse me.

21 MR. STOVALL: They have an exhibit that  
22 says that, Mr. Carr.

23 THE WITNESS: Is that okay? I picked  
24 it up off the exhibit. I apologize.

25 MR. CARR: That's no problem. It's

1 refreshing to see another technical witness that  
2 doesn't know that.

3 MR. STOVALL: That's legal type stuff.

4 MR. CARR: I just wanted to be able to  
5 say that.

6 Q. (BY MR. CARR) You studied eleven  
7 wells; is that what you indicated?

8 A. Yes, eleven.

9 Q. And you included in the study the Yates  
10 Slinkard UR Federal No. 1 well, I believe?

11 A. That's correct.

12 Q. Well, let's go to your Exhibit No. 6.  
13 That would give us something to work from. We've  
14 got the Slinkard UR Federal No. 2 well as the  
15 first well on there. And if I read this  
16 correctly, the first -- is that the day it was  
17 completed or first produced, the date column?

18 A. The date, I believe, is the date of  
19 completion.

20 Q. And then we have a bottomhole pressure  
21 that is reflected under your reservoir column of  
22 4,647?

23 A. Correct.

24 Q. Now, if we go down and we find in 1990  
25 the first Presidio well listed, your Superior

1 Federal No. 8, we've had a decrease in the  
2 bottomhole pressure in the reservoir of, oh, by  
3 your calculation, what, 650 pounds, 600 pounds,  
4 something like that?

5 A. The pressure measured on May 6 of  
6 1990?

7 Q. Yes.

8 A. That is the pressure that was recorded  
9 after a three-hour drill stem test.

10 Q. If we look at these, you've got them  
11 really in chronological order, do you not?

12 A. I do, yes.

13 Q. And the bottomhole pressures show a  
14 regular decline from top to bottom in this well?

15 A. That's right.

16 Q. Doesn't this suggest to you the wells  
17 in this pool as a whole are draining fairly large  
18 areas?

19 A. It doesn't necessarily reflect drainage  
20 across the individual wells. As I testified  
21 earlier, we feel that the pressures measured in  
22 these wells are more representative of the  
23 pressure within the fracture system of the  
24 reservoir. And that fracture system will be or  
25 may be in communication more easily between wells

1     than the matrix formation pressure will be.

2           Q.     What would cause these pressures to  
3     decline over this period of time other than  
4     production? Anything?

5           A.     No.

6           Q.     And it would show that whether it's in  
7     the fractures or in the matrix of the formation  
8     that there is communication between wells over a  
9     large area; isn't that fair to say?

10          A.     Communication in a large area, but the  
11     area that we're studying again is, as Alan  
12     testified, trending in the northeast to southwest  
13     direction. And we feel that if there is pressure  
14     communication between the wells, it would be  
15     along the natural fracture system of the  
16     formation.

17          Q.     When you studied these wells, your  
18     study was basically a field-wide study in this  
19     portion of the field, this eastern portion of the  
20     field?

21          A.     Field-wide, including the wells that I  
22     indicated.

23          Q.     Do you have an opinion on whether or  
24     not wells throughout the field are draining less  
25     than 320 acres, or is it just the No. 9?

1           A.       I would, from what I've studied in  
2       Section 1, both the Superior Federal No. 8 and  
3       No. 9 wells are draining less than 320 acres.

4           Q.       Can you testify as to whether or not  
5       that same situation, say, would apply to the  
6       Yates' wells in Section 11?

7           A.       I haven't studied it to that degree,  
8       no.

9           Q.       If we look at the No. 8 and 9 wells,  
10       the Presidio wells, are they basically on the  
11       eastern flank of the field?

12          A.       Basically, yes.

13          Q.       And couldn't that be one of the reasons  
14       they were draining a smaller area? It's just a  
15       poorer reservoir over there, or there's less of  
16       it?

17          A.       Well, not necessarily. If you go back  
18       to Al's isopach map, we do pick up some of the  
19       higher quality reservoir within the Superior  
20       Federal No. 8 well, so I don't think that's a  
21       representative statement for those two wells.

22          Q.       They're not on the eastern edge of the  
23       field?

24          A.       No. They are on the eastern edge of  
25       the field.



1 Q. Now, the proposed location --

2 A. Okay.

3 Q. -- this location is necessary,  
4 according to your testimony, to produce the  
5 reserves under the north half; is that fair? I'm  
6 not trying to put words in your mouth. You can  
7 tell me if I'm wrong.

8 My understanding of your testimony was  
9 you need this location to produce the reserves  
10 that are under the northwest quarter of Section  
11 1?

12 A. Undrained in Section 1 in the northwest  
13 quarter.

14 Q. And without it those reserves won't be  
15 produced?

16 A. That's correct.

17 Q. And if I look at your testimony about  
18 you're not experiencing a retrograde  
19 condensation, you don't have water encroachment,  
20 your testimony about your depletion rate, was  
21 that directed at saying you can increase the  
22 withdrawal without having a reservoir problem, or  
23 am I missing what you're trying to say with that  
24 conclusion?

25 A. The statement was made to say that we

1 will not have any detrimental effects to the  
2 reservoir with an additional tape point.  
3 Retrograde condensation has not become a problem.

4 Q. So you can do this -- you can add the  
5 additional without risking reservoir problems; is  
6 that what you said?

7 A. That is correct.

8 Q. Is there any reason that you couldn't  
9 produce the well at the proposed location one  
10 month, shut it in, produce the well at the old  
11 location the next month, and not -- by that  
12 mechanism be able to produce the reserves that  
13 are under the northwest quarter?

14 A. Again, that was -- I guess that was the  
15 same question you asked Al earlier. I don't  
16 think you would benefit by producing a well and  
17 shutting in the other well for the reason that Al  
18 had mentioned earlier was that we may be opening  
19 up some additional reservoir rock in the new  
20 location and to the effect that we don't know if  
21 we are experiencing any drainage from the  
22 Superior Federal No. 9 or the No. 8 well into the  
23 northwest direction in Section 1.

24 Q. If you did alternate the wells so you  
25 would have your well in the northwest quarter and

1 you would be able to get those reserves  
2 ultimately, would you not?

3 A. Yes. I mean you would be able to  
4 produce and obtain those reserves.

5 Q. You're not proposing to plug and  
6 abandon the old well when you get this one?

7 A. No.

8 Q. It still has a long producing line?

9 A. Oh, yes.

10 Q. Have you made any estimates of what  
11 pressure you're anticipating you will encounter  
12 at the No. 10 location? Is that something you  
13 can do?

14 A. Well, it would probably be based upon  
15 the PVT data that we had talked about earlier.  
16 Knowing that we are not below a dew point  
17 pressure, and the dew point pressures were  
18 estimated to be somewhere in excess of 4500  
19 pounds, that we should drill or tag in to our  
20 reservoir pressure above the dew point pressure,  
21 let's say 4500 pounds or more.

22 Q. So you're anticipating that you'll tag  
23 into a pressure in that well that is higher by  
24 some --

25 A. By the matrix pressure, yes.

1 Q. And are these matrix or fracture or do  
2 you know?

3 A. I cannot say for sure which ones they  
4 are. They're just reported pressures from either  
5 the buildup survey or from the drill stem test.

6 Q. So you're expecting a matrix pressure  
7 that is about 500 pounds above any of the  
8 recent -- the two Presidio wells which you  
9 recently drilled in the area?

10 A. It's possible.

11 Q. You have to drill it to see?

12 A. It's a way to test it, yes.

13 MR. CARR: That's all I have. Thank  
14 you.

15 EXAMINER STOGNER: Thank you, Mr. Carr.  
16 Mr. Bruce, any redirect?

17 MR. BRUCE: Just briefly, Mr.  
18 Examiner.

19 FURTHER EXAMINATION

20 BY MR. BRUCE:

21 Q. Mr. Carr asked you about producing on  
22 alternate months. Do you think this is  
23 necessary, producing the No. 9 well and the  
24 proposed No. 10 well?

25 A. No.

1 Q. Do you think it will harm the reservoir  
2 to produce both simultaneously?

3 A. No.

4 MR. BRUCE: Thank you, Mr. Examiner.

5 EXAMINATION

6 BY EXAMINER STOGNER:

7 Q. In looking at your Exhibit No. 9, the  
8 undrained reserves in Section 1 -- 2.1 Bcf and  
9 345,000 barrels, now if this well was not  
10 drilled, that would remain undrained, or would  
11 that production be drained by the Chevron well or  
12 the Yates Anthill well?

13 A. It's my opinion that those reserves  
14 would remain undrained. The Chevron well is  
15 abandoned in the Strawn formation. It was  
16 actually an unsuccessful test in this formation.  
17 And I don't anticipate that the Yates Anthill  
18 well will recover those reserves.

19 Q. So those reserves would just be there,  
20 and you're not really drilling the well for  
21 protection of correlative rights because the  
22 production is not being drained; is that correct?

23 A. Correct.

24 Q. Okay. Should this whole reservoir be  
25 spaced on 160?

1           A.       Not at this time. We feel that it's  
2 too early to make that determination for the  
3 entire pool, and we wouldn't want to impose any  
4 development obligations on other offset operators  
5 if it is unnecessary for them, if they do not see  
6 it within their existing leasehold position.

7                    So we're not seeking to de-space the  
8 pool, but just requesting this infill, this one  
9 infill location.

10          Q.       Could this information perhaps be  
11 utilized at a later date for changing -- not  
12 changing spacing, but allowing infill throughout  
13 the pool?

14          A.       I believe it would be, yes.

15                   EXAMINER STOGNER: Any other questions  
16 of this witness?

17                   MR. CARR: Maybe one.

18                            FURTHER EXAMINATION

19 BY MR. CARR:

20          Q.       On the pressure numbers again, you  
21 talked about having a 4500 -- you anticipated the  
22 4500?

23          A.       It's possible, yes.

24          Q.       Have you used a pressure in that range  
25 in any of your volumetric calculations?

1           A.       I used the vicinity of 4,000 PSI.

2           Q.       And if you anticipate a matrix pressure  
3 of 4500 in the proposed well location, wouldn't  
4 that have been logical to have used that in the  
5 volumetric calculations for, say, the other well  
6 in the north half?

7           A.       I could have used a higher reservoir  
8 pressure, but in turn what that would have shown  
9 is that we would have had additional reserves  
10 undrained within Section 1. There is perhaps a  
11 little gray area within the pressure reservoir,  
12 pressure matrix versus fracture pressure, and  
13 this is a more conservative approach to it.

14           MR. CARR: That's all. Thank you.

15           EXAMINER STOGNER: Any other questions  
16 of this witness? If not, he may be excused.

17           MR. BRUCE: That concludes my direct  
18 presentation.

19           EXAMINER STOGNER: Mr. Carr, did you  
20 submit a prehearing statement?

21           MR. CARR: Yes, Mr. Stogner, we did.  
22 We were late. It came in Tuesday.

23           EXAMINER STOGNER: I just want to see  
24 what Yates' opinion was.

25           MR. BRUCE: They didn't express one,

1 Mr. Examiner.

2 EXAMINER STOGNER: I was just saying  
3 how concise it is.

4 DAVID F. BONEAU

5 Having been duly sworn upon his oath, was  
6 examined and testified as follows:

7 EXAMINATION

8 BY MR. CARR:

9 Q. Will you state your name for the  
10 record, please.

11 A. David Boneau is my name.

12 Q. And where do you reside?

13 A. I live in Artesia, New Mexico, where I  
14 work for Yates Petroleum Corporation.

15 Q. And what position do you hold with  
16 Yates Petroleum Corporation?

17 A. My position is called reservoir  
18 engineering supervisor.

19 Q. Have you previously testified before  
20 this Division?

21 A. Yes, sir.

22 Q. Were your credentials as a petroleum  
23 engineer accepted and made a matter of record at  
24 that time?

25 A. Yes, sir.



1 Q. Are you familiar with the application  
2 filed in this case on behalf of Presidio?

3 A. Yes, sir.

4 Q. And are you familiar with the portion  
5 of the East Burton Flat area that's involved in  
6 this case?

7 A. Yes, sir.

8 MR. CARR: Are the witness'  
9 qualifications acceptable?

10 EXAMINER STOGNER: Are there any  
11 objections?

12 MR. BRUCE: No, sir.

13 EXAMINER STOGNER: Mr. Boneau is so  
14 qualified.

15 Q. (BY MR. CARR) What does Yates  
16 Petroleum Corporation seek in this case?

17 A. Yates believes and Yates seeks that the  
18 NMOCD deny the application of Presidio for a  
19 second well on the 320-acre spacing unit in the  
20 north half of Section 1 of the township in  
21 question here.

22 We believe the well is not needed to  
23 effectively drain the East Burton Flat Strawn  
24 Pool. We believe that the wells in this pool can  
25 drain 320 acres or more.

1           My -- the main argument I came with  
2 relates to the fact that the wells drilled in  
3 developing the pool encountered reservoir  
4 pressure significantly below original reservoir  
5 pressure.

6           In other words, when the pool was  
7 developed on 320 acres, the development wells  
8 consistently encounter reservoir that had been  
9 partially depleted by earlier wells. This  
10 indicates that the wells could drain 320 acres or  
11 more.

12           And this indicates that Presidio's  
13 proposal to develop the north-half 160 acres is  
14 not appropriate. So we're seeking that the NMOCD  
15 deny their application.

16           Q.     Have you prepared exhibits for  
17 presentation in this case?

18           A.     I have prepared some exhibits, yes,  
19 sir.

20           Q.     And other exhibits have been prepared  
21 for you?

22           A.     I have five exhibits that I have  
23 prepared and supervised the preparation of.

24           Q.     Let's go to what has been marked as  
25 Exhibit No. 1, and I'd ask you quickly to

1 identify and review this for Mr. Stogner. I  
2 think it's similar to a --

3 A. Exhibit No. 1 is a map showing the  
4 locations of the condensate wells in the East  
5 Burton Flat Strawn Pool. It contains no  
6 important information that wasn't shown in the  
7 Presidio exhibit.

8 Q. Let's move then to Exhibit No. 2. What  
9 does Exhibit No. 2 show you?

10 A. Exhibit No. 2 is a table listing  
11 bottomhole pressures measured at wells in the  
12 north portion of the pool. And some of the  
13 things that the Presidio experts said, I think,  
14 need a little elaboration -- or contradiction  
15 would be a better word.

16 I have listed on Exhibit 2 reservoir  
17 pressures for some Presidio wells and some Yates  
18 wells. I maintain that these are stabilized  
19 reservoir pressures. And they were -- they are  
20 all buildups for various lengths of time that  
21 were analyzed via computerized owner analysis and  
22 type curves, et cetera. And they all showed  
23 stable radial flow so that they were in a region  
24 where the pressures could be extrapolated to  
25 reservoir pressures.

1           So I am -- I'm trying to tell you that  
2 I believe a couple things: I believe that these  
3 numbers represent reservoir pressures. And by  
4 kind of inference I'm suggesting that the  
5 pressure analysis -- I'm saying that the pressure  
6 analysis shows no indication of the  
7 double-porosity system presented by Presidio.  
8 This is a matrix reservoir throughout.

9           Okay. With that out of the way, let me  
10 get back to my story.

11          Q.     Okay. Let's go to the Slinkard UR  
12 Federal No. 2 on Exhibit No. 2 and start there.

13          A.     Okay. The original reservoir pressure  
14 was 4822 PSIA, as shown on the first line of  
15 Exhibit 2. And that's an extrapolated pressure  
16 that's converted to this, to a common datum, so  
17 that the pressures are on a consistent basis.  
18 None of that is real relevant there.

19                The actual pressures measured at that  
20 well were in the 4800-pound range and stayed  
21 unchanged, may have gone up a little bit, but  
22 basically 4800 pounds.

23          Q.     All right. And then why don't we  
24 locate that on Exhibit No. 3 for Mr. Stogner.  
25 That well is where?

1           A.       Slinkard No. 2 is in the northwest of  
2       Section 11. The history of this, Mr. Examiner,  
3       is that the discovery well was drilled in 1982,  
4       the Slinkard No. 1. The Slinkard No. 2 was  
5       drilled in 1984, and another Yates well was  
6       drilled about that time frame. As Presidio  
7       testified, there was no production until January  
8       of 1988.

9           Okay. So the original reservoir  
10       pressure was around 4800 pounds, and Yates  
11       drilled the Slinkard No. 1 well in the northeast  
12       quarter of Section 11 and the Slinkard No. 2 well  
13       in the northwest quarter of Section 11 and the  
14       Anthill well in the southeast quarter of Section  
15       2. And before there was any production, lines  
16       were run to it, et cetera, and production started  
17       in 1988.

18          Q.       So the 4822 bottomhole pressure,  
19       indicated on Exhibit 2, is what you believe to be  
20       the original reservoir pressure or close to that?

21          A.       Yes, sir.

22          Q.       And you had production commence in  
23       1988?

24          A.       Yes, sir.

25          Q.       Let's go now to the third well, the

1 third or fourth well on this exhibit, whichever  
2 you please and -- let's pick the second well, the  
3 Presidio Superior Federal No. 8 first, and let's  
4 review that.

5 A. Okay. In general what the exhibit  
6 shows, and it's similar to a Presidio exhibit, is  
7 that as additional wells were drilled, they  
8 always encountered pressures lower than the  
9 original pressures, significantly lower than  
10 original pressure.

11 Our Exhibit 3 is going to talk about --  
12 line 2 of this, the Presidio Superior Federal No.  
13 2, with a measured pressure of 4,044 PSI. And  
14 our Exhibit No. 4 is going to talk in a little  
15 more detail about the next two wells, the Fortson  
16 Sylvite well and the Presidio Superior Federal  
17 No. 9.

18 The rest that this exhibit shows is  
19 that as additional wells have been drilled, the  
20 Santa Fe well, the Yates Slinkard No. 4, the  
21 pressures have continued to decline down to the  
22 32-, 3300 pound range.

23 Q. All right. Let's go now to Exhibit No.  
24 3 and using the information from the second well  
25 on Exhibit No. 2, let's review this exhibit for

1 Mr. Stogner.

2 A. It's kind of handy to keep Exhibit No.  
3 2 close by as we look at Exhibit No. 3. Exhibit  
4 No. 3 attempts to give a snapshot of the field at  
5 May 1990 when the first Presidio well was  
6 completed. The first Presidio well was tested on  
7 May 10, 1990. Pressure was measured at 4,044  
8 pounds.

9 At that time Exhibit 3 shows that there  
10 had been production from wells, mostly from  
11 Yates' wells. The Anthill in Section 2 had  
12 produced 394 million cubic feet and 108,000  
13 barrels of oil.

14 The Slinkard 1 had produced about half  
15 a Bcf and 171,000 barrels of oil. The Slinkard 2  
16 had produced 374 million cubic feet and 122,000  
17 barrels of oil. And there have been some  
18 relatively more minor production from some wells  
19 to the south.

20 So the original reservoir pressure was  
21 4800 pounds. When Presidio drilled its first  
22 well, it encountered around 4,000 pounds. There  
23 was a loss of 800 pounds of pressure due to some  
24 production.

25 The production you see in Exhibit 3

1 here, there are -- the closest well to the  
2 Presidio No. 8 is the Slinkard No. 1. And I have  
3 drawn a circle around the Slinkard No. 1 that  
4 passes through the Superior Federal No. 8. Kind  
5 of gives me an impression that the drainage has  
6 been from that direction from that well. It's  
7 clearly been from the Anthill Slinkard 1 and  
8 Slinkard 2.

9 So that you have a situation where a  
10 well 3900 feet away has lost 800 pounds. A  
11 circle of that radius is 1100 acres. I'm not --  
12 that's an indication that there is drainage in  
13 this reservoir over larger areas than 320 acres.

14 Q. Now, this occurred in approximately a  
15 three-year period of time?

16 A. Well, it occurred from production in  
17 88, 89, and half of 90, yes, sir.

18 Q. And the new well was drilled in -- or  
19 started producing in June of 1990, two-and-a-half  
20 years later?

21 A. Yes, sir.

22 Q. Anything else on Exhibit No. 3?

23 A. I don't believe so.

24 Q. All right. Let's go to the information  
25 contained on Exhibit 2 on the next two wells, and



1 relate that to Exhibit No. 4.

2 A. Exhibit No. 4 is a similar exhibit. It  
3 attempts to be a snapshot around the start of  
4 1991. The production data there is through  
5 December of 1990. This is the time when the  
6 Fortson Sylvite well started and approximately  
7 the time when the second Presidio well, the  
8 Presidio No. 9 well started. Again, we've listed  
9 the production as of December 1, 1990.

10 And Exhibit 2 shows you that both those  
11 wells, the Fortson Sylvite and the Presidio  
12 Superior Federal No. 9, had initial pressures in  
13 between 3716 and 3749, in the low 3700 pounds.

14 The location of those two wells had  
15 lost 1,000 pounds of original reservoir  
16 pressure. They had lost that pressure because of  
17 production at other wells.

18 The nearest other well is the Superior  
19 Federal No. 8, which had been producing for six  
20 to eight months at that time, and its cum is  
21 shown on Exhibit 4. I have drawn circles, almost  
22 circles, around the Superior Federal No. 8 that  
23 go through those two new wells, the Superior  
24 Federal 9 and the Sylvite well of Fortson.

25 One of those circles, if completed,

1 would be 600 acres; the bigger one would be 1500  
2 acres. Again, we have drainage over areas bigger  
3 than 320 acres. There is a northwest-southeast  
4 line cutting through those circles. That is not  
5 a fault. Maybe it's my fault, but it's not a  
6 geologic fault.

7 It is simply there, not to tend to  
8 indicate that we realize that the Superior  
9 Federal No. 8 is not draining down in Section 11  
10 where wells have been producing for three years.

11 It is simply a line drawn halfway  
12 between Slinkard 1 and Slinkard 8 perpendicular  
13 to a line between Slinkard 1 and Presidio No. 8.  
14 That was my misstatement.

15 Q. It just shows that if there had been  
16 drainage circles down into that area, they might  
17 have been misleading or inappropriate?

18 A. That was the idea. I'm sort of sorry  
19 that the line is on the map. But it's on there,  
20 and I need to explain why it's on there.

21 Q. So basically what this exhibit again  
22 shows is drainage over a large area based on  
23 pressure drawdown?

24 A. Yes, sir, that's what this data shows.  
25 And there's drainage over large areas.

1           Q.     Now, based on your review of this  
2     reservoir and your knowledge of the reservoir,  
3     what conclusions have you been able to reach?

4           A.     My conclusion is that these wells in  
5     the good part of the field, the Slinkards and  
6     what's shown as the Superior here, could drain --  
7     would drain. The wells in the good part of the  
8     field would clearly drain more than 320 acres,  
9     and wells spaced on less than 320 acres are not  
10    appropriate.

11          Q.     Now, have you done any volumetric work  
12    on this reservoir?

13          A.     I have done some volumetric work. I  
14    have not done all the wells, just as Presidio has  
15    not done all the wells.

16          Q.     Could you identify Exhibit No. 5 for  
17    Mr. Stogner, please.

18          A.     Exhibit No. 5 is a calculation of  
19    drainage areas for the three main Yates wells of  
20    interest. The three Yates wells that are in the  
21    northwest portion of the field up towards the  
22    Presidio acreage.

23          Q.     Now, can you explain the drainage acre  
24    figures that you've indicated on this exhibit?

25          A.     Yes, I believe I can. The answer is in

1 the right-hand column. The numbers that lead to  
2 that right-hand column are called "Np," which is  
3 the oil production estimated from the decline  
4 curves, ultimate oil production estimated from  
5 decline curves.

6 The item called "Gp" is the gas  
7 ultimate estimated from decline curves. And the  
8 column called "Gpeq" is a sum of oil and gas  
9 production where the oil has been converted to  
10 equivalent gas.

11 The next column is called "Sgi-Phi-h,"  
12 and that's the hydrocarbon pore volume determined  
13 from the logs of those three wells. And on  
14 cursory examination the Examiner will see that  
15 those numbers are not in the same ratios as the  
16 Presidio geologist showed.

17 And then the final column to the right  
18 are the calculated drainage areas for these three  
19 wells: the Anthill, 243 acres; the Slinkard 1,  
20 147 acres; and the Slinkard 2, 360 acres.

21 The rest of the exhibit shows the  
22 parameters that went into the calculation of  
23 those drainage areas.

24 Q. When we look at these, the Slinkard UR  
25 Federal No. 1 in particular, we have a small

1 drainage area, how does that square with the  
2 remainder of your testimony here this afternoon?

3 A. The drainage area of the Slinkard No. 1  
4 comes out to be smaller than 320-plus for a  
5 number of reasons.

6 The biggest reason, I think the  
7 Examiner understands, is that as the reservoir is  
8 developed on 320 acres, you constrain the wells  
9 to drain something in the range of 320 acres.

10 If you have a single well in the  
11 reservoir and it can drain 1100 acres, it is not  
12 going in reality to drain 1100 acres if you drill  
13 other wells within that 1100-acre drainage area.  
14 I think everybody understands that.

15 And that, by its very imposition,  
16 lowers these actual drainage areas. So the  
17 numbers here are conceptually different kind of  
18 numbers from the numbers I was quoting in the  
19 other part of the testimony. That's one reason.

20 A second reason is that the "Sgi-Phi-h"  
21 for the Slinkard No. 1 is a very big number  
22 compared to the other wells. And I would suggest  
23 that the thickness of the reservoir that occurred  
24 at that wellbore does not extend over the entire  
25 drainage area of that well. You don't have a

1     pancake that thick. It's just too thick. The  
2     pancake doesn't maintain that thick and it gets  
3     thinner out to the sides and so it extends to  
4     more acres.

5             And there is a third very strange  
6     reason why that number can be low. As Presidio  
7     testified, the main producing zone is what they  
8     call the Strawn A. The Slinkard No. 1 was  
9     completed until very recently in the Strawn C,  
10    and which I think is basically nonproductive, and  
11    it was communicating behind the pipe up to the  
12    Strawn A and producing from that. And that's a  
13    relatively inefficient way to produce. And that  
14    factors in reducing the drainage area.

15            Q.     Dr. Boneau, why did you present these  
16    figures showing the small drainage areas?

17            A.     I presented these figures because I  
18    think that Presidio would ask me what my figures  
19    were, and I have no intention of hiding them.  
20    These are they. We went to Dallas and talked to  
21    Presidio about this, and this is what we have to  
22    show. And it's what they are, and we need to get  
23    it out and talk about it here.

24            Q.     Do you have an opinion based on your  
25    study of the reservoir as to what the proper

1 spacing units for wells should be in this field?

2 A. The wells in this field should be  
3 spaced on 320 acres.

4 Q. What recommendations can you make to  
5 the Examiner based on your study of the field and  
6 in regard in particular to Presidio's  
7 application?

8 A. We are asking for an all-or-nothing  
9 approach again, as in the previous case. My  
10 reasons for that are it just seems so clear that  
11 it's not appropriate, that it just plain ought to  
12 be turned down.

13 And the other part of our reason is  
14 that I've had some previous experience with  
15 trying to prorate wells in unprorated pools. And  
16 I'm sure you remember, you and I have fought on  
17 different sides of that issue at times in the  
18 past. And it just -- there is no way to make  
19 that work very well, and that's not something I  
20 recommend.

21 So it seems clear to me that the  
22 drainage in this field is large. In the main  
23 part of the field, Presidio drilled their No. 9  
24 well, which we helped them in, in an unfortunate  
25 part of that spacing unit. But the drainage in

1 the main part of the field is clearly consistent  
2 with 320-acre spacing. And they should follow  
3 the rules.

4 And if a well is needed in the  
5 northwest, it needs to be the only well in the  
6 north half of Section 1.

7 Q. Do you have anything further to add to  
8 your testimony?

9 A. No, sir.

10 Q. Were Exhibits 1 through 5 prepared by  
11 you or compiled under your direction?

12 A. Yes, sir.

13 Q. Can you testify as to their accuracy?

14 A. I have checked their accuracy, and I  
15 believe them to be accurate.

16 MR. CARR: At this time, Mr. Stogner,  
17 we move the admission of Yates Exhibits 1 through  
18 5.

19 EXAMINER STOGNER: Thank you, Mr.  
20 Carr.

21 Any objections?

22 MR. BRUCE: No.

23 EXAMINER STOGNER: Exhibits 1 through 5  
24 will be admitted into evidence.

25 Mr. Bruce, your witness.



## EXAMINATION

BY MR. BRUCE:

Q. Mr. Boneau, on your Exhibit 4 what does the straight line from the northwest to the southeast indicate?

A. The straight line from the northwest to the southeast is a line drawn midway between the Slinkard No. 1 and the Superior Federal No. 8 perpendicular to a line between those two wells. That's what it is.

What it indicates is that we thought -- I thought you all would get the wrong idea if we drew those circles down into an area that has been producing for three years.

Q. Are you saying --

A. I should have realized that you'd get the wrong idea if I drew a line preventing those circles from going down there too.

Q. Does this indicate that the Superior Federal No. 8 would be draining the Yates' wells down in Section 11?

A. No. I believe that the Superior No. 8 is not draining the Yates' wells down in Section 11. In fact, I've testified that the Yates' wells in Section 11 drained part of Section 1

1 before Presidio drilled wells in Section 1.

2 Q. Well, then wouldn't a well in the  
3 northwest quarter of Section 1 then not drain or  
4 not adversely affect the Yates' wells to the  
5 southwest?

6 A. I'm not sure this has any relation to  
7 my testimony, but I'll attempt to answer your  
8 question. A well in the northwest of Section 1,  
9 I'm suggesting, would attempt to have a 320-plus  
10 drainage area. Okay. The nearest Yates operated  
11 is the south half of No. 2 that contains the  
12 Anthill. And that corner is 1500 feet or  
13 something away from your well.

14 A 300-acre drainage area around your  
15 proposed location would clearly extend quite a  
16 way down into that south half of Section 2. But,  
17 on the other hand, Yates has been producing the  
18 south half of Section 2 for three years, and we  
19 would have a big jump on you.

20 Q. Okay. Looking at your Exhibit 5, did  
21 you perform any similar calculations on drainage  
22 of the Presidio Superior Federal No. 9 well?

23 A. No, I did not.

24 Q. Okay.

25 A. And I did not basically because the

1 production history of those wells is so short  
2 that you could extend the decline curve in myriad  
3 ways, and I could see no reason for getting into  
4 an argument with you over how I had extended that  
5 decline curve.

6 Q. Also looking at Exhibit 5, your  
7 Slinkard Fed. No. 1 well, where you indicated the  
8 small drainage radius, you said that was due to  
9 the "Phi-h." Is that due to the thicker pay to  
10 that well as opposed to the other wells you  
11 listed on there?

12 A. It's thicker, but if you look at that  
13 log, it has much higher porosity in the pay zone  
14 than the other wells. It has 10 percent over  
15 five to ten feet or something, which is unique at  
16 least among our wells. I can't say it's unique  
17 in the field because I don't remember all the  
18 logs. But it has higher porosity than our other  
19 wells, not that it's thicker, not so much that  
20 it's thicker, but that it has much better  
21 porosity in the pay.

22 Q. Looking at the map of -- any one of  
23 your maps there, Mr. Boneau, when was the Anthill  
24 AAK State well completed, or when did it begin  
25 producing, let's put it that way?

1           A.       The Anthill began production from the  
2 East Burton Flat Strawn Field in July of 1988.  
3 It had previously been completed in the Morrow  
4 and had produced a couple years from the Morrow.

5           Q.       Okay. And when did the Slinkard UR  
6 Federal No. 2 well begin producing?

7           A.       The No. 2 and the No. 1 both began  
8 production in January of 1988.

9           Q.       And when did the Federal No. 4 well  
10 begin producing?

11          A.       1991.

12          Q.       It's a recent --

13          A.       It's a recent well with very little  
14 production.

15          Q.       But if you look at those four wells,  
16 Yates has effectively spaced its four wells on  
17 160-acre units.

18          A.       Exhibit 2 says that the Slinkard 4  
19 began production in August of 91.

20          Q.       But Yates' four wells there in that  
21 part of the pool are spaced on 160 acres  
22 effectively, aren't they?

23          A.       That's a matter of semantics. They are  
24 an adjacent 160 acres.

25          Q.       Well, if Yates really didn't want to

1 space wells on more than a -- on less than 320  
2 acres, then why did it place its wells that way,  
3 especially the Slinkard No. 4?

4 A. Well, the Slinkard No. 4 -- again,  
5 we're getting down rabbit trails -- but the  
6 Slinkard No. 4 is where it is because it's trying  
7 to stay away from the water that's on the east  
8 edge of the reservoir.

9 And if you want me to say something  
10 more, clearly the Yates' geologist tried to place  
11 the wells within this 320-acre spacing unit so  
12 that they would be completed in what the Yates'  
13 geologist thought was the better part of the  
14 reservoir, just as I think the Presidio  
15 geologists attempt to do that.

16 Q. And the distance between the No. 4 well  
17 and the Federal -- Superior Federal No. 8 is,  
18 what, probably only about 13-, 1600 feet?

19 A. Yeah, they're relatively close. And if  
20 you extend the logic -- I'm trying to extend your  
21 logic -- if you look back at Exhibit No. 2, the  
22 initial pressure at the Slinkard No. 4 is quite a  
23 bit below the last pressure at Presidio No. 8.

24 And I interpret that to mean that the  
25 Slinkard No. 4 location has not been drained by

1 the Superior No. 8 as much as it has been drained  
2 by the Yates Slinkard No. 1, by the earlier  
3 wells.

4 Q. But the distance -- if the OCD granted  
5 approval for the proposed No. 10 well, the No. 10  
6 well would be quite a distance from the nearest  
7 Yates' well, would it not?

8 A. Yes, that's true. And maybe I need to  
9 try to make it clear. I'm not jumping up and  
10 down saying that you're stealing our reserves.  
11 We're a partner in the well, if we would drill  
12 it. My feeling is that drilling it is a waste of  
13 your money and of Yates' money.

14 And my second reason is that the  
15 drainage information is just so clearly for large  
16 drainage areas that it's just wrong to do this.  
17 And I'm not -- no, I am not claiming that you're  
18 going to steal reserves, or that's way down my  
19 list of reasons for being here, is that you're  
20 going to steal reserves from the south half of  
21 Section 2.

22 Q. One final question, Mr. Boneau, are you  
23 aware of any Dst information indicating a  
24 two-porosity system on the Santa Fe 36 No. 10  
25 well or on the Fortson Sylvite No. 1 well?

1           A.       Tell me those wells again.

2           Q.       The Santa Fe 36 No. 10 well located in  
3       Section 36 and the Fortson Sylvite Federal No. 1  
4       well located to the east of the Superior Federal  
5       No. 9 well.

6           A.       What I am aware is that we analyzed the  
7       entirety of the data from those Dst's, and we do  
8       not see any evidence of a dual-porosity system.

9           Q.       And could you give me your explanation  
10       of why the GOR is not increasing if the pressures  
11       that everybody has listed, both Presidio and  
12       Yates, are correct as stated?

13          A.       I have two answers to that. My first  
14       answer is I do not know. My speculation and the  
15       only speculation that makes much sense to me is  
16       that enough liquids have dropped out around the  
17       wellbores that there's a continuous flowing  
18       system of condensate near the wells that is  
19       maintaining the condensate rates at relatively  
20       constant levels.

21                   I am puzzled by that phenomena, yes,  
22       sir.

23                   MR. BRUCE: That's all I have, Mr.  
24       Examiner.

25                   EXAMINER STOGNER: Any other questions

1 of this witness?

2 MR. CARR: No questions.

3 EXAMINER STOGNER: If not, he can be  
4 excused.

5 Do you wish to call any more witnesses,  
6 Mr. Bruce?

7 MR. BRUCE: Would you give us two  
8 minutes to discuss that?

9 EXAMINER STOGNER: I'll give you two  
10 minutes.

11 (A recess was taken.)

12 EXAMINER STOGNER: Mr. Bruce.

13 MR. BRUCE: I would like to call Bill  
14 Cobb to the stand, please.

15 WILLIAM COBB

16 Having been duly sworn upon his oath, was  
17 examined and testified as follows:

18 EXAMINATION

19 BY MR. BRUCE:

20 Q. Mr. Cobb, would you state your full  
21 name and city of residence.

22 A. My name is William Cobb, and I live in  
23 Dallas, Texas.

24 Q. What is your occupation?

25 A. I'm a petroleum reservoir engineering



1 consultant.

2 Q. Have you been employed by Presidio  
3 Exploration, Inc., with respect to this case?

4 A. Yes, I have.

5 Q. Have you previously testified before  
6 the Division?

7 A. No.

8 Q. Would you, please, outline your  
9 educational and employment background.

10 A. I have a BS and an MS degree in  
11 petroleum engineering from Mississippi State and  
12 a Ph.D. in petroleum engineering from Stanford  
13 University. I worked for two years with Atlantic  
14 Richfield Company in their research lab in  
15 Dallas.

16 I taught petroleum engineering at  
17 Mississippi State for three years in the area of  
18 reservoir engineering and petroleum economics. I  
19 rejoined Atlantic Richfield and worked in their  
20 reservoir engineering group in Dallas.

21 I spent three years in --  
22 two-and-a-half years in Midland, Texas, where  
23 part of the time I was responsible for Arco's gas  
24 development in southeast New Mexico. And, after  
25 leaving Arco a second time, I joined a

1 family-owned oil company, Cornell Oil, in  
2 Dallas.

3 And since 1983 I've headed up my own  
4 petroleum engineering consulting group, Cobb &  
5 Associates, in Dallas.

6 Q. And not only in this job for Presidio  
7 but in your past jobs, have you studied petroleum  
8 reservoir engineering matters with respect to  
9 this field and other fields in southeast New  
10 Mexico?

11 A. Yes, I have.

12 Q. And are you familiar with the reservoir  
13 engineering involved in this field?

14 A. I'm familiar with it, yes.

15 MR. BRUCE: Mr. Examiner, at this time  
16 I tender Mr. Cobb as an expert in petroleum  
17 engineering.

18 EXAMINER STOGNER: I assume you have no  
19 objections, Mr. Carr?

20 MR. CARR: I have no objections.

21 EXAMINER STOGNER: Dr. Cobb is so  
22 qualified.

23 Q. (BY MR. BRUCE) Mr. Cobb, you've been  
24 sitting here listening to the testimony of the  
25 witnesses, I presume?

1           A.     Yes, I have.

2           Q.     And it's probably become apparent to  
3 you that there's a little dispute over the  
4 pressure data?

5           A.     Yes, that's correct.

6           Q.     Would you give your opinion about the  
7 pressures in this pool taking into account the  
8 constant GOR and the other factors involved?

9           A.     Yes. I think one of the most concise  
10 and correct pieces of data that we have in this  
11 particular pool is the actual production data,  
12 the gas production and the liquid production and  
13 the subsequent gas-oil ratios.

14                   And if you look at the individual wells  
15 or if you look at the field as a whole, the  
16 gas-oil ratio since the date of first production  
17 in 1988, almost four years ago, has been for all  
18 practical matters constant, a little over 3100  
19 standard cubic feet per barrel.

20                   The PVT data that was obtained from a  
21 Yates Petroleum well in 1984 prior to any  
22 production indicates that the bubble point  
23 pressure -- I beg your pardon, the dew point  
24 pressure of this gas reservoir is approximately  
25 4500 PSI.

1           And what this physically means or  
2           fundamentally means is that as long as the  
3           reservoir pressure remains above the dew point  
4           pressure, we expect the gas-oil ratio to be  
5           constant. And that's what we've seen.

6           Once the reservoir pressure declines  
7           below the dew point pressure, we expect to see  
8           the gas-oil ratio increase, and then we can see  
9           dramatic increases in the GOR.

10          So I think we have some questions that  
11          have been raised about the pressure data. We're  
12          talking about tight reservoir rock. And it may  
13          well be that the pressure data are not as  
14          accurate and reliable as we would like for them  
15          to be.

16          I think it's important for us to  
17          recognize that the GOR is above the dew point  
18          pressure. And the data, the PVT data, suggests  
19          that number to be something on the order of 4500  
20          PSI.

21          Q.       In short, you do not believe that 3300  
22          is an accurate measure of current reservoir  
23          pressure?

24          A.       I don't believe that's an accurate  
25          representation of the reservoir pressure at this

1 time.

2 Q. Final questions. Are you aware that  
3 there have been discussions regarding pressure  
4 maintenance and a pressure maintenance project  
5 for this pool?

6 A. Yes. It's my understanding that there  
7 have been some discussions between Presidio and  
8 Yates and possibly others.

9 Q. Would the proposed No. 10 well be  
10 useful for such a project?

11 A. Yes, it would. I think it would be  
12 advantageous for several reasons. It would give  
13 us additional control point which helps us more  
14 accurately describe the reservoir rock. It is my  
15 understanding that Presidio anticipates coring  
16 this well so that we will be able to determine  
17 something about the individual strata. And  
18 Presidio would expect in this particular well  
19 also to get an additional fluid analysis.

20 And all of these three could go a long  
21 way towards helping the various working interest  
22 owners decide whether or not this would be a good  
23 candidate for pressure maintenance.

24 Q. Do you have anything further to say  
25 about this, Mr. Cobb?

1 A. No.

2 MR. BRUCE: Pass the witness.

3 EXAMINATION

4 BY MR. CARR:

5 Q. Mr. Cobb, have you examined the actual  
6 pressure data on the field?

7 A. I have only looked at the pressure  
8 summaries. I have not looked at the pressure  
9 buildup test itself.

10 Q. Are these wells in radial flow in your  
11 opinion?

12 A. I don't know. I just have not looked  
13 at the data.

14 MR. CARR: That's all I need to know.  
15 Thank you.

16 EXAMINER STOGNER: Are there any other  
17 questions of this witness?

18 You may be excused.

19 Do you wish to recall anybody else?

20 MR. BRUCE: No, sir.

21 EXAMINER STOGNER: Mr. Carr?

22 MR. CARR: I don't think we'll call  
23 anyone. I may recall some other case in  
24 closing.

25 EXAMINER STOGNER: Ready for closing

1 arguments. Mr. Carr, I'll allow you to go  
2 first. Mr. Bruce, you may follow up.

3 MR. CARR: Mr. Stogner, about  
4 two-and-a-half years ago, Presidio developed the  
5 north half of section -- of the subject section  
6 with their No. 9 well. And now they're back  
7 seeking a second well. Yates opposes it. It's  
8 very simple. We think the well is unnecessary.

9 We think the well is unnecessary and  
10 inappropriate because of the large drainage areas  
11 we see because of pressure interference in this  
12 reservoir, even pressure interference from the  
13 Presidio wells.

14 We think the OCD shouldn't approve this  
15 application. This is an application for an  
16 unorthodox well location and simultaneous  
17 dedication. And we think what it in fact is is  
18 an effort to change the pool rules, at least to  
19 start down that road, because of wells on the  
20 fringe or the flank of the formation that may not  
21 be performing as well as other wells in the  
22 pool.

23 But in addition to your just not -- our  
24 opinion that it's inappropriate for you to change  
25 it, I submit to you you really can't, because

1 when you make your decision, you're really going  
2 to be bound by two things, the record in this  
3 case and the legal framework within which that  
4 decision must be made.

5 The legal framework within which that  
6 decision must be made includes the Division's  
7 memorandum dated August 3, 1990. Part of that  
8 memorandum, citing an earlier memo from the  
9 Division reads: "Applications for additional  
10 wells on existing proration units will be  
11 approved only on the understanding that upon  
12 completion of the well the operator shall elect  
13 which well will be produced and which will be  
14 abandoned."

15 It goes on to say: "Application to  
16 produce both wells will be approved upon  
17 compelling evidence that the applicant's  
18 correlative rights will be impaired unless both  
19 wells are produced."

20 In this case there is nothing in the  
21 record that says Presidio's correlative rights  
22 will be impaired. That's what the requirement  
23 is.

24 Their geological witness comes before  
25 you and talks about the reservoir. Their



1     engineering witness comes before you.   And  
2     neither one of them can tell you from a  
3     geological point of view or from an engineering  
4     point of view that their rights will be  
5     impaired.   They say there may be additional zones  
6     that could be picked up.   Their engineering  
7     witness indicated that if you produce one, shut  
8     it in for a month while you produce the other,  
9     and rock back and forth, that you get there.

10            They've talked about not impairing the  
11     rights of others, but they have never met the  
12     requirement of this rule.   And there is nothing  
13     in this record that would support an order  
14     simultaneously dedicating these wells.

15            The best you can do on this record and  
16     in the legal framework within which you must  
17     operate is to let them drill it and then order  
18     them to plug one or the other.   And, simply, that  
19     is an unnecessary and wasteful practice.

20            I would request that the memorandum of  
21     the Division dated August 3, 1990, be  
22     incorporated into the record.   And that concludes  
23     our presentation.

24            EXAMINER STOGNER:   So it will be.

25            Mr. Bruce.

1           MR. BRUCE: Mr. Examiner, we're dealing  
2 here with a depletion-drive gas reservoir which  
3 produces substantial amounts of condensate. The  
4 unique feature of this reservoir, as pointed out  
5 by the witnesses, is a constant GOR of about  
6 3100.

7           The volumetrics presented by Mr.  
8 Wolfarth show that in the No. 10 well, the infill  
9 well, will recover more than 300,000 barrels of  
10 condensate and approximately 2 Bcf of gas in the  
11 northwest quarter of Section 1.

12           There's been much discussion about the  
13 alleged pressure decrease in the pool from 4800  
14 to 3300. As Presidio has stated, we do not  
15 believe that's accurate for two reasons: Number  
16 one, the dew point is greater than 4500 PSI. And  
17 if the actual pressures were 3300, you would  
18 expect a dramatic or substantial increase in the  
19 GOR in the pool. This has not happened.

20           The second reason is the low  
21 permeability. We believe that the fractures and  
22 the permeability trending southwest to northeast  
23 result in the low apparent pressures. However,  
24 because the vast bulk of the hydrocarbons are in  
25 the matrix, whose pressure is undoubtedly much

1 higher than 3300, there will be no harm by  
2 completing the infill well.

3 Therefore, Presidio believes it needs  
4 the No. 10 well, the infill well, to adequately  
5 drain the northwest quarter of Section 1.  
6 Furthermore, the No. 10 well will drain  
7 additional pay which is not being drained by its  
8 immediate offsets, which are its own two wells,  
9 the No. 9 and No. 8 wells.

10 Failure to drill the infill well will  
11 cause waste by leaving in the ground economically  
12 recoverable reserves.

13 Now, getting into correlative rights,  
14 correlative rights are just a subpart of waste.  
15 If there is waste, then Presidio's correlative  
16 rights are obviously impaired.

17 As we've stated, there is certainly no  
18 effect on the offsets to the north and west and  
19 to the northwest. In fact, the No. 10 well, if  
20 it's successful, will prove up the southwest  
21 quarter of Section 36.

22 In addition, the No. 10 well conforms  
23 to the practical 160-acre spacing pattern  
24 immediately to the south of the proposed well.  
25 And this is consistent with other Strawn pools in

1 the area, which are spaced on 42 and 160 acres.  
2 And as the Yates' witness testified, there is  
3 really little fear of drainage of any of Yates'  
4 offsetting acreage.

5 One thing I'd point out about this  
6 infill drilling, although it's not totally  
7 analogous, this is kind of what Yates and Conoco  
8 sought in the north and south Dagger Draw Upper  
9 Penn Pool early this year. They got permission  
10 for infill drilling and increased allowables in  
11 order to drain their reserves.

12 We believe that Presidio has shown the  
13 compelling evidence necessary for the Division to  
14 grant this application, and we would urge you to  
15 do so. Thank you.

16 EXAMINER STOGNER: Thank you.

17 Does anybody else have anything  
18 further?

19 I'm going to ask that both of you  
20 submit me a rough draft order.

21 MR. BRUCE: By what date?

22 EXAMINER STOGNER: It's up to you two  
23 because the holidays are coming up. You all give  
24 me a date.

25 MR. BRUCE: Bill can do it by the 24th,

1 and I'll do it by the --

2 MR. CARR: He wrote me a very nasty  
3 letter in another matter that's going to keep me  
4 employed on the 24th.

5 I will file my proposed order on the  
6 24th if you will make him do the same.

7 EXAMINER STOGNER: How about Friday,  
8 the 27th?

9 MR. CARR: That would be fine.

10 MR. BRUCE: That would be fine.

11 EXAMINER STOGNER: Friday the 27th.  
12 Thank you, gentlemen. I'll take this case under  
13 advisement.

14 And at this time we're going to recess  
15 until 9:00 o'clock in the morning, in which we  
16 will reconvene in the Albuquerque District Office  
17 of the Department of Interior, Bureau of Land  
18 Management, located in Albuquerque, New Mexico,  
19 at 435 Montano Road, Northeast, to hear the four  
20 cases that deal with packed formations.

21 (The proceedings were concluded.)


22

23

24

25

I do hereby certify that the foregoing is  
a complete record of the proceedings in  
the Examiner hearing of Case No. 10416,  
heard by me on 19 December 19 91 :

  
Examiner  
Oil Conservation Division


## 1 CERTIFICATE OF REPORTER

2  
3 STATE OF NEW MEXICO )  
4 COUNTY OF SANTA FE ) ss.  
5

6 I, Debbie Vestal, Certified Shorthand  
7 Reporter and Notary Public, HEREBY CERTIFY that  
8 the foregoing transcript of proceedings before  
9 the Oil Conservation Division was reported by me;  
10 that I caused my notes to be transcribed under my  
11 personal supervision; and that the foregoing is a  
12 true and accurate record of the proceedings.

13 I FURTHER CERTIFY that I am not a  
14 relative or employee of any of the parties or  
15 attorneys involved in this matter and that I have  
16 no personal interest in the final disposition of  
17 this matter.

18 WITNESS MY HAND AND SEAL DECEMBER 30,  
19 1991.  
20  
21

22   
23 \_\_\_\_\_  
24 DEBBIE VESTAL, RPR  
25 NEW MEXICO CSR NO. 3