

1 NEW MEXICO OIL CONSERVATION DIVISION

2 STATE OF NEW MEXICO

3 CASE NO. 10420

4
5 IN THE MATTER OF:6
7 The Application of Union Oil
8 Company of California, d/b/a
9 UNOCAL, for designation of a
tight formation, Rio Arriba
County, New Mexico.10
11 BEFORE:

12 MICHAEL E. STOGNER

13 Hearing Examiner

14
15
16
17 Bureau of Land Management Building
18 435 Montano Road, Northeast
Albuquerque, New Mexico
19 December 20, 199120
21
22 REPORTED BY:23 DEBBIE VESTAL
24 Certified Shorthand Reporter25
ORIGINAL

A P P E A R A N C E S

FOR THE NEW MEXICO OIL CONSERVATION DIVISION:

ROBERT G. STOVALL, ESQ.

General Counsel
State Land Office Building
Santa Fe, New Mexico 87504

UNITED STATES DEPARTMENT OF INTERIOR
BUREAU OF LAND MANAGEMENT
ALBUQUERQUE DISTRICT OFFICE:

ALLEN F. BUCKINGHAM, MINERALS DIVISION
ROBERT KENT, PETROLEUM ENGINEER
JANE CLANCY, GEOLOGIST

FOR THE APPLICANT:

CAMPBELL, CARR, BERGE & SHERIDAN, P.A.
Post Office Box 2208
Santa Fe, New Mexico 87504-2208
BY: WILLIAM F. CARR, ESQ.

FOR THE GAS COMPANY OF NEW MEXICO:

SARAH D. SMITH, ESQ.

Alvarado Square
Albuquerque, New Mexico 87158

I N D E X

Page Number

Appearances 2

WITNESSES FOR THE APPLICANT:

1. REX COLE

Examination by Mr. Carr 6

Examination by Examiner Stogner 27

2. WILLIAM L. IRWIN

Examination by Mr. Carr 29

Examination by Examiner Stogner 45

Certificate of Reporter 56

E X H I B I T S

		Page Marked
1		
2		
3	Exhibit No. 1-A	9
4	Exhibit No. 1-B	10
5	Exhibit No. 2	11
6	Exhibit No. 3	17
7	Exhibit No. 4-A	13
8	Exhibit No. 4-B	15
9	Exhibit No. 5-A	20
10	Exhibit No. 5-B	21
11	Exhibit No. 6-A	24
12	Exhibit No. 6-B	24
13	Exhibit No. 7	31
14	Exhibit No. 8	32
15	Exhibit No. 9	32
16	Exhibit No. 10	33
17	Exhibit No. 11	36
18	Exhibit No. 12	37
19	Exhibit No. 13	38
20	Exhibit No. 14	42
21	Exhibit No. 15	43
22	Exhibit No. 16	43
23	Exhibit No. 17	46
24	Exhibit No. 18	50
25		

1 EXAMINER STOGNER: The hearing will
2 come to order. Call the next case, No. 10420.

3 MR. STOVALL: Application of Union Oil
4 Company of California, d/b/a UNOCAL, for
5 designation of a tight formation, Rio Arriba
6 County, New Mexico.

7 EXAMINER STOGNER: Call for
8 appearances.

9 MR. CARR: May it please the Examiner,
10 my name is William F. Carr with the law firm of
11 Campbell, Carr, Berge & Sheridan of Santa Fe. We
12 represent Union Oil Company of California, and I
13 have two witnesses.

14 EXAMINER STOGNER: Any other
15 appearances?

16 MS. SMITH: Yes. Sarah Smith on behalf
17 of Gas Company of New Mexico and Suntera Gas
18 Gathering Company. No witnesses.

19 EXAMINER STOGNER: Any other
20 appearances?

21 Will the witnesses, please, stand to be
22 sworn at this time.

23 (The witnesses were duly sworn.)

24 EXAMINER STOGNER: Mr. Carr.

25 REX COLE

1 Having been duly sworn upon his oath, was
2 examined and testified as follows:

3 EXAMINATION

4 BY MR. CARR:

5 Q. Will you state your name for the
6 record, please.

7 A. My name is Rex Don Cole.

8 Q. And where do you reside?

9 A. My work residence is Brea, California.

10 Q. My whom are you employed and in what
11 capacity?

12 A. Union Oil Company of California, or
13 UNOCAL Corporation. I'm with our Science and
14 Technology Division. I'm a Research Associate
15 specializing in reservoir characterization work
16 of sandstone reservoirs.

17 Q. Could you briefly summarize your
18 educational background and then review your work
19 experience.

20 A. I received a bachelor of science degree
21 in geology from Colorado State University in Ft.
22 Collins in 1970, a doctorate in geology, Ph.D.,
23 from the University of Utah in 1975. Upon
24 completing graduate school, I was an assistant
25 professor for two years, from 1975 to 78 -- at

1 least 77, early 78 -- at Southern Illinois
2 University. I left there.

3 And from 1978 to 1980, I was a staff
4 geoscientist with Bendix Field Engineering
5 Corporation in Grand Junction, Colorado, which is
6 mostly uranium work. I left that and became the
7 manager of the geology program of Multi-Mineral
8 Corporation, also in Grand Junction, Colorado,
9 for the period of 1980 to 1982. And that was
10 related to syn-fuels development.

11 In 19 -- late 82 I left Multi-Mineral,
12 joined UNOCAL as a Research Scientist, again
13 specializing in sandstone reservoirs. I have
14 been there ever since.

15 Q. Are you familiar with the application
16 filed in this case on behalf of UNOCAL?

17 A. I am.

18 Q. And have you conducted a geological
19 study of the area that is involved in this
20 application?

21 A. I have.

22 MR. CARR: We tender Dr. Cole as an
23 expert in petroleum geology.

24 EXAMINER STOGNER: Are there any
25 objections?

1 Dr. Cole is so qualified.

2 Q. (BY MR. CARR) Will you briefly state
3 what UNOCAL seeks in this case.

4 A. We are seeking for an area that we call
5 the Rincon Unit, or the application area. We are
6 seeking approval under Section 107 of the Natural
7 Gas Policy Act of 1978 and a portion of the
8 Dakota formation, which is a part of the Basin
9 Dakota Pool in the San Juan Basin, New Mexico,
10 also in Rio Arriba County, be designated as a
11 tight gas formation.

12 We would like to show through our
13 exhibits and testimony today that we will meet
14 the key criteria for this designation inasmuch as
15 we'll show that the average in situ permeability
16 is less than 0.1 millidarcies.

17 We'll also show that the
18 pre-stimulation gas rates are less than 290 Mcf
19 per day registered against an average production
20 depth at 7,347 feet.

21 We will also show that a
22 pre-stimulation oil production is less than five
23 barrels a day. And we will document that we can
24 protect all freshwater aquifer systems.

25 Q. Have you prepared exhibits for

1 presentation here today?

2 A. Yes, I have.

3 Q. Have UNOCAL's exhibits previously been
4 submitted to the Oil Conservation Division and to
5 the Bureau of Land Management with a statement of
6 the meaning and purpose of each as required by
7 the rules of each of these agencies?

8 A. We have.

9 Q. Would you, please, refer to what has
10 been marked as Exhibit 1-A, the location plat,
11 and working with this exhibit and perhaps Exhibit
12 1-B review the area involved in this
13 application.

14 A. Certainly. Exhibit 1-A is our location
15 map showing the Four Corners area but most of it
16 being in New Mexico. You can note the common
17 state boundaries of Utah, Arizona, Colorado, and
18 New Mexico. Also shown are cultural details,
19 such as the towns of Shiprock, Farmington,
20 Albuquerque, and so forth.

21 The stipple pattern that is around more
22 or less the margin of this illustration
23 represents the outcrop, or the surface
24 expression, of the Dakota formation, which is
25 what we are applying -- or our application is

1 leaning toward.

2 As you can see, the Dakota formation is
3 continuous around the San Juan structural basin
4 and therefore is continuous throughout the
5 subsurface extent. Also shown is a contour line
6 drawn on a mappable horizon, called the Greenhorn
7 formation, which is immediately above the Dakota
8 interval.

9 And finally shown near the center of
10 the illustration is the Rincon Unit, or the
11 application area. These two are synonymous terms
12 in our testimony today. Also shown are typical
13 county lines. Our property is in Rio Arriba
14 County.

15 Q. Let's go now to Exhibit 1-B.

16 A. Exhibit 1-B is somewhat of an
17 enlargement. Again, the Rincon Unit is shown in
18 the right central part of the illustration.
19 Typical township and range designation shown
20 along the margin. Also, the curved line is a
21 structural contour line I referred to in Exhibit
22 1-A.

23 The large stippled area, large areas,
24 are other areas that have been designated as
25 tight gas formation areas in the Dakota formation

1 and other units as well.

2 Q. Let's move now to what has been marked
3 as Exhibit No. 2, and I'd ask you to identify
4 that and then review it for Mr. Stogner.

5 A. Exhibit 2 provides a lot of the details
6 with regard to the application area and the
7 immediate surrounding area. This will be an
8 illustration that will be referred to in other
9 discussions of exhibits.

10 Again shown in the hachured line is the
11 area of the application, again the Rincon Unit.
12 I'd like to call your attention to an area in the
13 upper left-hand corner, another stippled area, or
14 a shaded area. This is what we refer to as the
15 window. It is not part of the Rincon Unit, but
16 it does include the area that we're making
17 application for.

18 The dots that you see scattered all the
19 way across the map are well locations of various
20 types. And there's a legend down in the lower
21 right-hand corner there that people can refer to
22 find out which well is penetrating which unit.

23 The squares that you see within the
24 central or within the boundaries of the
25 application area are those wells penetrating the

1 Dakota formation and, of course, are most germane
2 to our testimony.

3 The large circles that are scattered
4 across the area are wells that were cored. These
5 are conventional cores; they're not sidewall
6 cores. They're conventional. These are the ones
7 that have penetrated the Dakota producing area,
8 or Dakota formation, and there are nine of them,
9 six of them within the unit and three outside.
10 And these will provide a lot of key information
11 regarding the in situ permeability that will be
12 expressed in the engineering testimony.

13 I believe that's all that's on this
14 exhibit.

15 Q. The boundary of the proposed area
16 coincides with the boundary of the Rincon Unit;
17 is that correct?

18 A. That's correct.

19 Q. This unit contains state, federal, and
20 fee lands?

21 A. Yes, it does. It is approximately 85
22 percent federal land, 15 -- or 84 percent federal
23 land, 15 percent state, and 1 percent fee.

24 Q. Within this area what is UNOCAL's
25 ownership interest?

1 A. Seventy-six percent.

2 Q. How long has UNOCAL operated this
3 particular unit?

4 A. Since 1986.

5 Q. And you acquired it from who at that
6 time, El Paso?

7 A. El Paso Natural Gas.

8 Q. I think we ought to go out of order at
9 this point and go to Exhibits 4-A and B. If you
10 would refer to those and, using these, discuss
11 the general nature of the geology in the
12 application area.

13 A. Okay. Well, the reason I'd like to
14 skip ahead to this is it would be nice to get
15 some of the geologic background out of the way
16 before we talk about things like the structure
17 contour map that will be in Exhibit 3.

18 I call your attention to Exhibit 4-A,
19 which is our type log for the Dakota interval.
20 This is referred to, the 130 Rincon Unit well.
21 It's located in Section 32, Township 27 North,
22 Range 6 West.

23 I'd like to point out that, first of
24 all, that what we are calling the Dakota
25 producing interval, which again is what we're

1 making application for, includes two separate
2 stratigraphic units, the lower unit designated as
3 the Dakota formation and the upper unit,
4 designated as the Graneros formation. And we are
5 lumping these two together because of similar
6 production characteristics.

7 Also shown on the type log are the
8 typical geophysical log curves. The one on the
9 left is a wireline gamma ray log, and the one on
10 the right is a sonic log.

11 One of the reasons for bringing this up
12 early too is because internally for our own
13 reservoir description parameters and procedures
14 for just keeping track of things, we have
15 subdivided both the Dakota and the Graneros into
16 subunits, and they're so designated on the
17 right-hand side of the diagram.

18 The Dakota, again which is the lower
19 unit, has been broken down into A through F
20 units, or subintervals. The Graneros has been
21 broken down into an upper shale interval, which
22 does not have any production, an A-1 and A-2
23 interval and a B interval and plus something we
24 call the X-Marker, which is a volcanic and ash
25 bed that is used as a datum horizon for

1 subsurface mapping. The total interval shown
2 here is roughly 300 feet thick for the combined
3 Dakota and Graneros.

4 I'd also make reference to the fact
5 that beneath the Dakota formation is the Burro
6 Canyon, which is a sandstone unit that is
7 nonproductive and typically is wet. And then
8 overlying it is the Greenhorn formation, which is
9 the unit I made reference to in Exhibit 1-A.

10 We also have on the basis of these nine
11 core holes that I mentioned previously, we were
12 not able to get direct access to a lot of the
13 core that El Paso drilled over the years.

14 What we did get access to were five
15 wells from which there were core chips
16 available. They had taken a chip about every
17 foot and put them in archive and reflected these
18 and did a detailed description of them.

19 We also have additional information
20 from scout tickets, service companies, and so
21 forth.

22 What I've tried to illustrate in
23 Exhibit 4-B is the combined geologic descriptive
24 data for the Dakota producing interval based on
25 the core chips, the scout tickets, and also log

1 interpretation.

2 I looked at approximately 168 logs in
3 some detail to amplify our observations made from
4 the core chips.

5 Again, the stratigraphic nomenclature
6 of Dakota and Graneros is shown in the various
7 subintervals I mentioned earlier along with the
8 typical wireline logs.

9 The column labeled "Lithology" is the
10 representation of the typical rock types found in
11 the Dakota producing interval. It's a
12 combination of sandstones and shales. These are
13 cretaceous in age, approximately 92 million years
14 old.

15 The depositional environment for these,
16 there's a combination of marine and non-marine.
17 The Graneros was deposited in an entirely marine
18 setting and is composed of fine to very fine
19 grain sandstones that have a fair amount of mud
20 in them bioturbated by marine organisms. And, of
21 course, the shales are also marine.

22 The upper part of the Dakota formation,
23 what we call the A interval, is also a marine and
24 has typical characteristics similar to that of
25 the Graneros.

1 However, if we go down lower in the
2 Dakota, what we're labeling B, C, D, E, and F, we
3 have non-marine and sandstones and shales. The
4 sandstones were deposited primarily by flowing
5 water fluvial systems. And the shales are
6 relayed over-bank deposits. And we do have some
7 coal, very thin coals and carbonaceous shales.

8 Also, we have quite a lot of verbiage
9 here reflecting the description of each one of
10 these units. And basically we're talking about
11 interbedded sandstones and shales. And anyone
12 that would care to read that is more than
13 welcome.

14 And again summarizing, on the far right
15 I have the depositional environments that I've
16 already alluded to, plus a brief statement of
17 what reservoir quality is. This is a very
18 qualitative -- well, qualitative and
19 sub-quantitative estimate of what the general
20 characteristics of these various units are.

21 Of course, we'll document these a lot
22 more elaborately when we get to the engineering
23 data. So briefly that's was was in that exhibit.

24 Q. Let's go back to Exhibit No. 3 now, the
25 structure map on top of the Dakota, and I'd ask

1 you to review that.

2 A. Okay. Exhibit 3, first of all, the
3 datum horizon that we were using for this mapping
4 exercise is the top of the Dakota. And that
5 again is one of the reasons I wanted to discuss
6 Exhibits 4-A and 4-B first. As you can see from
7 the contour lines which represent sub-sea depths,
8 there are no major structural features.

9 Basically we're going from the high
10 area in the southwest corner to a structurally
11 deeper part of the basin to the northeast as
12 reflected by the contour lines. They range from
13 about minus 550 feet to minus 1,000 feet, so thus
14 we have 450 feet of structural relief across the
15 unit, which equates to an average structural
16 grading of 66 feet to the mile.

17 I'd also make reference -- I should
18 have pointed this out earlier -- there's a green
19 dot on this map. And also on Exhibit 2 this is
20 the location of the type log, which is Exhibit
21 4-A that I just mentioned.

22 Also shown on this illustration, the
23 red dot or what's red on my illustration, the
24 dots with the gas symbols on them are all our
25 control points. Again, there are 50 or 60 within

1 the Rincon Unit and numerous other control points
2 outside it.

3 MR. STOVALL: Let me interrupt you for
4 a minute here. Looking at the exhibits we have
5 up here, there are no green dots or red dots.

6 THE WITNESS: I'm sorry. What should
7 be the green dot would be the symbol that's a
8 hexagon.

9 EXAMINER STOGNER: That's in Section 32
10 of 27 North, 6 West?

11 THE WITNESS: That's correct.

12 EXAMINER STOGNER: Okay.

13 THE WITNESS: Yes, Section 32.

14 EXAMINER STOGNER: Where are the red
15 dots at?

16 THE WITNESS: They are all the rest of
17 them.

18 EXAMINER STOGNER: Okay. So anything
19 that's a gas symbol --

20 THE WITNESS: Right.

21 MR. STOVALL: -- it's red. You just
22 can't see it.

23 Q. (BY MR. CARR) From this can you tell
24 the depth at the top of the Dakota?

25 A. Yes. The average -- the range, of

1 course, with all this subsurface control we have,
2 the range to the top of the Dakota -- again these
3 are expressed on the map in sub-sea values -- but
4 the actual depth according to the drilling data,
5 ranges from 7,008 feet to 7,586 feet. And the
6 average depth of all of the data points within
7 the Rincon Unit is 4,347 feet.

8 Q. What's the average number?

9 A. I'm sorry, 7,347 feet.

10 Q. At this depth what is the permitted
11 pre-stimulation flow rate?

12 A. 290 Mcf per day.

13 Q. Let's move now to Exhibit No. 5, the
14 tabular listing and the stratigraphic data.
15 Would you review that, please.

16 A. Okay. This is behind the tabs for 5-A,
17 Exhibits 5-A and 5-B. Exhibit 5-A is the tabular
18 listing of a number of wells from the Rincon
19 Unit. And the second page are for some wells
20 that are immediately outside the Rincon
21 boundary.

22 What's listed across the top, the
23 headers of this table KB is the Kelly Bushing in
24 elevation and feet. Listed as "Tops," we have
25 two of these. One that says "Kg" should be the

1 top of the Graneros formation. "Kd" is the top
2 of the Dakota. We use this data to calculate the
3 gross thickness values for both of these two
4 units.

5 If you'll scan to the bottom of the
6 page of this first part of Exhibit 5-A, you'll
7 see that the total range or the average thickness
8 value for the Dakota producing interval is 265
9 feet based on these wells from the unit.

10 Then again on the second page, the
11 headers across the top are the same. We have not
12 listed the average values on these because these
13 are outside of the unit.

14 Q. Let's move now to the Exhibit 5-B, the
15 net sand isopach map.

16 A. Okay. The net sand isopach map was
17 done almost entirely on using the existing
18 wireline geophysical log database, but also using
19 the core data that we had to help constrain
20 ourselves and to calibrate our observations.

21 Basically what we did is using the
22 gamma ray values, or the SP, we would identify
23 intervals where clean sand is present. And we
24 would sum the thickness of these clean sand
25 intervals.

1 But we also made use of other types of
2 logs that would be present, most commonly the
3 sonic logs or resistivity logs. So we just
4 didn't want to calculate our net sand thicknesses
5 based solely on clean sand value, but also try to
6 get an estimate of porosity based on one of these
7 other log parameters, again resistivity or
8 porosity logs, such as neutron or sonic.

9 Each well has to be treated as an
10 individual case because each log oftentimes was
11 drilled at different times using different
12 contractors.

13 So to review any existing data point
14 would require us to go and talk about each log.
15 But we used a standard procedure for calculating
16 that sand thickness, and that's what's
17 represented on Exhibit 5-B.

18 We've taken those intervals that appear
19 to be the most conducive to being a reservoir and
20 we have contoured the thickness values on these.
21 That's what the contour lines are, again showing
22 the outline of the unit and the well control.

23 Basically what we found is that the net
24 thicknesses range from approximately 60 feet, I
25 believe, up to -- let me check my number here --

1 60 to 110 feet, and the average value was 80
2 feet. So we consider the average net thickness
3 of the Dakota producing interval at about 80
4 feet.

5 Q. Is there any general trend to these
6 thicknesses?

7 A. In a way there is. As you can see from
8 the contour lines, there is a thickening fairly
9 thin on the southwest corner, a thickening toward
10 the middle and then thinning a little bit off to
11 the northeast. But it tends to thicken to the
12 northeast from the southwest.

13 Q. I'd like you now to go to your
14 stratigraphic cross-sections. We've put them
15 again, Mr. Stogner, on the wall and I'd ask Dr.
16 Cole to go to the exhibit and first tell the
17 general orientation of the cross-section and then
18 review it.

19 A. Okay. First of all, I'll point out the
20 maps that are on both cross-sections. This is
21 the same. These lines of cross-sections for
22 cross-section A-A prime, which is southwest to
23 northeast, and B-B prime, which is primarily
24 north to south, are shown on these insert maps
25 and are also shown on Exhibit 2.

1 Q. Exhibit 6-A now is A-A prime, 6-B, B-B
2 prime?

3 A. That's correct.

4 Q. All right.

5 A. Also on here we have the Dakota
6 interval shown. In this case everyone can see
7 the colors, and it's orange. Again we have the
8 two formations that make up the producing
9 interval Dakota and Graneros. And this green
10 line going across on both diagrams is that
11 boundary between these two stratigraphic units.

12 MR. STOVALL: Again, I'm going to have
13 to ask that you not refer to colors since we
14 don't have them on our exhibits.

15 THE WITNESS: Okay. Well, the line
16 that separates the Dakota and Graneros is pretty
17 much equi-distance between the top and the bottom
18 of each of these logs and also refers to the
19 header information on the right-hand side.

20 Also shown here on each cross-section,
21 A-A prime and B-B prime, are the names of the
22 wells, their location, section, township and
23 range, Kelly Bushing, total depth.

24 And then information at the bottom
25 includes things like completion dates, the

1 intervals that were perforated. And in the cases
2 of these cross-sections, we've tried to include
3 wells that also have the core control.

4 I might refer to Exhibit 6-A. You can
5 see Rincon Unit 127, which is one of our cored
6 wells. We have the cored intervals listed
7 there. Another cored interval or cored well is
8 Rincon No. 1, also on cross-section A-A prime.

9 And we have other -- I should also
10 point out that we do have a cross-correlation
11 well, which is typical for these types of
12 exhibits. Rincon No. 1 is the tie well between
13 both cross-sections A-A prime and B-B prime.

14 The most important thing that comes out
15 from these cross-sections is the lateral
16 continuity of the various units and subunits
17 within the Dakota producing interval.

18 We've also designated the various
19 subunits within the Graneros and the Dakota, and
20 you can see from the darker lines going across
21 both cross-sections that the individual intervals
22 correlate quite well.

23 This has not been a problem for us in
24 any of the correlation work. Also within each of
25 these intervals, the sand -- there are sandstones

1 present in each one, and so we can also correlate
2 those, although those individual correlation
3 lines are not shown on this diagram.

4 I should make one final reference, the
5 datum for both cross-sections is the -- this
6 volcanic ash bed, which we referred to earlier as
7 the X-Marker, which is in the lower Graneros
8 formation.

9 Q. Dr. Cole, what conclusions have you
10 reached from your geological study about the area
11 that is the subject of this application?

12 A. Fundamentally the reservoir interval is
13 composed of alternating sandstones and shales.
14 Sandstones are very fine to fine grain and are
15 either marine or non-marine and also the mud
16 rocks that are associated with them have similar
17 characteristics.

18 We've documented that the gross average
19 thickness within the Rincon Unit for the
20 producing interval is 265 feet. And the net
21 thickness based on log determinations is 80
22 feet. And the average depth below the surface to
23 the top of the Dakota producing interval is 7,347
24 feet. So that's the basic summary of the
25 geologic data.

1 Q. Were Exhibits 1 through 6 and all the
2 subparts of those exhibits, were they prepared by
3 you or have you reviewed them, and can you
4 testify to their accuracy?

5 A. That is correct.

6 MR. CARR: At this time, Mr. Stogner,
7 we would move the admission of UNOCAL Exhibits 1
8 through 6 and all subparts thereof.

9 MR. STOGNER: Exhibits 1 through 6 will
10 be admitted into evidence at this time.

11 MR. CARR: That concludes my direct
12 examination of Dr. Cole.

13 EXAMINER STOGNER: Thank you, Mr.
14 Carr.

15 Ms. Smith, your witness.

16 MS. SMITH: Thank you. No questions.

17 EXAMINATION

18 BY EXAMINER STOGNER:

19 Q. Dr. Cole, in referring to Exhibit No.
20 1-B, are you familiar with the other type
21 formation areas in the San Juan Basin?

22 A. Yes, but maybe not as well as I should
23 be.

24 Q. Do you know if the full vertical extent
25 of those zones applicable to those areas include

1 the Graneros?

2 A. Well, the part that's been designated
3 as Dakota, because of the typical nomenclature
4 that's used in the basin, I have not reviewed
5 those specific applications or cases. But just
6 from my experience of looking at a lot of
7 information, most geologists would include the
8 Graneros as part of the Dakota.

9 Q. Do you know if that is the -- or what
10 the vertical extent of the Basin Dakota Pool is?
11 It sounds like you have some knowledge of that.

12 A. Well, within our application area,
13 again the total interval is -- it has a range,
14 but it's right around 285 feet thick.

15 I should also point out that there is,
16 depending on individual operators, there is a lot
17 of difference between subunits and
18 subdesignations; that each operator has their own
19 working nomenclature, which is certainly
20 reflected in our exhibits.

21 Q. In preparing your exhibits today, I
22 assume that there are perforated intervals that
23 take in the Graneros formation and the Dakota
24 formation as you indicate on your cross-sections
25 and your information today; is that correct?

1 A. That is correct.

2 Q. And they are designated as far as
3 production data and such as that that you know as
4 Basin Dakota Pool?

5 A. That is correct.

6 EXAMINER STOGNER: Ms. Clancy, do you
7 have any questions of this witness?

8 MS. CLANCY: No questions.

9 EXAMINER STOGNER: I have no further
10 questions of Dr. Cole. You may be excused.

11 MR. CARR: At this time we would call
12 Mr. Irwin.

13 WILLIAM L. IRWIN

14 Having been duly sworn upon his oath, was
15 examined and testified as follows:

16 EXAMINATION

17 BY MR. CARR:

18 Q. Will you state your name for the
19 record, please.

20 A. William L. Irwin.

21 Q. And where do you reside?

22 A. Farmington, New Mexico.

23 Q. By whom are you employed and in what
24 capacity?

25 A. I'm employed by the Union Oil Company

1 of California, UNOCAL, as the District Petroleum
2 Engineer.

3 Q. Have you previously testified before
4 the New Mexico Oil Conservation Division?

5 A. No.

6 Q. Could you previously summarize your
7 educational background and then review your work
8 experience.

9 A. I graduated from university with a
10 bachelor of science degree in petroleum
11 engineering in December 1983 from Montana College
12 of Mineral Science & Technology. I worked four
13 years with Quintana Petroleum Corporation in
14 Texas, Colorado, Wyoming, and Canada in various
15 positions in drilling, production, and reservoir
16 engineering.

17 And more recently I worked for the last
18 four years with UNOCAL at three years in Canada
19 and transferred this year to Farmington. The
20 last two years with UNOCAL I have been Senior
21 Reservoir Engineer.

22 Q. Are you familiar with the application
23 filed in this case on behalf of UNOCAL?

24 A. Yes, I am.

25 Q. Have you made an engineering study of

1 the wells in this area?

2 A. Yes, I have.

3 MR. CARR: We tender Mr. Irwin as an
4 expert witness in petroleum engineering.

5 EXAMINER STOGNER: Are there any
6 objections or questions of Mr. Irwin?

7 Mr. Irwin is so qualified.

8 Q. (BY MR. CARR) You have prepared
9 exhibits for presentation here today?

10 A. Yes.

11 Q. Would you refer to what has been marked
12 as UNOCAL Exhibit No. 7, the permeability map,
13 and review that for the Examiner.

14 A. Exhibit 7 illustrates -- is what we
15 call a permeability data map -- illustrates the
16 Rincon Unit application area, the various
17 different procedures used to calculate in situ
18 permeability.

19 There's three methods illustrated here
20 and the wells in which we derive permeability.
21 There's core data on nine wells, as Dr. Cole had
22 illustrated.

23 Q. That's indicated by a circle on this
24 plat?

25 A. They are circled on Exhibit 7, six of

1 them within the unit and three outside the unit.
2 There are eight wells indicated by the triangles
3 in which we did performance analysis to determine
4 permeability, and there are two other wells we
5 did indicated by a square that we've done
6 pressure buildup analysis on.

7 Q. Does this data confirm that the average
8 in situ permeability for the Dakota producing
9 interval involved in the area that is the subject
10 of this application is less than .1 millidarcies?

11 A. Yes, it does.

12 Q. Let's go now to that data and review
13 it. If you would go first to Exhibits 8 and 9,
14 the original core data, and review that for the
15 Examiner.

16 A. Exhibit 8 is the original core data,
17 copied here from the core lab or the -- whatever
18 contractor the data was generated by. It's for
19 nine wells, six within the unit, three outside of
20 the unit. These are illustrated as I mentioned,
21 on Exhibit 7 and on Exhibit 2 as well.

22 Exhibit 9 is the same data put into a
23 tabular form and correlated with the
24 stratigraphic units assigned by Dr. Cole. In
25 addition, the major difference between Exhibit 8

1 and Exhibit 9 is any permeability data that the
2 contractor showed of zero permeability or less
3 than zero permeability -- no. Excuse me.

4 Any permeability data that is listed as
5 less than .01 millidarcies we included as .01 as
6 a conservative assumption on our part.

7 Q. This correction would actually tend to
8 result in a higher permeability?

9 A. That's correct. There are 792 values,
10 each representing a one-foot cored section.

11 Q. Let's move now to Exhibit No. 10.
12 Would you identify that and then review each of
13 the subparts for Mr. Stogner.

14 A. Exhibits 10 -- Exhibit 10 includes
15 Exhibit 10-A, B, C, and D, which takes the
16 previous two exhibits, 8 and 9, and summarizes
17 the data in gross and net intervals in exhibits
18 10-A and 10-C and by stratigraphic unit shown in
19 Exhibits 10-B and 10-D for all the wells
20 combined.

21 From there permeability measurement is
22 listed. And going -- as you can see and we'll
23 demonstrate further, it is very low for all the
24 wells on any basis, gross or not.

25 Q. Is corrected permeability data shown on

1 Exhibits B and D?

2 A. Yes, it is.

3 Q. Could you explain how it was that you
4 adjusted laboratory data to in situ figures.

5 A. Okay. I'd like to refer to Exhibit
6 10-D to explain the corrected permeability.
7 Permeability column in Exhibit 10-D is the mean
8 permeability, which is the second column in
9 Exhibit 10-D.

10 The corrected -- the permeability
11 listed is that conducted at ambient temperatures
12 in laboratory conditions, which is not reflective
13 of the in situ permeability. So to correct that,
14 to account for overburden pressure and water
15 saturations, we used an industry-accepted
16 methodology known as the Jones & Owen's method.
17 The paper referencing that method is in the
18 appendix.

19 This accounts for the overburden water
20 saturation and the Klinkenberg effect in
21 measuring permeability. So we took the published
22 correlation and adjusted it slightly because we
23 found it did too great a correction. In other
24 words, it lowered the permeability too much. So
25 we backed off on that, and we calibrated it

1 against our pressure buildup analysis, which I'll
2 get into later.

3 In either case, the range of
4 permeability that we -- using this methodology on
5 a gross basis was .0506 millidarcies, and on a
6 net basis, as you can see illustrated in Exhibit
7 10-D for corrected perm, was .0303 millidarcies,
8 all less than the .1 millidarcy cutoff.

9 Q. What conclusions can you reach about
10 the formation in this subject area from this core
11 information?

12 A. That it is less than .1 millidarcies
13 and that the permeability is randomly distributed
14 and with no significant natural fracturing.

15 Q. As part of your study, did you review
16 well performance in the area?

17 A. Yes. It's the second methodology that
18 we utilized to look at permeability. It's
19 illustrated -- the wells we examined are
20 illustrated on Exhibit 7. There were eight
21 wells, and the average permeability that we
22 determined for all eight was .0435 millidarcies,
23 which agreed very well with the core data.

24 Q. How did you do this? Did you use
25 Darcy's law?

1 A. We used a modified Darcy's law
2 calculation. That's illustrated in the text. I
3 would just leave it at that.

4 Q. Did you review the input factors that
5 you utilized in making this calculation?

6 A. Yes. There's a number of input
7 parameters. Net pay we derived from logs, of
8 course, and it corresponds directly to Exhibit
9 5-B, the net pay map.

10 Reservoir pressure and bottomhole
11 flowing pressure, this was derived from the
12 annual-biannual deliverability tests and buildup
13 tests that we've done over the years.

14 And flow rates also from the
15 annual-biannual deliverability tests, as well
16 fracture half-lengths, which we determined based
17 on the size and the success of the fractures. We
18 utilized a fracture model to determine those
19 fracture half-lengths.

20 And yes, based on -- that's the basis
21 for the Darcy's law, the input parameters.

22 Q. Now, Exhibit 11 in the exhibit book, is
23 that a productivity report?

24 A. Yes. That's a report by the
25 regulations. It shows the well locations and the

1 start-up productivity.

2 Q. Mr. Irwin, let's go to the pressure
3 buildup analysis in this exhibit. I direct you
4 to Exhibit No. 12, and I'd ask you to review
5 these results with Mr. Stogner.

6 A. Exhibit 12-A through D illustrates
7 buildup analysis conducted on two wells. They
8 were seven-day buildups, Rincon 184 and Rincon
9 137.

10 And as you can see, the average
11 drainage area -- for the average drainage area of
12 permeability, they calculated to .043
13 millidarcies and .046 millidarcies using a
14 finite-conductivity-fracture-type-curve analysis
15 method.

16 This matched very well with the datum,
17 with the core data and the performance analysis
18 data.

19 Q. How much pre-stimulation flow data was
20 available to you?

21 A. This pre-stimulation flow data was very
22 limited, and this is due to the fact that tests
23 were not generally conducted prior to stimulation
24 as it was well-known that there was relatively
25 little information that you could gain prior to

1 stimulation during the drilling of these wells.

2 Q. Let's go to Exhibit No. 13. I'd ask
3 you to review that. That is the flow data map?

4 A. This is the limited data as
5 illustrated. The hexagons, I guess they are, are
6 drill stem tests that were conducted on the first
7 wells drilled, Rincon No. 1 and the Rincon 57.
8 And both of them illustrate flow measurements of
9 less than 290 Mcf per day limit.

10 As well, there are five other wells
11 that flow gauges that were conducted while
12 drilling with gas, which was the early industry
13 practice in the area. Three of them are too
14 small to measure and two of them are very small
15 flow rates.

16 Q. Now, are all of these wells indicated
17 on the exhibits?

18 MR. CARR: Are they on your exhibits,
19 Mr. Stogner?

20 MR. STOVALL: Yes. The only problem we
21 have is there are no colors on them.

22 Q. (BY MR. CARR) All right. What is the
23 maximum stablized production rate against
24 atmospheric pressure allowed for wells in the
25 subject area?

1 A. Two hundred and ninety.

2 Q. And did any wells produce at a rate in
3 excess of this number?

4 A. No.

5 Q. Have you estimated the flow rate from
6 the application area?

7 A. Yes. Based on typical average
8 parameters that we discussed earlier, 80 feet
9 pay, a typical average fracture half-length, et
10 cetera, we determined that the estimated flow
11 rate should be about 130 Mcf per day, which is
12 what you'd expect with no -- with a zero skin.

13 Q. What sort of an oil rate are you
14 experiencing in this area?

15 A. Based on that average flow rate, we
16 would expect an oil rate of approximately 2.1
17 barrels of flow per day. This is based on the
18 highest condensate or oil ratio that we've seen,
19 which is about 16.5 barrels per million. So 2.1
20 barrels per day is what we would expect, which is
21 less than 5.

22 Q. Are you familiar with the existing
23 state and federal regulations concerning the
24 protection of freshwater aquifers?

25 A. Yes.

1 Q. Are there freshwater aquifers in this
2 area?

3 A. Yes. The Ojo Alamo is estimated at
4 about 2500 feet depth in the area.

5 Q. And that results in about how much
6 vertical depth between this water zone and the
7 subject formation?

8 A. Above 4500 feet.

9 Q. Do these freshwater zones in your
10 opinion exist throughout the area?

11 A. Yes, they're laterally continuous.

12 Q. Does the drilling and casing program
13 utilized in the area ensure that freshwaters will
14 be protected?

15 A. Yes, it does.

16 Q. Do you use -- do you have cathodic
17 protection wells in the area to provide
18 protection to the well?

19 A. We do.

20 Q. How are wells in this formation
21 typically stimulated?

22 A. There's two methods depending on
23 whether they isolate the Graneros and the
24 Dakota. In the past if they were isolated in
25 stimulating independently, approximately 40,000

1 pounds of 20-40 sand would be used in a hydraulic
2 fracture.

3 Or if they were stimulated together as
4 one interval, there would be approximately 75,000
5 pounds of 20-40 sand utilized in a gelled water
6 hydraulic frac.

7 Q. Do either of these methods pose any
8 threat to freshwater supplies in the area?

9 A. No, there would be no expectation to
10 frac up to the well.

11 Q. This area has been approved for infill
12 drilling, has it not?

13 A. Yes.

14 Q. By Order No. 1670-V?

15 A. That's correct.

16 Q. Have any infill wells been in fact
17 drilled in the area?

18 A. One infill well has been drilled
19 recently. That would be the 192-E drilled by
20 UNOCAL this year. And this is discussed in the
21 addendum to the text, page 10.

22 Q. And what was the purpose of this well?

23 A. It was to test essentially the
24 economics of drilling within -- infill drilling
25 within the Rincon Unit.

1 Q. Have you provided economic models in
2 this packet of exhibits?

3 A. Yes. Attached are Exhibits 14-A and
4 14-B -- are economic models that indicate it is
5 marginal rates of return without tax credits. In
6 14-A it's illustrated. And 14-B we've included
7 tax credits that indicate a rate of return that
8 may be sufficient for further infill development.

9 Q. In your opinion will there be further
10 infill drilling in the area if it is not
11 designated a tight formation and that the tax
12 incentive is therefore not available?

13 A. It would be fair to say that UNOCAL
14 would not pursue further infill drilling if a tax
15 incentive was not available.

16 Q. You've already covered these points.
17 But just by way of summary, based on your
18 engineering study of the area, is the in situ
19 permeability in the area which is governed by
20 this application less than .1 millidarcies?

21 A. Yes.

22 Q. Is the stabilized production rate and
23 atmospheric pressure calculated against
24 atmospheric pressure from the wells completed in
25 this formation and in the subject area less than

1 290 Mcf per day?

2 A. Yes, it is.

3 Q. Would you expect any well in the area
4 to produce in excess of five barrels of crude oil
5 per day?

6 A. No.

7 Q. And will freshwater be protected if
8 further drilling is permitted?

9 A. Yes.

10 Q. In your opinion does the data available
11 to you and which you've reviewed as an engineer
12 suggest to you that this area fully qualifies for
13 a tight gas sand designation under Section 107 of
14 the Natural Gas Policy Act?

15 A. Yes.

16 Q. Could you identify what has been marked
17 as Exhibit 15?

18 A. Exhibit 15 is a copy of the letter to
19 Meridian, the only other operator in the
20 application area, providing notice for the
21 hearing.

22 Q. And then Exhibit No. 16, would you
23 identify that?

24 A. Yes. Exhibit 16 is an affidavit of
25 publication showing the notice of application

1 that has been provided pursuant to the BLM
2 requirements.

3 Q. Were Exhibits 7 through 16 and all
4 their subparts either prepared by you or compiled
5 at your direction?

6 A. Yes, they were.

7 Q. Can you testify as to the accuracy of
8 these exhibits?

9 A. Yes.

10 Q. In your opinion will granting this
11 application result in the production of
12 hydrocarbons that otherwise will not be produced?

13 A. Yes.

14 Q. And will approval of this application
15 be in the best interests of conservation, the
16 prevention of waste, and the protection of
17 correlative rights?

18 A. Yes.

19 MR. CARR: At this time, Mr. Stogner,
20 we move the admission of UNOCAL Exhibits 7
21 through 16.

22 EXAMINER STOGNER: Are there any
23 objections?

24 Exhibits 7 through 16 will be -- did
25 you say 15 or 16?

1 MR. CARR: 16.

2 EXAMINER STOGNER: -- will be admitted
3 into evidence at this time.

4 MR. CARR: That concludes my direct
5 examination of Mr. Irwin.

6 EXAMINER STOGNER: Thank you, Mr.
7 Carr.

8 Ms. Smith, your witness.

9 MS. SMITH: Thank you. No questions.

10 EXAMINATION

11 BY EXAMINER STOGNER:

12 Q. Ms. Irwin -- I'm sorry, Mr. Irwin.
13 It's been a long day. Are you familiar with the
14 history of the Basin Dakota Pool and its
15 development?

16 A. I've done some reading, and I'm trying
17 to get more familiar with it, yes, sir.

18 Q. Could you give me a brief synopsis on
19 your understanding of the history of the
20 beginning development back in the 50s through the
21 60s and the results of the infill order and how
22 it's being developed today?

23 A. Within the Rincon Unit I can only speak
24 of. The first well was drilled in 1952,
25 subsequent development on 320. I think

1 originally it was 160-acre spacing. El Paso
2 drilled on 320 acres. And the majority of the
3 drilling was done in the 1950s and 60s on a
4 320-acre basis.

5 In 19 -- I think in the 1970s there was
6 probably seven wells drilled. And in late -- the
7 late 70s, about 1979, the order referred to,
8 1670-V, changed the spacing to 160 acres.
9 Subsequent to that only one well was drilled in
10 1982 until the well we drilled in 1991. And we,
11 of course, took over operatorship in 1986.

12 Q. But your understanding is that the
13 Basin Dakota Pool within the Rincon Unit is
14 governed by the pool rules, whatever are
15 presently or were applicable at the time, to the
16 Basin Dakota Pool; is that correct?

17 A. That's correct.

18 EXAMINER STOGNER: I'll take
19 administrative notice of Order R-1670.

20 MR. CARR: I have a copy of it if you
21 would like to include that in the record. We
22 could mark that as Exhibit 17.

23 EXAMINER STOGNER: Okay. We can do
24 that.

25 Also take -- there's been some other

1 past orders, and I cannot remember them at this
2 point, but I do have them back in my office and
3 I'll take administrative notice on any applicable
4 Basin Dakota rule, whether they be statewide
5 rules applicable at the time or subsequently
6 changed and even the pool now as developed under
7 R-8170.

8 But I'll take administrative notice of
9 any applicable orders and through the historic
10 progression of this particular pool and its
11 development.

12 MR. CARR: At this time, Mr. Stogner, I
13 would move that Exhibit 17, UNOCAL's Exhibit 17,
14 which is a copy of Order 1670-V, be included in
15 the record in this case.

16 EXAMINER STOGNER: Exhibit No. 17 will
17 be admitted into evidence at this time.

18 Q. (BY MR. STOGNER) In looking at your
19 Exhibit No. 7, you show some K values in those
20 little boxes?

21 A. That's correct.

22 Q. Now, in your averaging, you averaged
23 these in several different ways, didn't you?
24 Being the core analysis, you took that as one
25 particular data?

1 A. Yes, sir.

2 Q. And that showed to be the .0303?

3 A. That's correct.

4 Q. And that was in Exhibit 10?

5 A. Yes. Exhibit 10-A through D averages
6 these, all the values, in several different ways.

7 Q. Okay. Now, you took whatever core
8 analysis you had available to you; is that
9 correct?

10 A. We did on a gross basis and a net
11 basis, and this is all the core available within
12 the wells illustrated.

13 Q. Okay. Now, your performance analysis
14 is where you utilized the eight wells?

15 A. That's correct. Yes.

16 Q. And you had to utilize the perforated
17 intervals for that particular data, didn't you?

18 A. No. For performance analysis?

19 Q. Yes.

20 A. No, because we didn't use perforated
21 intervals. We used the net pay interval off of
22 logs or as illustrated, which equates as
23 illustrated in Exhibit 5-B, the net pay map.
24 That's the values we utilized to calculate -- in
25 the performance analysis to calculate

1 permeability.

2 And the reason for that, rather than
3 using the perforated interval, is because we
4 massive hydraulic-fractured all of these wells.
5 Your boundaries in your hydraulic fracture in a
6 vertical sense would be -- would be and should be
7 the net pay interval regardless of your
8 perforated interval.

9 And that's been proven through not
10 information that I have, but general industry
11 standards methodologies that your fractures will
12 propagate to the boundary extents of the net
13 intervals.

14 Q. Maybe we should go over the stimulation
15 procedures that have been followed in the
16 development of the Rincon Unit, this being
17 originally developed in the early 50s; right?

18 A. Yes.

19 Q. How were those wells that were drilled
20 in that era, how were they stimulated,
21 perforated, open-hole completed, and did they
22 change those wells that were drilled in the 60s
23 and then finally the wells that were drilled just
24 within the last few years?

25 A. Well, if they were originally completed

1 with some older technology, they were re-frac'd
2 because I have a list -- I can submit it as an
3 exhibit if you request -- of all the fracture
4 stimulations of all the wells in the Dakota, the
5 60 wells.

6 And all of them have been hydraulically
7 fractured with, as I gave you average values,
8 40,000 or 75,000 pounds. But every well has been
9 hydraulically fractured.

10 EXAMINER STOGNER: Let's submit that as
11 an exhibit, Mr. Carr.

12 MR. CARR: Okay. We will mark that as
13 Exhibit 18.

14 THE WITNESS: It's my only copy. Can I
15 send this?

16 MR. CARR: We'll get a copy.

17 EXAMINER STOGNER: We'll go off the
18 record at this point while you're digging that
19 out and Mr. Stovall is fixing to leave.

20 (A discussion was held off the record.)

21 EXAMINER STOGNER: Let's go back on the
22 record, Mr. Irwin.

23 THE WITNESS: Yes, sir.

24 Q. (BY EXAMINER STOGNER) Prior to the
25 formation of the Basin Dakota Pool, do you know

1 what pool this production was put into back in
2 the 50s?

3 A. No, sir.

4 EXAMINER STOGNER: Okay. Regardless,
5 there is an infill order applicable in this
6 particular area at this time.

7 Mr. Kent, I'll pass the witness to
8 you.

9 MR. KENT: Okay. I just have a couple
10 of questions just for clarification here.

11 EXAMINATION

12 BY MR. KENT:

13 Q. In Exhibit 9 on those cores, they're
14 just -- some of them are listed as Graneros and
15 Dakota and then a few there's only Graneros and
16 only Dakota. Now, all these wells that are in
17 the unit are actually completed in both
18 formations, but they're reported as Dakota
19 production; is that right?

20 A. That's correct. Graneros is considered
21 part of the Dakota producing interval.

22 Q. So then I'm still a little bit -- I
23 don't think I really heard the answer on the net
24 pay. The net pay that you used in your
25 calculations was the sum of both of those

1 intervals, whatever the net pay was in both?

2 A. That's correct. The entirety of it.

3 MR. KENT: Okay. That's it for now.

4 EXAMINER STOGNER: Ms. Clancy, do you
5 have any questions?

6 MS. CLANCY: No questions.

7 EXAMINER STOGNER: Does anybody else
8 have any questions of this witness?

9 If not, he may be excused.

10 MR. CARR: At this time I would move
11 the admission of UNOCAL Exhibit 18 if I did not
12 before.

13 EXAMINER STOGNER: Exhibit 18 being
14 the --

15 MR. CARR: That was the summary of
16 stimulation?

17 THE WITNESS: Yes.

18 EXAMINER STOGNER: Have you provided a
19 copy of the subsequent exhibits, 16, 17, and 18,
20 to the BLM, or will you do that?

21 MR. CARR: I have not provided 17.
22 I'll send a copy to Mr. Buckingham or to --

23 MS. CLANCY: Just Buck will be fine.

24 MR. CARR: -- whoever. To all of you.

25 EXAMINER STOGNER: Mr. Irwin is

1 dismissed.

2 I believe Mr. Buckingham has a
3 statement at this point in time.

4 MR. BUCKINGHAM: Yes. Since this area
5 involves infill drilling, I'd like to just put in
6 for a matter of record what FERC's feeling on
7 infill drilling is at this stage of the game.

8 The FERC issued a notice of proposed
9 rule making on March 20, 1991. The subject was
10 qualifying certain tight formation gas for tax
11 credit.

12 Within that proposed rule making, a
13 portion of which I quote, "was previously
14 authorized to be developed by infill drilling if
15 in the jurisdictional agency's judgment the
16 formation cannot be developed without the tax
17 credit for incentive price or the incentive price
18 for wells spud before May 13, 1990."

19 I talked to FERC on December 6, 1991,
20 after our informal meeting here with the
21 representatives from the OCD and UNOCAL regarding
22 economic data because this is an infill drilling
23 area.

24 The reply I got from FERC was that if
25 we were -- if you go in and use economic data

1 alone for any way to support your case, it will
2 result in an automatic tolling letter from the
3 FERC because even though we realize it, you
4 realize it, the industry realizes it, everybody
5 realizes it, that the tax credit is what is
6 driving this rush to get wells drilled, but the
7 regulation still says price incentive.

8 There is no price incentive, but until
9 that regulation is changed, the FERC is bound by
10 that regulation. They must follow that
11 regulation to the letter.

12 So as a result, when we go in with the
13 recommendation and designation of this area, I
14 will state -- the BLM will state in there that
15 the only reason this economic data is there is
16 just for general information. The application,
17 if we decide to designate it, will stand on its
18 own merits based on permeability, crude oil
19 production, and production according to the table
20 listed in the FERC guidelines.

21 I asked -- I keep asking FERC. I've
22 been following this since March 20, 1991. They
23 are not in a hurry to issue a rule. I'm afraid
24 they're waiting for a test case. Since I know
25 they will read this transcript, this might be a

1 test case. But I just want to make that very
2 clear that we cannot use economic data to prove
3 our case.

4 As far as infill drilling, I also asked
5 FERC about -- we are talking about an area here.
6 Since the boundaries are a federal unit and there
7 is no substantial infill drilling, all we're
8 looking at is a federal unit. So that should
9 stand by itself. That's all I have to say.

10 EXAMINER STOGNER: Thank you, Mr.
11 Buckingham.

12 Does anybody else have anything further
13 in this case?

14 Mr. Carr, I'm going to ask you to
15 provide me a rough draft -- I'm sorry -- provide
16 me and Mr. Buckingham with a rough draft order.

17 MR. CARR: Okay.

18 EXAMINER STOGNER: If there's nothing
19 further in Case 10420, I'll take it under
20 advisement.

21 (The proceedings were concluded.)
22

23 I do hereby certify that the foregoing is
24 a complete record of the proceedings in
25 the Examiner hearing of Case No. 10420,
heard by me on 20 December 19 91.


_____, Examiner
Oil Conservation Division


1 CERTIFICATE OF REPORTER

2
3 STATE OF NEW MEXICO)
4 COUNTY OF SANTA FE) ss.
5

6 I, Debbie Vestal, Certified Shorthand
7 Reporter and Notary Public, HEREBY CERTIFY that
8 the foregoing transcript of proceedings before
9 the Oil Conservation Division was reported by me;
10 that I caused my notes to be transcribed under my
11 personal supervision; and that the foregoing is a
12 true and accurate record of the proceedings.

13 I FURTHER CERTIFY that I am not a
14 relative or employee of any of the parties or
15 attorneys involved in this matter and that I have
16 no personal interest in the final disposition of
17 this matter.

18 WITNESS MY HAND AND SEAL DECEMBER 23,
19 1991.
20

21
22 
23 _____
24 DEBBIE VESTAL, RPR
25 NEW MEXICO CSR NO. 3