

## NEW MEXICO OIL CONSERVATION COMMISSION

## EXAMINER HEARING

SANTA FE, NEW MEXICOHearing Date MARCH 5, 1992 Time: 8:15 A.M.

NAME	REPRESENTING	LOCATION
ERIC D. CARLSON	MARATHON OIL COMPANY	MIDLAND, TX
DONALD G. PRICE, JR.	MARATHON OIL COMPANY	MIDLAND, TX
TOM LOWRY	marathon oil	midland, TX
W. Kellen	Kellen Kellen Aubrey	Santa Fe



1 NEW MEXICO OIL CONSERVATION DIVISION

2 STATE LAND OFFICE BUILDING

3 STATE OF NEW MEXICO

4 CASE NO. 10443

5  
6 IN THE MATTER OF:

7  
8 The Application of Marathon Oil Company  
9 to Amend Division Order No. R-9503,  
Lea County, New Mexico.

10  
11  
12  
13  
14  
15 BEFORE:

16 DAVID R. CATANACH

17 Hearing Examiner

18 State Land Office Building

19 March 5, 1992

20  
21  
22  
23 REPORTED BY:

24 CARLA DIANE RODRIGUEZ  
25 Certified Shorthand Reporter  
for the State of New Mexico

ORIGINAL

## A P P E A R A N C E S

FOR THE NEW MEXICO OIL CONSERVATION DIVISION:

ROBERT G. STOVALL, ESQ.

General Counsel  
State Land Office Building  
Santa Fe, New Mexico 87504

FOR THE APPLICANT:

KELLAHIN, KELLAHIN & AUBREY  
Post Office Box 2265  
Santa Fe, New Mexico 87504-2265  
BY: W. THOMAS KELLAHIN, ESQ.

-and-

MARATHON OIL COMPANY  
Post Office Box 552  
Midland, Texas 79702  
BY: THOMAS C. LOWRY, ESQ.

## I N D E X

## Page Number

Appearances 2

## WITNESSES FOR THE APPLICANT:

1. DONALD G. PRICE, JR.

Examination by Mr. Kellahin 5

Examination by Examiner Catanach 26

2. ERIC D. CARLSON

Examination by Mr. Kellahin 35

Examination by Examiner Catanach 51

Certificate of Reporter 54

## E X H I B I T S

## Page Marked

Exhibit No. 1 8

Exhibit No. 2 12

Exhibit No. 3 14

Exhibit No. 4

Exhibit No. 5 22

Exhibit No. 6 36

Exhibit No. 7 38

Exhibit No. 8 39

Exhibit No. 9 43

Exhibit No. 10 46

Exhibit No. 11 52

1 EXAMINER CATANACH: Call the hearing to  
2 order this morning for Docket No. 7-92. On this  
3 particular docket, Case 10451 will be continued  
4 to March 19th.

5 At this time we'll call Case 10443.

6 MR. STOVALL: Application of Marathon  
7 Oil Company to amend Division Order No. R-9503,  
8 Lea County, New Mexico.

9 EXAMINER CATANACH: Are there  
10 appearances in this case?

11 MR. KELLAHIN: Mr. Examiner, I'm Tom  
12 Kellahin of the Santa Fe Law Firm Kellahin,  
13 Kellahin & Aubrey appearing on behalf of the  
14 Applicant, and I have two witnesses to be sworn.

15 EXAMINER CATANACH: Any other  
16 appearances?

17 Will the witnesses please stand to be  
18 sworn in.

19 (The witnesses were duly sworn.)

20 MR. KELLAHIN: Mr. Examiner, I would  
21 like to call, at this time, Don Price. Mr. Price  
22 is a petroleum engineer with Marathon.

23 DONALD G. PRICE, JR.

24 Having been first duly sworn upon his oath, was  
25 examined and testified as follows:

## EXAMINATION

BY MR. KELLAHIN:

Q. Mr. Price, for the record, would you please state your name and occupation?

A. My name's Donald Gene Price, Jr. I'm operations engineer with Marathon Oil Company.

Q. Have you, on prior occasions, Mr. Price, testified before the Oil Conservation Division?

A. No, sir, I have not.

Q. Summarize for us when and where you obtained your degree.

A. I obtained my degree in May of 1986 from the University of Missouri-Rolla where I obtained a bachelor's of science degree in petroleum engineering.

Q. After your graduation, Mr. Price, summarize for us your employment experience as a petroleum engineer.

A. I took employment after graduation with Schlumberger Testing, and I worked for two years and three months out of Odessa, Texas, as a field engineer.

At the time I left Schlumberger I had the title of senior field engineer. I took

1 employment then with Marathon Oil, and I've been  
2 employed as an operations engineer with Marathon  
3 for the last three years.

4 Q. As an operations engineer for your  
5 company, what is your particular involvement with  
6 Marathon's project in what is called the McDonald  
7 State A/C-1 and 1-A waterflood project in Lea  
8 County, New Mexico?

9 A. The scope of my duties in reference to  
10 the McDonald State project was to oversee the  
11 open hole logging and to work with the design and  
12 the workover of all the wells, injectors and  
13 producers pertaining to the flood.

14 Q. This is a waterflood project that has  
15 previously been approved by the Oil Conservation  
16 Division, is it not?

17 A. That is correct.

18 Q. Are you familiar with Division Order  
19 R-9503 that's appended to the application in this  
20 case?

21 A. Yes, I am.

22 Q. And that is the approval of the project  
23 by the Oil Conservation Division?

24 A. Yes, sir, I am.

25 Q. Summarize for us, generally, the



1 criteria as it's important to you with regards to  
2 the initially approved interval for flooding.

3 A. The initial interval approved for  
4 flooding was the South Eunice Pool. There was  
5 certain stipulations on certain wells by offset  
6 owner requests, that the water injection be  
7 defined to just the top of the Queen interval.

8 MR. KELLAHIN: Mr. Examiner, for your  
9 information, here's an extra copy of Order No.  
10 R-9503 that Mr. Price is discussing.

11 Q. With knowledge about that Order in your  
12 operations within this project, have you made an  
13 engineering study to examine the facts and  
14 circumstances around what is characterized as  
15 Injector Well #30?

16 A. Yes, sir, I have.

17 Q. Based upon that study, do you have  
18 recommendations, conclusions and proposals for  
19 the Examiner today concerning that particular  
20 injector well?

21 A. Yes, sir, I do.

22 MR. KELLAHIN: Mr. Examiner, we tender  
23 Mr. Price as an expert operations engineer.

24 EXAMINER CATANACH: Mr. Price is so  
25 qualified.

1           Q.       Mr. Price, let me direct your  
2 attention, sir, to what we've marked as Marathon  
3 Exhibit No. 1. To orient the Examiner, would you  
4 identify the display for us?

5           A.       The display, Exhibit No. 1, is a plat  
6 of a portion of the South Eunice Field outside  
7 Eunice, New Mexico. It shows all the subsequent  
8 wells pertaining and surrounding our waterflood,  
9 which is confined to Section 16 and the western  
10 half of Section 15 in Lea County, New Mexico.

11          Q.       Identify for us how the specific  
12 injector that's the subject of this hearing is  
13 shown on the display.

14          A.       It is shown highlighted with yellow  
15 with a red circle around it, and it's labeled as  
16 an injection well in the southwest portion of the  
17 lease of Section 16.

18          Q.       The dashed box, if you will, that  
19 surrounds Section 16, is simply a squared off  
20 half-mile radius around all your injector wells  
21 for this project, is it not?

22          A.       That is correct.

23          Q.       When you look around the injector well,  
24 within a half-mile radius of that, would you give  
25 us a sense of what Marathon is doing, as

1 operator, to initiate the flood initially in the  
2 Queen portion of the pool?

3 A. Okay. Initially in the Queen portion,  
4 Well #30 was perforated in the Queen interval and  
5 was acidized. The surrounding producers to the  
6 northeast, the #10 well, was opened in the Queen  
7 and the Lower Seven Rivers, and was treated.

8 The #9 well, located to the north and  
9 west of #30, was also--is open-hole intervalled in  
10 the Queen and is also perforated in the casing in  
11 the Lower Seven Rivers.

12 The Well #8, which is located south and  
13 west of Well #30, is open-hole intervalled in the  
14 Queen formation and is perforated in casing in  
15 the Lower Seven Rivers interval.

16 The producer, Well #47, is  
17 perforated--was a new drill pertaining to the  
18 project, and was perforated and completed in the  
19 Queen formation only.

20 Q. There's another key well that we're  
21 going to describe in your testimony, and it's  
22 identified as Marathon's McDonald State #6 well?

23 A. That is correct. It's a presently  
24 producing Jalmat well.

25 Q. Within the half-mile radius of the #30

1 injector, there are some Jalmat gas wells to the  
2 south that are not operated by Marathon. Would  
3 you identify those for the Examiner?

4 A. Okay. They are starting in Section 20  
5 in the northeast corner, Section 20. That is  
6 Well #3, which is operated by Doyle Hartman.

7 In Section 21, in the northwest  
8 quarter, we have two wells, Well #1 and Well #2  
9 which are Jalmat gas wells, which are operated by  
10 Doyle Hartman.

11 Q. In implementing the approval and  
12 initiating the waterflood with the use of  
13 injector #30, what did you find?

14 A. Due to the agreements of the order,  
15 we've subsequently ran profile bond logs and  
16 profile logs and we have detected a slight  
17 channel up into the Lower Seven Rivers pay.

18 Q. That data was required and Marathon  
19 agreed to run it and provide it to the Division  
20 and to Mr. Hartman or those offset operators  
21 around this injector?

22 A. That's correct.

23 Q. An analysis of that profile  
24 demonstrates what to you?

25 A. The analysis of the profile

1 demonstrates to me that the majority of the water  
2 is going into the Queen, but there is a slight  
3 detection of a channel or water movement behind  
4 pipe up into the Lower Seven Rivers pay.

5 Q. Having determined that to be correct,  
6 in your opinion does that pose any risk to any of  
7 the Jalmat gas wells in the area of review for  
8 this injector well?

9 A. No, sir, it does not. Looking at the  
10 well and looking at the bond log where the Lower  
11 Seven Rivers pay is located in Well #30, we have  
12 approximately 65 to 70 feet of interval left in  
13 the South Eunice Pool before you get to the base  
14 of the Jalmat formation, and evaluating the bond  
15 log we have more than adequate bond to keep that  
16 water contained where it's at in the Lower Seven  
17 Rivers.

18 Q. What are you seeking to have the  
19 Examiner do for you with regards to this injector  
20 well?

21 A. To amend the order to where we're  
22 allowed to keep injecting water into Well 30 the  
23 way it presently is.

24 Q. To accomplish that result, what is the  
25 vertical distance above the top of the Queen in

1 this injector well that you need additional  
2 approval for injection?

3 A. Approximately at least 40 feet.

4 Q. That would still leave a buffer or a  
5 safety interval vertically in the wellbore of  
6 some 60 feet before you get into the Jalmat Pool  
7 itself?

8 A. That is correct.

9 Q. Let's now turn to the specifics of the  
10 reasons that support your conclusions, Mr. Price,  
11 and to do that let me ask you to look at two  
12 displays.

13 If you'll turn to what we've marked as  
14 Marathon Exhibit No. 2 and then, in addition,  
15 look at Exhibit No. 3. First of all, let's have  
16 you identify Exhibit No. 2.

17 A. Okay. Exhibit No. 2 is the injectivity  
18 profile log. Briefly describing the log, what  
19 you're looking at, starting on the left-hand  
20 side, we have marked the representative  
21 formations and boundaries based off the gamma ray  
22 that was taken on this profile log run.

23 In the left-hand track you see the  
24 gamma ray character which was used for the  
25 correlation. Over in the right-hand track, the

1 first curve that you come to is a solid line  
2 which is your flowing injection temperature that  
3 was taken while the well was still injecting.

4 The second line that you see, the  
5 dashed lines with enclosed circles, solid  
6 circles, that is, is the shut-in temperature  
7 profile run which was done one hour after the  
8 well was shut in.

9 On the far right-hand margin you have a  
10 collar log which shows the 2-3/8" collars at  
11 3542, you see the packer, and then the collars  
12 after that are the casing collars from the 5-1/2"  
13 casing. So that gives you your whole look at the  
14 wellbore, as far as the mechanical part of it,  
15 the tubulars.

16 Down in the part of the zone of  
17 interest, you can see, in the middle margin, you  
18 can see where the perforations are located for  
19 the well, and you can see the percent of fluid  
20 going into these perforations off the velocity  
21 runs and off the tracer runs on the left-hand  
22 margin.

23 Back on the right-hand margin, you see  
24 another display which is for the velocity which  
25 is a percent of flow, with 100 percent being the

1 far right-hand margin and zero percent flow being  
2 the far left-hand margin, and you can see that  
3 the velocity is represented by the solid dots and  
4 the tracer is represented by your open circles.

5 Q. We'll come back to that display in a  
6 minute. Let me have you identify Exhibit No. 3  
7 at this time.

8 A. Okay. Exhibit No. 3 is a portion of  
9 the logging procedure that was done. This is  
10 your channel check log, a portion of it, where we  
11 detected and were looking for the channel to  
12 verify the depth the way the channel was actually  
13 going to.

14 To just explain, I would like to point  
15 out first the tool diagram, that you see there in  
16 the middle of the exhibit, the way this tool was  
17 set up, you have one ejector and two detectors.  
18 Your top detector is your upper gamma ray above  
19 your ejector, and below your ejector, your bottom  
20 detector is your lower gamma ray. You can see  
21 the representative footages in between the  
22 distances for these detectors in the ejector.

23 Back over on the log itself, the  
24 left-hand track is for your bottom detector and  
25 for your right-hand track is your top detector.



1           If I may, this log is increasing time,  
2 going up, so you have--we'll start at the bottom  
3 of the log. The way this is done, the tool is  
4 set stationary and the material is ejected and  
5 it's monitored at the detectors when the  
6 radioactive material shows up.

7           So, if I can explain this, the first  
8 shot that you see is the tool with the bottom  
9 detector sitting at 3595. You see the quick  
10 spike on where the radioactive material was  
11 ejected out of the injector. You see the big  
12 signature on your bottom detector on the gamma  
13 ray which is the radioactive material slug  
14 passing that.

15           It goes down the casing, and since we  
16 suspect the channel--and we'll assume that we do  
17 have the channel--it goes up the back side and  
18 you see it come back and hit your bottom detector  
19 again. You see some detection from that detector  
20 behind pipe, and then a few seconds later you see  
21 it go past your top detector, and you see that  
22 signal that's received by your top detector  
23 there; so that they saw it on both the bottom and  
24 the top detector.

25           They moved up to 3590 with the bottom

1 detector, did the same sequence again, a little  
2 bit longer time since you're a little bit farther  
3 above that top perforation in the perforated  
4 interval. You see your deflection on your bottom  
5 detector, you see a slight deflection on your top  
6 detector. So you see the radioactive material  
7 pass both detectors again.

8 Then they moved up to 3580, did the  
9 same sequence again. You see a slight detection  
10 on the bottom detector and you see no detection  
11 on the top detector. And you can see that they  
12 stayed on that and monitored that for a while to  
13 make sure they did not see any kind of deflection  
14 of the radioactive material on the top detector.

15 So, by this sequence in these logs,  
16 it's my opinion that the fluid movement was  
17 somewhere between 3580 and 3570 by this exercise  
18 that was done.

19 Q. When we look at the top sequence here,  
20 where it's displayed with the red shading that  
21 says "channel" and we have the green line over to  
22 the top detector line, what does that represent?

23 A. That represents, more or less, just the  
24 trend that you're seeing. When you're seeing it  
25 hit the bottom detector, there's an established

1 trend that if the water is still moving, there's  
2 going to be a little bit of a lag time because of  
3 the distance, but you should be seeing it  
4 approximately, on your top detector if it's going  
5 to be there, at that same lag time.

6 Q. What do you conclude about the quality  
7 of the cement bonding in this particular  
8 injection well?

9 A. I conclude that the quality of cement  
10 bond, the log--the well was bond-logged before we  
11 did any completion work on the well and it looked  
12 very good to excellent over the zone of interest,  
13 and my conclusion is that this slight channeling  
14 that was created was due to the acid treatment  
15 that we did on the well upon completion.

16 Q. Do you see any evidence or indication  
17 that channeling will occur above this "A" member  
18 of the Seven Rivers zone, which is still within  
19 your particular pool?

20 A. I do not.

21 Q. Do you see any evidence that this  
22 wellbore is going to channel or otherwise  
23 communicate waterflood materials up into the  
24 Jalmat gas pool?

25 A. I do not. The mechanical integrity of

1 the well is very good.

2 Q. Let's turn back, then, to Exhibit No.  
3 2. On the far-left column of the display is an  
4 index to give us a reference to where we are  
5 vertically when we look at the log information.

6 Using that reference on the left  
7 column, take us down the wellbore and show us,  
8 then, what is occurring when you examine and  
9 analyze the log.

10 First of all, you have identified for  
11 us the base of the Jalmat pool and the  
12 corresponding top of your pool?

13 A. Correct.

14 Q. Is there any question in your mind that  
15 you have done anything other than locate that  
16 properly?

17 A. We're very confident that's where it's  
18 located in the well.

19 Q. Then, as we move down vertically,  
20 you've identified what's called the Lower Seven  
21 Rivers "A"?

22 A. That is correct.

23 Q. And that is the zone in which you have  
24 channeling up above the top of the Queen into  
25 that particular zone?

1           A.       That is correct.

2           Q.       Below that, then, is a marker  
3 indicating the top of the Queen?

4           A.       Correct.

5           Q.       Again you have confidence that you've  
6 correctly identified the location of the top of  
7 the Queen?

8           A.       That is correct.

9           Q.       And then, with regards to your  
10 perforated interval, you've shown the floodable  
11 Upper Queen and then the Lower Queen Sand?

12          A.       That's correct.

13          Q.       Follow me now on that portion of the  
14 display that identifies the Lower Seven Rivers  
15 "A," move horizontally over until you find the  
16 area that's shaded with the green identification  
17 color, what's going on there?

18          A.       Okay. What is going on there, by  
19 Exhibit 3, it's my opinion that the water is  
20 channeling up between 3570 and 3580. To get  
21 exactly the depth, to get an actual depth in  
22 where we're channeling to, the area shaded in  
23 green is on the shut-in temperature, which was  
24 done one hour--injection was ceased for one hour  
25 and then a shut-in temperature profile log was

1 run.

2 And the top of the channeling, the  
3 actual depth of 3575 was picked off an inflection  
4 point where you see a change in temperature,  
5 which defines the top of where the water is  
6 going.

7 Q. When you're analyzing this data, you  
8 look through magnifying instruments and try to  
9 look for a break or a change in the slope of that  
10 data?

11 A. That is correct.

12 Q. And that change in slope you've  
13 identified to be at this point?

14 A. That is correct.

15 Q. And from that you've concluded you have  
16 a small amount of channeling whereby floodable  
17 fluids are moving up as high as this Lower Seven  
18 Rivers "A" zone?

19 A. That is correct.

20 Q. You've described for us the area,  
21 you've identified the problem with this  
22 particular injection well. Let's go back to  
23 Exhibit No. 1 as a reference point and talk about  
24 some of the reasons you feel that the vertical  
25 limits for flood approval can be increased

1 without jeopardizing any Jalmat gas production.

2 First of all, using Exhibit No. 1, I'll  
3 have you describe for me what, if any,  
4 operational procedures your company has  
5 undertaken to take pressures off of the Seven  
6 Rivers "A" zone that's now subject to flood  
7 fluids?

8 A. Okay. Directly in reference to the  
9 Well #30, in the agreements, in the original  
10 order, Well #10, which is located to the north  
11 and the east, Well #9, which is located to the  
12 north and the west, and Well #8, which is located  
13 to the south and west, are all open in the Lower  
14 Seven Rivers pay. They're producing wells.

15 We keep the wells pumped off so,  
16 therefore, we create a pressure sink in that  
17 Lower Seven Rivers, that any fluid that enters  
18 that Lower Seven Rivers has very easy access to  
19 them wellbores, as far as keeping pressure off  
20 that zone.

21 Q. In your opinion as an operational  
22 engineer, is opening up of those three wellbores  
23 to the Seven Rivers "A" zone sufficient to  
24 accomplish that pressure sink, if you will, in  
25 the Seven Rivers "A"?

1           A.       Yes.

2           Q.       Is any further action required, in your  
3 opinion, with regards to opening up that  
4 particular interval in any other wellbore?

5           A.       No.

6           Q.       Let's look at what we talked about a  
7 while ago, Marathon's Jalmat gas well, the #6  
8 well, which is to the south and to the east of  
9 the injector?

10          A.       That's correct.

11          Q.       If you'll turn to Exhibit No. 5, would  
12 you identify that for me, please?

13          A.       Okay. Exhibit No. 5 is a wellbore  
14 comparison for the Well #6. Since the well was  
15 drilled in the late 1930's and Well #47 was a new  
16 drill producer for the waterflood and is located  
17 only 150 feet from Well #6, what you see here is  
18 the open hole density neutron log for Well #47,  
19 with a stick diagram showing the perforations in  
20 Well #6 in the Jalmat Pool.

21                 Due to the close proximity of the wells  
22 and to give a better presentation of the porosity  
23 in that 40 acres, Well #6's perfs are shown  
24 correlated over the Well #47. Also in Well #47,  
25 you see the present perforations in the Queen



1 interval.

2 Q. When we look at the #6 Jalmat gas well  
3 that you operate, do you have an opinion as to  
4 whether or not all potential pay zones within the  
5 Jalmat Pool have been opened by perforations in  
6 the #6 well?

7 A. They have.

8 Q. When you compare the #6 well to the  
9 offsetting Hartman-Jalmat gas wells to the south,  
10 do you find that you have opened, in the #6 well,  
11 every possible pay stringer or zone in the Jalmat  
12 Pool that is either currently open in the Hartman  
13 wells or potentially production behind pipe in  
14 those wells?

15 A. Yes, I do.

16 Q. What significance do you, as an  
17 operational engineer, attach to the fact that you  
18 have the Jalmat #6 well that you operate in close  
19 proximity to the injector #30?

20 A. The significance of the Jalmat well,  
21 Well #6, is due to the mechanical integrity of  
22 the bond log and the impermeable rock in the  
23 upper part of the South Eunice Pool in that 60  
24 foot, I feel confident that the water is going to  
25 stay in the Lower Seven Rivers zone, which is

1 part of the South Eunice Pool.

2 If, in fact, there becomes any kinds of  
3 problems, it is my opinion, due to the  
4 completeness of the perforations up and down the  
5 wellbore in Well #6, that that well will see any  
6 type of injected water that's encroached in the  
7 Jalmat zone before it even approaches the lease  
8 line.

9 Q. Will Marathon continue to use the #6  
10 well as a monitor well, if you will?

11 A. We will.

12 Q. As we move to the south, are there any  
13 wells operated by others that are also open in  
14 the Seven Rivers "A" zone?

15 A. Yes. Referring back to Exhibit 1, in  
16 the northwest corner of Section 21, you see Well  
17 #66, which is a unit well for the Conoco  
18 waterflood, and upon investigation of the  
19 completion notices and their logs on their well,  
20 that well is perforated in the Lower Seven Rivers  
21 "A" sand.

22 Q. So what's the point?

23 A. That point there is that there is an  
24 active, open producer in the Lower Seven Rivers  
25 "A," another producer between our #30 well and

1 Doyle Hartman's Jalmat gas wells.

2 Q. In summary, then, Mr. Price, give us  
3 your ultimate conclusions about the safety, if  
4 you will, of increasing the injection approval  
5 area for Marathon in this injection well.

6 A. My opinion, the Lower Seven Rivers "A"  
7 is floodable, it's part of the South Eunice Pool,  
8 there is a slight channel into that pay.

9 Due to the analysis of the bond log and  
10 the mechanical integrity of Well #30, it's my  
11 opinion that that water will be contained to that  
12 Lower Seven Rivers "A" sand. We have offset  
13 wells open in the Lower Seven Rivers to take the  
14 water that does encroach into the Lower Seven  
15 Rivers, and we also have a Jalmat well that is  
16 perforated through the entire Jalmat interval so  
17 if there is any problems with the mechanical  
18 integrity later in the life of the flood, that  
19 obviously we will see this water in that well  
20 continuing water encroachment into the Jalmat  
21 before it even approaches the lease line.

22 Q. In your opinion, can we extend the  
23 vertical limits above the top of the Queen as you  
24 propose in this injection well, and do so without  
25 impairment of the correlative rights of others

1 and in the prevention of waste of hydrocarbons?

2 A. Yes, we can.

3 MR. KELLAHIN: That concludes my  
4 examination of Mr. Price, Mr. Examiner. We would  
5 move the introduction of his Exhibits 1 through  
6 5.

7 EXAMINER CATANACH: Exhibits 1 through  
8 5 will be admitted as evidence.

9 EXAMINATION

10 BY EXAMINER CATANACH:

11 A. Mr. Price, the current perforations in  
12 the #30 well, the top perforation is 3606, is  
13 that correct?

14 A. Yes, sir, that is correct.

15 Q. So you're seeking to extend the  
16 injection interval to approximately 3566, is that  
17 correct? You said 40 feet or so?

18 A. Yeah, approximately 40 feet, to the top  
19 of the Lower Seven Rivers "A" sand.

20 Q. Which occurs where?

21 A. The top of the Lower Seven Rivers "A"  
22 sand in Well #30 is located at 3570.

23 Q. The Seven Rivers "A" zone, does that  
24 have hydrocarbons in it? Is that producible?

25 A. Yes, sir, it does.

1           Q.       It's my understanding that the reason  
2 that this all took place initially was to--or the  
3 reason you weren't allowed to inject above the  
4 Queen, was to protect the Jalmat gas reserves in  
5 offset wells?

6           A.       That is correct.

7           Q.       Have you subsequently talked to Doyle  
8 Hartman or any of his representatives about this  
9 case?

10          A.       Yes, I have.

11          Q.       What was their reaction?

12          A.       Minimal response.

13          Q.       Were they supplied copies of the tracer  
14 survey and bond logs?

15          A.       Yes, they were.

16                 EXAMINER CATANACH: Mr. Kellahin, the  
17 application contained also a #33 well. Is that  
18 not being addressed in this case?

19                 MR. KELLAHIN: We moved in our  
20 prehearing statement, and we'll renew that  
21 motion, to delete the 33 well. That one is  
22 within an area of concern for Arco, and we are  
23 pursuing, independently of this case, a solution  
24 with them. At such point as we accomplish a  
25 solution, we'll simply refile an application for

1     that injector, #33.

2                 In addition, on the #30 well, the  
3     application asks that we be approved injection up  
4     to the, I believe, 3560 interval, to give us a  
5     10-foot buffer above the top of that Seven  
6     Rivers, so that if there is any channeling into  
7     that Seven Rivers "A" sand, that it's clear we  
8     have full approval for that interval.

9                 And we've asked for an additional  
10    10-foot buffer in there. That would still leave  
11    us 60 feet above the top of the approved interval  
12    before you get into the Jalmat pool, so there's a  
13    slight difference, if you look at the  
14    application, between what we filed and what Mr.  
15    Price has described for you as the top of the  
16    Seven Rivers "A."

17                EXAMINER CATANACH: You're actually  
18    asking to extend the injection interval to extend  
19    up to 3560?

20                MR. KELLAHIN: Yes, sir.

21                Q.     (BY EXAMINER CATANACH) Mr. Price, from  
22    the logs you've run, is it possible to determine  
23    what kind of volume is channeling in this well?

24                A.     The company that ran that was Holmes  
25    Wireline, and I've talked with them and our

1 experts in Littleton, Colorado at our Technology  
2 Center, and there's no way to quantify a number  
3 for the actual amount of volume that's going  
4 behind pipe.

5           You do get some dilution. The way this  
6 is run, the total slug and material goes down,  
7 and obviously some of it's going to go into the  
8 zone that we're injecting to, and then there's  
9 going to be a certain amount that's going to come  
10 behind and you get a dilution effect, so there's  
11 no way to really get any kind of amount of  
12 volume, barrels-per-day wise, to say what's going  
13 up and what's going into the formation.

14       Q.     Once you start or once you've injected  
15 for a while and you start getting a little  
16 pressure on that formation, is it possible the  
17 channeling could become worse in this well?

18       A.     There is a possibility of that. Due to  
19 the bond log that we see, the bond looked good  
20 over the whole zone of interest. I believe the  
21 slight channel that was created was created due  
22 to the treatment.

23           In my opinion, it will get no worse if  
24 we do increase any kind of rates, be it a step  
25 rate or whatever. I would assume it would be

1 some kind of proportionate means, to what is  
2 going into the zone and what is going up will be  
3 increased accordingly.

4 Q. Were you able to detect that channel at  
5 all from the bond log?

6 A. No, I was not. In examining the bond  
7 log, the bond log looks excellent. The bottom  
8 400 feet of the well was sandblasted, the casing  
9 report was run in the hole. You see 1 to 4  
10 millivolts, which is anywhere from 100 percent to  
11 70 percent bond all the way up and down through  
12 that area over the whole South Eunice Pool.

13 You see good cement--I mean, casing to  
14 cement and cement to formation bond, and that's  
15 by the lack of railroad tracking on either margin  
16 of your VDL. So, when the log was run in the  
17 field, there was no concern that there was going  
18 to be any kind of completion problems at that  
19 time before we perforated the well and did the  
20 subsequent acid treatment.

21 Q. Can you determine that there is,  
22 actually, no channel above 3570 or 3560?

23 A. Yes, I can. And that was by Exhibit  
24 No. 3, where we moved up the hole doing the drop  
25 shots, detecting the channel where you saw it on



1 your bottom detector, your top detector, and you  
2 moved up the hole until you only saw it on your  
3 bottom detector but not your top detector.

4 Then that was also confirmed by Exhibit  
5 No. 2, which was the shut-in temperature, where  
6 you see your inflection point on your shut-in  
7 temperature. What was determined by the drop  
8 shots was it was between 3580 and 3570, and then  
9 the actual depth picked was off that shut-in  
10 temperature profile of 3575, which directly  
11 correlates over to the Lower Seven Rivers "A"  
12 pool.

13 Q. Why would you choose not to perforate  
14 the #47 well in the Lower Seven Rivers "A"?

15 A. The reason it was not chosen, one, the  
16 main extent of the waterflood at this present  
17 time is the Queen. The other wells that I have  
18 specified were due to agreements that were signed  
19 upon initial issuing of the order. At that time  
20 there was no concern.

21 We also have that Jalmat well. The #47  
22 was just perforated in the Queen interval itself  
23 and was frac'd with approximately about 65,000  
24 pounds of sand. So at that time there were no  
25 stipulations on that well.

1           Q.       Would you, as an added precaution,  
2 would you recommend that that be done in that #47  
3 well? Would that help the situation?

4           A.       I would say it would not hurt the  
5 situation. I do not at this time believe it's  
6 needed, due to the slight channel and the  
7 proximity of Well #6. There again, it's my  
8 opinion that the water is going to stay in the  
9 Lower Seven Rivers "A" due to the mechanical  
10 integrity of Well #30 and due to the geology of  
11 the rock.

12                   It's my opinion that the water is not  
13 going to get any higher than that Lower Seven  
14 Rivers.

15           Q.       Mr. Price, what rate in pressures was  
16 the temperature log run under, do you know?

17           A.       The temperature log was run under a  
18 rate of approximately 1100 barrels a day, and the  
19 surface injection pressure, if my memory serves  
20 me right, was approximately about 650 pounds.

21           Q.       What's your current pressure limitation  
22 on this well?

23           A.       Approximately 720 pounds.

24           Q.       Do you anticipate that you'll increase  
25 the rate and the pressure in standard use?

1           A.       At present operations, no, not right  
2 now. The well is continuing to pressure up.  
3 This is one of our better wells. The southwest  
4 portion of this flood that we've developed is a  
5 lot better part of the field as far as porosity  
6 and permeability.

7                   The well was on a vacuum for a certain  
8 amount of time, and we're finally now starting to  
9 catch pressure on the well, so it's a better part  
10 of the field. That's one reason we do not want  
11 to work on the well and get this Seven Rivers  
12 included in the well.

13                  The only thing I can foresee in the  
14 future would be running the step rate test to get  
15 the injection pressure raised as the rates lower,  
16 as the well begins to keep pressuring up to the  
17 .2 psi per foot to the top perf.

18           Q.       Would Marathon be willing to, if a  
19 pressure increase is granted in this well, be  
20 willing to run a subsequent tracer survey to make  
21 sure that--

22           A.       I see no problem with that. There will  
23 be a continuing monitoring process probably on  
24 our part, anyway.

25           Q.       Mr. Price, was that the highest

1 interval that was tested on the tracer survey?

2 A. The interval where we're seeing that  
3 3580 for the bottom detector; is that correct?

4 Q. Right.

5 A. Yes. From that shot it was determined  
6 that the channel was up to some distance in  
7 between that 3580 and 3570, and then it was  
8 confirmed to actual top. Where it was channeling  
9 to was taken off the shut-in temperature profile  
10 log, which distinguished the top depth of where  
11 the channel was going between that 3570 and 3580.

12 Q. When was the bond log run on the well?  
13 Was it run under pressure, Mr. Price?

14 A. Yes, the bond log was run on the well,  
15 shown there at the bottom of the log at a  
16 thousand pounds, and over in the legend block it  
17 was run on September 16, 1991, upon initial  
18 completion of the well.

19 EXAMINER CATANACH: I believe that's  
20 all I have. Anybody else?

21 Okay. The witness may be excused.

22 EXAMINER CATANACH: Thank you, Mr.  
23 Examiner. I would like to call Mr. Eric Carlson.  
24 Mr. Carlson is a petroleum geologist with  
25 Marathon.

1                    ERIC D. CARLSON

2       Having been first duly sworn upon his oath, was  
3       examined and testified as follows:

4                    EXAMINATION

5       BY MR. KELLAHIN:

6            Q.       Mr. Carlson, for the record, would you  
7       please state your name and occupation?

8            A.       My name is Eric D. Carlson. I'm a  
9       petroleum geologist working for Marathon Oil  
10      Company.

11          Q.       Mr. Carlson, on prior occasions have  
12      you testified before the Oil Conservation  
13      Division as an expert petroleum geologist?

14          A.       Yes.

15          Q.       Pursuant to your employment as a  
16      petroleum geologist for this particular project,  
17      have you made a geologic study to determine  
18      whether or not, in your opinion, the Seven Rivers  
19      "A" sand, that we're discussing here today, is  
20      an oil-bearing zone as opposed to a gas-bearing  
21      zone?

22          A.       Yes.

23          Q.       In addition, have you made a geologic  
24      study to satisfy yourself and to reach the  
25      ultimate conclusion that, geologically, there's

1 adequate separation between the base of the  
2 Jalmat gas pool and the top of this Seven Rivers  
3 "A" sand zone in the lower pool?

4 A. Yes.

5 MR. KELLAHIN: We tender Mr. Carlson as  
6 an expert petroleum geologist.

7 EXAMINER CATANACH: He is so qualified.

8 Q. Mr. Carlson, let me have you turn, sir,  
9 to what we've marked as Exhibit No. 6, and have  
10 you help us describe how you've gone about  
11 studying the reservoir to determine the  
12 conclusion that this Seven Rivers "A" sand is, in  
13 fact, an oil-bearing sand?

14 A. Exhibit 6 is a subsurface structure map  
15 on the top of the Lower Seven Rivers "A" sand.  
16 The center of the exhibit is Section 16, and you  
17 can see, from the wells shown, the symbols for  
18 the wells where our injectors are and where our  
19 producers are.

20 I would like to point out also  
21 especially Well #30, which is indicated once  
22 again by the yellow highlighting with the red  
23 circle around it. I would also like to point  
24 out, for purposes of identification, along the  
25 east lease line of Section 16, Well #33, which is

1 shown in green highlight, and just northeast of  
2 Well #33 I'll be talking about another well, the  
3 McDonald State No. 1 in Section 15, which I've  
4 indicated with a blue circle.

5 Generally speaking, the structure map  
6 shows that the structural dip is very slight out  
7 here. These are 25-foot contour intervals, so we  
8 see that across the entire lease we have only  
9 about a two-degree dip. Generally speaking, we  
10 can say in the area of this map that Well #30 is  
11 the highest well, structurally, and that in  
12 general, structure dips eastward/northeastward  
13 and southeastward and also off to the west.

14 Q. What conclusions do you draw from an  
15 examination of the structure of this particular  
16 sand member and the ultimate conclusion that this  
17 sand member is an oil zone as opposed to a gas  
18 zone?

19 A. I will show, with the help of further  
20 exhibits, that we have established oil in the  
21 core in Well #1 in Section 15 and that, from some  
22 log analyses, we also have oil in Well #30 in the  
23 Lower Seven Rivers "A" sand. So I will show that  
24 at both the top of the structure and the base of  
25 the structure, there is oil present.

1           Q.     Have you also prepared an isopach or a  
2 sand map of this particular sand member of the  
3 Seven Rivers?

4           A.     Yes, I have. Exhibit No. 7 is a net  
5 sand map for the Lower Seven Rivers "A" sand. As  
6 we can see, the sand quality varies from  
7 approximately 14 feet, in the very northernmost  
8 point of the map, to one small portion where we  
9 actually have no net sand.

10                   This is a net sand as opposed to a  
11 gross sand map, but what we can see from this net  
12 sand is that across the lease from Well #30,  
13 which is again highlighted in the red circle, all  
14 the way downdip to Well #33 and Well #1, we see  
15 continuity of sand and, therefore, we expect no  
16 permeability barriers between these two points  
17 and have what we believe to be a continuous  
18 reservoir.

19                   As you can see, the average thickness  
20 of this sand is only about five feet; therefore,  
21 we consider it a noncommercial hydrocarbon  
22 accumulation at this time. But indeed there is  
23 hydrocarbon present, and it's about five feet  
24 average thickness.

25           Q.     While the Upper Queen is your primary



1 floodable target, geologically do you find  
2 adequate continuity in this Seven Rivers "A"  
3 member that that, in fact, is a floodable zone in  
4 and of itself, that it may add additional  
5 recoverable reserves to the project if flooded?

6 A. Yes.

7 Q. Let's turn now to Exhibit No. 8 which,  
8 I believe, is your core, is it not?

9 A. Exhibit 8 is a core report from Well  
10 #15, which once again I indicate to you on both  
11 the structure and the net sand maps as the well  
12 circled in blue in the southwest portion of  
13 Section 15, just east of the Section 16.

14 And I will point out to you, as we turn  
15 the opening page and get to the second page, at a  
16 depth of 3705 we see the top of the Lower Seven  
17 Rivers "A" sand. This sand is four-feet thick,  
18 we have cored it, and if you look at the  
19 lithology description, which is the little  
20 patterned log, and on the middle of the right  
21 portion of the log, we see, indeed, the visual  
22 description of the lithology of sand.

23 We also look to the porosity  
24 description. We see that this sand has  
25 approximately between--well, a maximum porosity

1 of about 16 percent declining down to less than  
2 10 percent. We see that it, indeed, even after  
3 being pulled out of the core barrel, we had a  
4 residual oil saturation in this core of  
5 approximately 10 percent.

6 We also see that the interpretation by  
7 core labs of this indicated zone is that it would  
8 produce oil. That's found in the column just  
9 left of the log. We also look at permeability  
10 data, which they have measured from hole core  
11 permeabilities, and we see three core  
12 measurements points at points 7, 8 and 9,  
13 respectively, show permeabilities of 10  
14 millidarcies, 17 millidarcies and 8.9  
15 millidarcies for those three samples.

16 Additionally, we can look at the very  
17 top of this log, the interval above this Lower  
18 Seven Rivers sand, and we're of course in that  
19 60-foot buffer zone that we have so described.  
20 First we see that the porosity, which, once  
21 again, is shown on the porosity track with little  
22 X's connected together, is really zero. We see  
23 that they expect no production of either oil or  
24 water from this zone.

25 You can see the permeability data all

1 through this is all showing less than 1/10 of a  
2 millidarcy through all the samples, 1 through 6,  
3 that they took through this zone. So we can  
4 conclude that this core shows that this buffer  
5 zone is impermeable to fluids.

6           Additionally, we can look at the very  
7 base of the log, the very base of the  
8 presentation, and we've attached some recoverable  
9 oil calculations that we did from what we call  
10 special core analysis where we looked at, from  
11 this core, what the recovery in these zones would  
12 be.

13           So, we have three samples here, two  
14 from the Queen which have helped us determine  
15 that this Queen waterflood was commercial, and  
16 one from the Lower Seven Rivers. You'll see  
17 they've indicated the Lower Seven Rivers between  
18 3705 and 3709 feet. They got 100 percent core  
19 recovery. They've got four feet of net sand,  
20 which will exactly correspond to what I have on  
21 my net sand map.

22           And you'll see, down at the very  
23 bottom, the calculated recoverable oil by natural  
24 or gas expansion barrels per acre-foot. Once  
25 again in the Lower Seven Rivers column, 108

1 barrels per acre-foot. If we had a natural water  
2 drive or a waterflood, we would see an increased  
3 recovery to 231 barrels per acre-foot.

4 So, from this test we conclude that the  
5 zone is floodable and that it's oil-bearing.

6 Q. Is this the closest available core  
7 analysis to injector Well #30?

8 A. This is the closest available core  
9 analysis in the Lower Seven Rivers "A" sand.

10 Q. Is the core analysis reliable  
11 information for you, as a geologist, to base an  
12 opinion that the Lower Seven Rivers "A" sand is  
13 an oil-bearing sand?

14 A. Yes, it is.

15 Q. Have you applied conventional  
16 methodology of your discipline to interpret that  
17 the oil-bearing sand in the Seven Rivers A at the  
18 location of the core, represents an oil-bearing  
19 sand in the same formation when we get to the  
20 injector Well #30?

21 A. Yes. Additionally, when the core was  
22 taken back in the 50s, I believe, a Marathon  
23 representative by the name of Koenig was present  
24 to visually inspect the core and did also confirm  
25 that it was oil-bearing.

1           Q.       It's reasonable, then, to take the core  
2 at this location and make the interpretation that  
3 this formation, being continuous, over, through  
4 and including the injector well location, is also  
5 going to show oil in that zone?

6           A.       We feel that it is necessary to run  
7 some log and establish that for the Court simply  
8 because Well #30 is updip. So we've gone ahead  
9 and I've brought two other exhibits along to show  
10 you what we've done with science where we didn't  
11 have a core report. And if you'll turn to  
12 Exhibit No. 9?

13          Q.       Yes, sir. Let's look at that.

14          A.       Exhibit No. 9 is a computed Elan log, a  
15 Schlumberger product. As you look in the title  
16 block, you'll see this particular Well #33, which  
17 I pointed out to you already is on the east lease  
18 line of Section 16, very, very near the closest  
19 well, in fact, to our cored well.

20                 This log used the LDT, CNL, Dual  
21 Lateral Log, Microspherical Log and Gamma Ray  
22 Log, in order to compute the values that we see.  
23 So this was a full suite of logs and it was an  
24 opportunity for us to compare, very near to our  
25 core, a full suite of logs, have a look and see

1    how to calibrate our logs, if you will, back to  
2    the core.

3                    So the well was logged on June 19,  
4    1991, and we recently computed it January 30,  
5    1992. I would direct your attention to the  
6    actual displayed log now. This is a standard  
7    Schlumberger computer product. I've marked for  
8    you the extent of the Jalmat Pool, the political  
9    boundary between the South Eunice and the Jalmat  
10   Pool, marked for you the Lower Seven Rivers zone  
11   of interest, and also the two Queen zones.

12                   I would like to turn your attention, if  
13   I could, please, to the right-most track of the  
14   Elan log, and I would also like to point out very  
15   quickly, I'm sorry, the vertical scale on the  
16   right. This is 2-1/2 inches to 100 feet on this  
17   presentation.

18                   So, if we look at the depth track on  
19   the right--and this is a lithology indicator, the  
20   portion calculated once again by using the  
21   crossplots from the lithodensity tool and the  
22   other logs, and what we see, particularly  
23   focusing now, if I may, on the Lower Seven Rivers  
24   "A," we see that there is the porosity that I  
25   had indicated to you, I've shown that in green,

1 and a fairly large quartz fraction which I have  
2 shown in yellow on the display.

3 We believe the Lower Seven Rivers "A"  
4 is approximately 75 percent quartz in the matrix,  
5 or sand, and the other portion of that is  
6 dolomite.

7 Q. Before we leave Well #33 and Exhibit  
8 No. 9, also give us your opinion concerning the  
9 barrier or separation between the top of the  
10 Seven Rivers "A" and the base of the Jalmat  
11 Pool.

12 A. The third track from the left has four  
13 curves in it, and they are marked K-INT, K-OIL,  
14 K-GAS and K-WTR. These are permeabilities  
15 indicated, and we see, if we look above the Lower  
16 Seven Rivers "A" and below the top of the pool on  
17 that interval, approximately 70 feet there, we  
18 see that there are many places where there's no  
19 permeability to any fluid indicated. That is  
20 because this rock is an impermeable dolomite.

21 If we look over to the lithology track  
22 to the far right again, we see the overwhelming  
23 majority of the zone above the Lower Seven Rivers  
24 "A" and below the Jalmat is an impermeable  
25 dolomite. We also see a few shale beds in there,

1 that further indicate that there will be no  
2 permeability vertically through that zone.

3 Q. How did you take the information  
4 derived now from the cored Well #1, the Well #33,  
5 and reach the conclusion that over in injector 30  
6 you had a similar environment over there that  
7 you're finding over by Well #33?

8 A. I would like to turn to Exhibit 10,  
9 please. Exhibit 10 is another computed log.  
10 It's a matrix corrected porosity log. And  
11 because of the nature of these two lithologies  
12 that we're dealing with in the area, one being  
13 almost 100-percent dolomite and the other one  
14 being a sand, we wanted to know how best to  
15 calculate a matrix density.

16 So we ran this Elan in Well #33 to tell  
17 us that the matrix density we should run to  
18 adequately evaluate the fluid content in the  
19 Lower Seven Rivers "A" would be 75 percent quartz  
20 sand and 25 percent dolomite. So, we ran the  
21 well in 33 where we had the open hole logs, to  
22 tell us what the matrix density for our  
23 calculations should be in Well 30.

24 Well 30, which is Exhibit 10, is a  
25 synthetic log created from two cased hole logs, a



1 cased hole sonic and a cased hole neutron log.  
2 Once again, your reference to Well 30 is at the  
3 top of the structure. We notice in the Lower  
4 Seven Rivers "A" zone, I show that just below, or  
5 60 or 70 feet below the Jalmat Pool again and  
6 above the Queen Pool.

7 I would like to kind of just talk you  
8 through this scale. This is another rather  
9 complicated presentation. First of all, of  
10 course, the depth track, and to the left of that  
11 the gamma ray. On the right-hand side we have  
12 three curves which are kind of unusual to see in  
13 a courtroom.

14 The first one, the solid curve, is the  
15 actual sonic trace, cased hole sonic, and we see  
16 that it varies from in the dolomites  
17 approximately 44 microseconds per foot on the  
18 right, and the sands where it crosses well over  
19 70 microseconds per foot.

20 This is a fairly standard result and it  
21 makes an excellent lithology indicator for us,  
22 because the dolomites stand out very clearly  
23 having very fast travel times and the sands, for  
24 the most part, have very slow travel times. So  
25 we're able to use that just to kind of clue us

1 in.

2 We look at the next curve up from the  
3 bottom, which is the matrix-corrected neutron  
4 NPHI, or N-PHI is Schlumbergese for neutron  
5 porosity. We see that curve as a sort of a large  
6 dash that we can follow up through the log, and  
7 finally the matrix-corrected PBHC--I believe  
8 that's actually matrix per corrected row,  
9 borehole compensated--a little more  
10 Schlumbergese, but that's the matrix-corrected  
11 sonic. So we can see that curve in the small  
12 dashes.

13 Now, when you have two lithology curves  
14 you can crossplot and determine a fluid content,  
15 and we've done that, assuming the  
16 matrix-corrected density that I gave you  
17 earlier. What we see is that, in sort of an  
18 analogue to what we do with the density neutron  
19 crossplot log, we can look at the Lower Seven  
20 Rivers "A" zone and see that the matrix-corrected  
21 sonic and matrix-corrected neutron curves, in  
22 fact, overly each other very well. We feel that  
23 this is an indication that this fluid is oil  
24 rather than gas.

25 If the fluid were gas, you would get

1 neutron excursion to the right just like you  
2 would on a density neutron crossplot. So since  
3 these curves overly, we believe that this is an  
4 oil zone.

5 Now, one of the proofs that we see that  
6 this technique actually works, is we go up to the  
7 Jalmat Pool which is a well-known gas zone,  
8 certainly very prolific, and we can look at the  
9 interval, for instance, 30 feet, 40 feet either  
10 way from 3210 feet, in the upper part of the  
11 Jalmat Pool which, as you know, consists of the  
12 Yates sand, and we can indeed, as I've indicated  
13 in red for you, show the crossover that we'd  
14 expect in a gas-bearing zone.

15 So, we contrast the gas-bearing zone up  
16 at the top with this zone down here at the Lower  
17 Seven Rivers "A," and we conclude that even on  
18 the top of the structure in Well #30, the Lower  
19 Seven Rivers "A" sand is oil-bearing.

20 Q. When you look at this log between the  
21 base of the Jalmat Pool and the top of the Lower  
22 Seven Rivers "A," what do you see?

23 A. I'm sorry. Would you please repeat  
24 that?

25 Q. Sure. From the top of the Lower Seven

1 Rivers "A" to the base of the Jalmat pool, what  
2 do you see? Do you see any oil- or gas-bearing  
3 potential within that interval?

4 A. We see no oil- or gas-bearing interval.  
5 What we see instead, especially from the sonic  
6 log curve, we're looking at dolomites.

7 Q. In summary, then, Mr. Carlson, what are  
8 your major geologic conclusions with regards to  
9 this application?

10 A. The major geologic conclusion is that  
11 the Lower Seven Rivers "A" is oil-bearing at the  
12 top of the structure in Well #30 and towards the  
13 base of the structure in the cored Well #1 and in  
14 Well #33, that this Lower Seven Rivers "A" is a  
15 continuous zone, that it is an oil-bearing zone,  
16 and contains potentially recoverable hydrocarbons  
17 that, as a result of waterflooding, we could see  
18 enhanced recovery there.

19 Additionally, the zone above the Lower  
20 Seven Rivers "A" and below the base of the Jalmat  
21 Pool, is tombstone, bluntly. It's dolomite that  
22 is impermeable.

23 Q. In your opinion, then, can the Examiner  
24 approve this application, increase the vertical  
25 limits of the area approved for flooding, and do

1 so without the impairment of correlative rights  
2 and in the best interest of prevention of waste  
3 of hydrocarbons?

4 A. Yes. Absolutely.

5 MR. KELLAHIN: That concludes my  
6 examination of Mr. Carlson. We would move the  
7 introduction of his Exhibits 6 through 10.

8 EXAMINER CATANACH: Exhibits 6 through  
9 10 will be admitted as evidence.

10 EXAMINATION

11 BY EXAMINER CATANACH:

12 Q. Mr. Carlson, on Exhibit 7, what was the  
13 porosity cutoff you used for that map for the net  
14 sand?

15 A. I used a 10-percent porosity cutoff.  
16 About 10 percent, yeah.

17 Q. It's your opinion, Mr. Carlson, that  
18 any fluid that enters the "A" zone from the #30  
19 well will, in fact, or has the capability of  
20 traveling through the "A" zone?

21 A. Yes. It should be able to travel  
22 through the "A" zone.

23 Q. Will the fluid have any preference as  
24 to what direction it might take?

25 A. I believe at this time it's too early

1 to say that, to answer that question.

2 MR. KELLAHIN: You're talking about a  
3 vertical, or horizontal?

4 EXAMINER CATANACH: I'm talking about  
5 horizontal.

6 A. We see a northwest/southeast grain out  
7 here to the actual net sand out here, and also  
8 the gross sand looks that way; but to actually  
9 say that that sand would necessarily go that  
10 direction, we can't say that yet. As you know,  
11 many times sand bars move in directions  
12 perpendicular to the strike of that bar.

13 EXAMINER CATANACH: I believe that's  
14 all I have of the witnesses. He may be excused.

15 Anything further, Mr. Kellahin?

16 MR. KELLAHIN: Finally, Mr. Examiner,  
17 we have our Affidavit of Notification of the  
18 offsetting operators within a half-mile radius of  
19 the injector, plus the owner of the surface at  
20 the injector well location. This is a state oil  
21 and gas lease area where the injector is located  
22 in, so we notified the Commissioner of Public  
23 Lands.

24 Exhibit #11 represents our certificate  
25 or affidavit of mailing, and we would move the

1 introduction of that exhibit.

2 EXAMINER CATANACH: Mr. Kellahin, Dasco  
3 Land Corporation Corporation would be the  
4 lessee?

5 MR. KELLAHIN: I need to verify that  
6 with Mr. Lowry.

7 MR. LOWRY: It is my understanding that  
8 it is the lessee--surface lessee.

9 EXAMINER CATANACH: Exhibit 11 will be  
10 admitted as evidence in this case, and there  
11 being nothing further, Case 10433 will be taken  
12 under advisement.

13 MR. KELLAHIN: Thank you.

14 (And the proceedings concluded.)

15

16

17

18

19

20

21

22

23

24

25

I do hereby certify that the foregoing is  
a complete record of the proceedings in  
the Examiner hearing of Case No. 10433,  
heard by me on March 5 1992.

David R. Clark, Examiner  
Oil Conservation Division


## CERTIFICATE OF REPORTER

STATE OF NEW MEXICO     )  
                                      ) ss.  
COUNTY OF SANTA FE     )

I, Carla Diane Rodriguez, Certified  
Shorthand Reporter and Notary Public, HEREBY  
CERTIFY that the foregoing transcript of  
proceedings before the Oil Conservation Division  
was reported by me; that I caused my notes to be  
transcribed under my personal supervision; and  
that the foregoing is a true and accurate record  
of the proceedings.

I FURTHER CERTIFY that I am not a  
relative or employee of any of the parties or  
attorneys involved in this matter and that I have  
no personal interest in the final disposition of  
this matter.

WITNESS MY HAND AND SEAL March 14,  
1992.

  
CARLA DIANE RODRIGUEZ, RPR  
CSR No. 4